

1 MR. NOSEWORTHY, CHAIRMAN: Thank you and good  
2 morning. I trust everybody had a good weekend. Before  
3 we get started, counsel, are there any preliminary matters?

4 MR. KENNEDY: I don't believe so, Chair.

5 MS. BUTLER, Q.C.: I wonder, Mr. Chairman, if we might  
6 just introduce Mr. Larry Brockman, who is Newfoundland  
7 Power's witness on the cost of service matters.

8 MR. NOSEWORTHY, CHAIRMAN: Good morning, Mr.  
9 Brockman. How are you? We've used your name a couple  
10 of times in vain last week. *(laughter)* Good morning and  
11 welcome, sir.

12 MR. BROCKMAN: Good morning.

13 MR. NOSEWORTHY, CHAIRMAN: Good morning, Mr.  
14 Osler.

15 MR. OSLER: Good morning, Mr. Chair.

16 MR. NOSEWORTHY, CHAIRMAN: Good morning, Mr.  
17 Browne. I wonder could I ask you to begin when you're  
18 ready, please?

19 MR. BROWNE, Q.C.: Thank you, Chairperson. Good  
20 morning, Mr. Osler.

21 MR. OSLER: Good morning, Mr. Browne.

22 MR. BROWNE, Q.C.: Mr. Osler, can you go to **your**  
23 **evidence of September 12th, 2001, on page 12, which is the**  
24 **first supplementary** ... there you deal with issues of rate  
25 design on page 12 and use of an energy-only rate for NP.  
26 Can you just read that into the record, please?

27 MR. OSLER: Line 13?

28 MR. BROWNE, Q.C.: Yes, line 13.

29 MR. OSLER: "Use of an energy-only rate for NP. Hydro  
30 has proposed an energy-only rate for NP that is  
31 inconsistent with normal rate design principles and fails to  
32 track the costs NP imposes on the hydro system. In  
33 addition, this rate fails to reflect the practice regarding  
34 wholesale rates on similar systems in Canada."

35 MR. BROWNE, Q.C.: Now, what other similar systems in  
36 Canada are you referring to there?

37 MR. OSLER: I had two in mind, first being the Ontario  
38 system, which is, you would know, I guess, has a fair  
39 amount of capital intensive generation either in the form of  
40 nuclear or hydro, as well as some thermal. With Ontario  
41 Hydro, and I'm thinking back to the days when it was a  
42 regulated system, Ontario Hydro providing the bulk of the  
43 power for all of the residents but there were many, many  
44 municipal utilities as well as a number of what they call  
45 larger users, that's five megawatts or more, served directly  
46 by Ontario Hydro, and the practice that evolved in it there

47 was one of a two-part rate structure for all of these, what  
48 they call large users, either municipal distributors or large  
49 users industrial. On a much smaller level, I'm advised that  
50 in the Northwest Territories, Power Corp, it too has used a  
51 two-part rate in dealing with its distributor in a hydro-based  
52 system.

53 MR. BROWNE, Q.C.: When you ...

54 MR. OSLER: Sorry.

55 MR. BROWNE, Q.C.: Okay. No, continue. You need to  
56 complete your answer.

57 MR. OSLER: One more example was that in Yukon when  
58 the Northern Canada Power Commission had been  
59 supplying power to the local distributor, introduced a two-  
60 part rate. That got melded into a one-part rate similar to the  
61 one you've got here at the time period when the distributor  
62 effectively was managing the Crown company through a  
63 contract and they ended up putting it into a one-part rate.  
64 Now that contract is over, I don't know what would be the  
65 situation there as they go into the next rate hearing,  
66 whenever that may be.

67 MR. BROWNE, Q.C.: Now when you say in the first  
68 sentence, there, "NP ... Hydro has proposed an energy-  
69 only rate for NP that is inconsistent with normal rate design  
70 principles," what do you mean by that?

71 MR. OSLER: Well, in normal ... removed from the  
72 classification and allocation of costs step inter rate design.  
73 When dealing with customers who are purchasing power  
74 at a scale that makes clear the, clearly justifies in terms of  
75 economics the meterings for more sophisticated, keeping  
76 track of their loads, metering of demand, etc. It's been my  
77 experience that one would try to track both capacity costs  
78 and energy costs in the rate structure as well as having  
79 gone through the effort of putting them together when  
80 doing the classification of allocation of costs and assigning  
81 costs to different customer groups, and the reasoning for  
82 that approach to rate design would be that you want to  
83 give people price signals on the one hand for efficiency  
84 reasons that relate to both capacity and energy use, and  
85 secondly it would have some advantages in lines of rate  
86 design people historically in stabilizing revenue to a certain  
87 degree by locking in certain demand charges through  
88 ratchets and other things so the utility could rely on a  
89 certain amount of relatively stable income relating to its  
90 fixed costs and its capacity costs, and how you design the  
91 energy tariff becomes an interesting challenge, but you can  
92 design it various ways. You don't have to have only one  
93 energy rate when you're doing the energy portion of it.  
94 You could have stepped rates or increasing blocks or  
95 decreasing blocks depending on what you're dealing with,  
96 so that when we look at even Newfoundland Power, they  
97 do (inaudible) what I'm saying when they start treating their

1 own customers. They treat those who can afford meters  
2 with a two-part rate, whereas the residential customers who  
3 traditionally don't consume enough power to justify that  
4 type of metering, they have a single rate.

5 MR. BROWNE, Q.C.: So there could be advantages and  
6 options for customers with a demand component in the  
7 rates.

8 MR. OSLER: The rate design approach would look at it, I  
9 guess, from the point of view of both customers and the  
10 utility, and the advantages that would be there would be  
11 either from the perspective of tracking costs as they've  
12 been discussed and assessed in the cost of service,  
13 separately for capacity and energy, and you would try and  
14 design it in such a way you could also achieve some price  
15 signals and perhaps some incentives towards better  
16 efficiency in use by both the utility and the customer.

17 MR. BROWNE, Q.C.: On **page 26 of your evidence, the**  
18 **same supplement, line 27**, you make reference to  
19 Newfoundland Power's energy-only rate as well. Just can  
20 you read that into the record, please?

21 MR. OSLER: "Newfoundland Power is currently subject to  
22 a rate that includes only an energy component with no  
23 demand charges or fixed monthly charges. This energy  
24 component far exceeds the cost of service study  
25 conclusions regarding the embedded energy cost assigned  
26 to NP as it encompasses the demand costs and customer  
27 costs assigned to NP as well."

28 MR. BROWNE, Q.C.: What do you mean by that, it far  
29 exceeds the cost of service study conclusions?

30 MR. OSLER: What I mean is that the amount in the rate  
31 includes not only what we call energy in the cost of service  
32 study but also what is called capacity in the cost of service  
33 study, so the actual energy rate far exceeds the costs that  
34 are classified as energy and assigned to NP in the cost of  
35 service study as energy.

36 MR. BROWNE, Q.C.: And on the next page, on page 27, on  
37 line one, can you read that into the record, sir?

38 MR. OSLER: Hydro has proposed no change to the  
39 energy-only rate structure for NP. In addition, Hydro has  
40 filed a letter they have received from NP in **PUB-68** which  
41 states, "NP's interpretation that a demand charge and fixed  
42 charge component of the wholesale rate would increase  
43 revenue volatility to the detriment of customers."

44 MR. BROWNE, Q.C.: Do you agree with that?

45 MR. OSLER: I do not think that a two-part rate needs to  
46 necessarily increase revenue volatility to the detriment of  
47 customers. I can see why utilities may be concerned with  
48 it but I do not think it necessarily flows.

49 MR. BROWNE, Q.C.: And your last sentence, line seven  
50 there?

51 MR. OSLER: "Our view of the matter does not support the  
52 conclusion that an energy-only rate is the suitable rate  
53 design for NP."

54 MR. BROWNE, Q.C.: Now, Newfoundland Hydro and  
55 Newfoundland Power in this hearing are advocating an  
56 energy-only rate. Has that always been the position of  
57 Newfoundland Power to ...

58 MR. OSLER: I'm not intimately familiar with the history but  
59 I understand that hasn't always been the position of  
60 Newfoundland Power from what I've heard in testimony in  
61 the last week.

62 MR. BROWNE, Q.C.: Can you go to **page 29 of your**  
63 **evidence**, sir, and beginning with line six, "In contrast," can  
64 you read that into the record?

65 MR. OSLER: "In contrast, NP's expert, Brockman, page 28,  
66 notes that at this time he is not recommending a demand  
67 energy rate for Newfoundland Power despite the fact that  
68 he has recommended one at times in the past."

69 MR. BROWNE, Q.C.: Okay. How do you know that? How  
70 did you come to that conclusion?

71 MR. OSLER: I believe he said so in his testimony. I think  
72 he acknowledged that he had recommended in the past and  
73 although he had done that he wasn't recommending it in  
74 this instance. I hadn't reviewed his past testimony.

75 MR. BROWNE, Q.C.: And just continuing with line eight.

76 MR. OSLER: "The reasoning given is that it would tend to  
77 increase the volatility in revenues for both Hydro and NP,  
78 however, he provides no substantiation as to how such a  
79 rate would increase volatility."

80 MR. BROWNE, Q.C.: Do you share that conclusion, that  
81 a demand rate would increase volatility in revenues for  
82 both Hydro and NP?

83 MR. OSLER: It doesn't have to necessarily. If there were  
84 very specific concerns, they would identify as to what  
85 happens on the margin when you're charging for the  
86 energy that one could address it in a two-part energy rate,  
87 but essentially a demand charge with some ratchet  
88 provisions, which I assume would exist, would introduce  
89 stability to Hydro's, Newfoundland Hydro's income stream  
90 because regardless of the load, whether, if it declined, they  
91 would get locked in this amount of income, and it would  
92 introduce similarly, perhaps to the adversity of  
93 Newfoundland Power, but it would introduce stability into  
94 how much it was being charged if its load went down. In  
95 the case of the energy rate, the issue for Newfoundland  
96 Power has to relate to how the energy rate compares to the

1 (inaudible) run-out rates that it's using for its customers  
2 and I assume it would probably have a need for the two  
3 utilities to think through how the rate designed worked as  
4 an integrated package.

5 MR. BROWNE, Q.C.: Now, if Newfoundland Power  
6 advocated a demand component in the past, using that  
7 reasoning, reasoning that they give now for not  
8 introducing it, wouldn't it have increased volatility in their  
9 revenues at that time?

10 MR. OSLER: I'm not ...

11 MR. BROWNE, Q.C.: Wouldn't the same rationale apply?

12 MR. OSLER: I'm not aware of anything that has changed  
13 in the nature of the system in the time period since I gather  
14 this other testimony was offered that would explain a  
15 change in position. I think though I have heard people say  
16 that this position is intimately tied into their interpretation  
17 of the RSP and that absent the RSP I think Mr. Brickhill at  
18 least suggested that the situation could be quite different.  
19 Anyway, the RSP has been in effect since the mid '80s from  
20 the point of view of Newfoundland Power and Hydro, so  
21 again I don't see how it has changed anything that would  
22 lead to a change in position on this matter.

23 *(9:45 a.m.)*

24 MR. BROWNE, Q.C.: And other companies with which  
25 you're familiar, they must have a demand component, do  
26 they not?

27 MR. OSLER: Well, the ones I listed earlier, certainly had  
28 demand components.

29 MR. BROWNE, Q.C.: And they survive, do they not?  
30 They end up with revenues and they are not subject to a  
31 volatility which is going to bring them under or anything,  
32 are they?

33 MR. OSLER: No.

34 MR. BROWNE, Q.C.: Just moving to another topic, last  
35 week there was some discussion about the 1-CP, 2-CP and  
36 4-CP, and on **page 10, lines 24 through 25 of your**  
37 **September 12th, 2001, testimony ...**

38 MR. OSLER: Which lines were you on?

39 MR. BROWNE, Q.C.: Lines 24 and 25. You say, "Both  
40 Bowman, pages 7 and 8, and Brockman, page 23, disagree  
41 with Hydro in this regard, however, there is no basis to  
42 increase the allocation to 4-CP and there is likely benefit to  
43 retaining the current 1-CP for consistency with allocation  
44 transmissions and consistencies with similar utilities." So  
45 it is your evidence then that if the Board in its, decides  
46 against moving to the 4-CP that you will be content with  
47 the 1-CP?

48 MR. OSLER: Correct.

49 MR. BROWNE, Q.C.: And the 4-CP, would 4-CP cost the  
50 industrials money?

51 MR. OSLER: I have to check the percentages. It might be  
52 that 4-CP has a slightly more adverse classification, sorry,  
53 allocation to industrials than 1-CP but ...

54 MR. BROWNE, Q.C.: So it could be more expensive for the  
55 industrials.

56 MR. OSLER: It could be, but that wasn't central to my  
57 thinking. My thinking was based on what the experience  
58 is with other utilities of this type in Canada, and I'm not  
59 aware of any of them using the 4-CP.

60 MR. BROWNE, Q.C.: **On page 10, lines 27 to 28, of your**  
61 **September 12th, 2001, supplementary evidence**, you state,  
62 "Hydro's application does not consistently address the  
63 various interruptible demand alternatives that Hydro  
64 maintains. The treatment is critical for calculation of the  
65 system load factor for classification of hydraulic plant and  
66 cost for allocation of the generation and transmission  
67 demand costs on the coincident peak of generation and for  
68 rate design of interruptible demand programs." Then you  
69 say, "In calculating the CP for allocation and for  
70 determining the system load factor for COS purposes,  
71 Hydro reduces NP's peak to reflect interruptible demand."  
72 And then you say, "This treatment appears to be  
73 inconsistent with the industrial customers' interruptible  
74 demand and in any event serves to calculate a revised load  
75 factor for its cost of service purposes that is different than  
76 Hydro's load factor for planning purposes." Can you tell  
77 us exactly what that means?

78 MR. OSLER: This whole topic is dealt with in **Section 3.5**  
79 **of this evidence and starting, I guess, at page 17.** I'll try  
80 and just summarize it. I think the Board has heard by now  
81 considerable evidence on how the interruptible contract  
82 with one of the industrials, called Interruptible B, allows the  
83 Utility to interrupt that customer for, I think, up to 46  
84 megawatts during the peak periods of the year and that this  
85 is a cheap way of getting extra capacity security on the  
86 integrated island system. I think the Board has also heard  
87 evidence that there is a similar capability Hydro has with its  
88 wholesale customer, Newfoundland Power, and it's called  
89 a generation credit, but essentially it allows Hydro to  
90 control the dispatch such that if it had a shortage during  
91 the year at a certain point in time it could call upon NP's  
92 generation, and return for each of these provisions, which  
93 I think many people have now described as being basically  
94 similar, at least there's answers to questions that say they  
95 are similar and there's evidence on the record that says  
96 they're similar in terms of what they do for the Utility,  
97 Hydro. In the one case, the Interruptible B case, the  
98 customer by a contract receives \$1.33 million a year as

1 payment for making this interruptible capability available.  
2 That comes down to about \$28.20 a kilowatt per year. That  
3 cost is treated in the cost of service study as a production  
4 demand cost and it is assigned, therefore classified to  
5 demand and allocated according to the ground rules that  
6 you've been talking about among all the different customer  
7 classes, so that the industrial class pays a share of that  
8 cost. It is transparent, it is cost justified, it is fully treated  
9 in the cost of service. The only thing that's a bit odd about  
10 it is it's done by contract rather than by a rate approved by  
11 the Board, and there's an issue there as to whether or not  
12 that should become part of the rate structure offered to  
13 anybody who's prepared to take it up rather than done on  
14 a contract basis.

15 MR. BROWNE, Q.C.: On page 18 at lines 11 to 20 you  
16 indicate there, "There are inconsistencies in the treatment  
17 of Newfoundland Power generation on the industrial  
18 customer Interruptible B power."

19 MR. OSLER: Right, because if I look at the Newfoundland  
20 Power generation credit, it is not dealt with as a cost  
21 payment to Newfoundland Power. It is done as a credit in  
22 the cost of service study. It is very difficult to find it, so it's  
23 not done in great transparency. It's there and we found  
24 what it's worth through interrogatories and questioning but  
25 it's not something you could find by picking up the cost of  
26 service or anything else in terms of its value. It has effects  
27 on the cost of service study given the way it's dealt with by  
28 reducing certain loads and things like that and that are  
29 difficult to understand and not necessarily clearly justified,  
30 and of course it's very difficult to understand the extent to  
31 which the one form of interruptible dispatchable control  
32 that the Utility has with Newfoundland Power is being  
33 fairly and consistently costed and paid for compared with  
34 the Interruptible B type of dispatchable control that they  
35 have with Abitibi, and that's in essence the issue at the  
36 stage that it was presented in the September evidence as a  
37 concern about consistency and transparency and trying to  
38 get to the bottom of it. I think since then we have learned  
39 a little bit more and can know a bit more now of the costs  
40 relating to the credit, we didn't have before, and I gave  
41 some comment on that in my opening direct testimony.

42 MR. BROWNE, Q.C.: Do you believe that an explicit  
43 interruptible rate option made available by Hydro to Power,  
44 similar to that offer by Hydro to industrial customers, was  
45 appropriate?

46 MR. OSLER: Well, I wouldn't even call it a rate structure  
47 the way it's done. It's sort of ... it's a credit in ... done, I  
48 gather, with the approval of the Board historically, so it's  
49 not underhanded or anything but it's in the cost of service  
50 study rather than a rate in the normal sense of the word. I  
51 would think it would be preferable to have a transparent  
52 rate structure that clearly treats all parties the same way,

53 indeed makes it open in a DSM context for other parties  
54 that might want to think about making interruptible load  
55 available.

56 MR. BROWNE, Q.C.: So you would say that it should be  
57 available.

58 MR. OSLER: I think it should be available, should be  
59 available on a rate form rather than by deals and it should  
60 be available to anybody who can provide it subject to the  
61 terms and conditions, and I cite as an example of that, in the  
62 1990s, in Manitoba Hydro's case, with a fair amount of  
63 persistence from some of its customers, they eventually got  
64 around to offering curtailable rates as a rate form for their  
65 larger industrial users, and historically had said this is not  
66 possible to do on a hydro system and wouldn't be worth it,  
67 but they do have at least one customer still on that and  
68 very important to them and they had another one on it for  
69 a while, so it didn't ... not everybody jumped to use it but  
70 some people used it to their benefit and to the benefit of all  
71 the other customers in the system.

72 MR. BROWNE, Q.C.: Do you feel that there should be a  
73 contract specifically identifying the generation services to  
74 be offered by, be it between Hydro and Power along with  
75 compensation similar to contracts between Hydro and the  
76 industrial customers? Do you believe things should be  
77 collapsed to a contractual basis between Hydro and  
78 Power?

79 MR. OSLER: I think they should be dealt with on a similar  
80 basis. I'm not sure whether the contract role (phonetic)  
81 range is necessary when you have rates approved by a  
82 board. I think that's an interesting question all by itself. If  
83 there was a rate approved by the Board, then it's  
84 transparent, it's open and everybody can see it. Many  
85 utilities seem to still feel that we need to have a contract as  
86 well, and if that's felt to be the case then we should have a  
87 contract with each of them.

88 MR. BROWNE, Q.C.: So are contracts prevalent in the  
89 industry from your understanding?

90 MR. OSLER: They vary. They are, I guess, prevalent more  
91 than I would perhaps like at times but they are ... utilities'  
92 law departments seem to feel they like to have a contract.

93 MR. BROWNE, Q.C.: Will be more of a business-to-  
94 business relationship, I guess, would it?

95 MR. OSLER: Right, but it's always subject to the board's  
96 orders so, you know, what I find personally is that  
97 sometimes you have difficulty making darn sure that the  
98 contract is consistent with the order because usually  
99 people that write it, in the big utilities, they're not  
100 necessarily involved in the rate case, so they sit down and  
101 start all over again. Anyway, that's a side comment.

1 MR. BROWNE, Q.C.: The earlier part of this hearing we  
2 dealt with duplications and services between Hydro and  
3 Power, and I think there was some discussion concerning  
4 a VHF radio system which Hydro was proposing to  
5 purchase at \$8.5 million, and there was some suggestion, I  
6 think, that themselves and Power at one point could have  
7 worked out some agreement when Hydro was about to  
8 purchase a new system, which hasn't happened. But from  
9 the industrial perspective, do you see savings for the  
10 industrials if duplications in services between the utilities  
11 were dealt with?

12 MR. OSLER: I think there's potential proceedings for all the  
13 customers to the extent that the system can avoid  
14 duplication and increase its overall efficiency between the  
15 two utilities.

16 MR. BROWNE, Q.C.: Do you see any merit in this province  
17 in having one vertically-integrated utility?

18 MR. OSLER: I haven't considered it. It would seem, from  
19 experience I've seen in a few other places, it would require,  
20 I would think, careful consideration of all the issues before  
21 I'd want to get any comment on it.

22 *(10:00 a.m.)*

23 MR. BROWNE, Q.C.: **On page 11, lines 10 to 13, of your**  
24 **September 12th, 2001, testimony ...**

25 MR. OSLER: Sorry, page?

26 MR. BROWNE, Q.C.: Page 11, lines 10 to 13.

27 MR. OSLER: Thank you.

28 MR. BROWNE, Q.C.: We're discussing frequency  
29 converters there. You indicate, "There's no principle or  
30 reasonable basis justifying a change in assignment of cost  
31 related to frequency converters from common to industrial  
32 customer specific," and you can recall there was previous  
33 discussions during these hearings on this particular issue.  
34 If the converters which were judged to be useful to two or  
35 more classes previously are now judged to be useful for  
36 only one customer class, would that justify changing the  
37 assignment of costs from common to specific?

38 MR. OSLER: I think in this case, no, because the benefit  
39 related to the overall system is embedded in the system in  
40 its origins and very hard to take away fairly at a later time  
41 and say it doesn't matter anymore, whereas the cost of  
42 changing the rules would be very significant, it would  
43 appear, for the one customer that is likely to be affected by  
44 it.

45 MR. BROWNE, Q.C.: So if they only service one particular  
46 customer, how could they be described as common?

47 MR. OSLER: Common in their origin in the sense that the  
48 decision was made by all parties to develop the system a

49 certain way which left these customers, and this one in  
50 particular, continuing to rely upon a system that would  
51 provide them through the utility as a common cost feature  
52 for their frequency conversions. If the system had  
53 developed a different way, perhaps along the lines of the  
54 frequency that this customer has, that issue would be  
55 moot. The benefits of that decision continue to flow for all  
56 of Newfoundland. The costs of making the change today  
57 rather than umpteen years ago would be borne only by the  
58 one customer. I think that creates issues that don't make  
59 me comfortable with saying it's easy to no longer call it  
60 common.

61 MR. BROWNE, Q.C.: Well, effectively, I guess, they could  
62 be taken out of service, couldn't they, if the industrial  
63 wasn't there to use them, is that not correct?

64 MR. OSLER: If there was no user they could be removed  
65 from service, correct.

66 MR. BROWNE, Q.C.: So the only one that they are serving  
67 is the industrial.

68 MR. OSLER: (inaudible) two industrials, likely only one in  
69 the future, yes.

70 MR. BROWNE, Q.C.: **On page 12, lines 18 to 25, of your**  
71 **September 12th, 2001, testimony**, we're talking about the  
72 wheeling rate and transmission costs there, and you note  
73 that, "All transmission costs are included in Hydro's  
74 calculation of the wheeling rate." Does this not result in an  
75 average cost of transmission or what is commonly referred  
76 to in the industry as a postage stamp rate? Are you familiar  
77 with that term, postage stamp rate?

78 MR. OSLER: I'm familiar with the term, yes.

79 MR. BROWNE, Q.C.: Okay. Can you tell the Board what  
80 that means?

81 MR. OSLER: Generally applied to customers over, say, a  
82 whole country or a whole jurisdiction, that they all can  
83 have the same rate for use of a service without it being  
84 differentiated on the basis of distance or location so that a  
85 rural customer would pay the same as city customers, and  
86 in our province, people up north would pay the same as the  
87 people down south, etc., that type of thing.

88 MR. BROWNE, Q.C.: It's the same as the postage stamp,  
89 right, we all pay whatever it is now, 47 or 48 cents?

90 MR. OSLER: Right.

91 MR. BROWNE, Q.C.: No matter where you live in the ...

92 MR. OSLER: No matter where you live you pay the same  
93 amount to send a letter in Canada, a different amount if  
94 you're going to send it somewhere else.

95 MR. BROWNE, Q.C.: Saving Labrador, I think. Some

1 people have an argument up there on occasion. Is postage  
2 stamp pricing not a common method of transmission  
3 pricing used in the industry?

4 MR. OSLER: I'm not intimately familiar with transmission  
5 tariffs but my understanding of the recent evolution of  
6 some of the tariffs as required for utilities such as Manitoba  
7 Hydro to meet American requirements is that they have to  
8 develop a cost justified, I've never heard them use the term  
9 in this context, but postage tariff for your jurisdiction so  
10 that anybody who's a wholesaler can have access to flow  
11 through the jurisdiction, etc. If Manitoba Hydro wants to  
12 have access to American markets, they have to turn around  
13 and provide a tariff that does the same for the Americans,  
14 however, there have been tariffs, I believe, that have been  
15 done on different bases than just postage stamp, and I  
16 don't know whether, I don't know enough to know whether  
17 the (inaudible) rules in the States allow variations as long  
18 as they're cost justified.

19 MR. BROWNE, Q.C.: In this province, provided all the  
20 wheeling transactions in the province, say subject to this  
21 charge, is this not an acceptable rate and procedure for  
22 wheeling?

23 MR. OSLER: It could be if that was the overall intent, to  
24 develop a tariff across the whole jurisdiction for wheeling  
25 from any point to the other one.

26 MR. BROWNE, Q.C.: **On page 21, lines 14 to 19, of your**  
27 **September 12th, 2001, testimony**, you state that, "It is not  
28 clear why the \$3 million on the secondary sales revenue in  
29 Labrador would be allocated to the Labrador consumers  
30 with already low rates rather than being allocated to offset  
31 the rural deficit." On what basis should the \$3 million be  
32 allocated to offset the rural deficit? What's your rationale?

33 MR. OSLER: I think this is addressed very briefly in a  
34 response to Newfoundland Hydro No. 96, but the point is  
35 that we are dealing with something that is a surplus and is  
36 therefore not cost justified, and that's a surplus that arises  
37 without any debate about it not going back to the  
38 customer, so you start from the premise that there isn't a  
39 cost-justified basis for assigning this surplus any more  
40 than there's a cost-justified basis for assigning the rural  
41 deficit, and because there is no principled cost causation  
42 basis to distribute the revenue credit and there's no cost  
43 causation basis to distribute the rural deficit, it would seem  
44 that you then have some discretion, and it struck me, and  
45 I think others, a few others mentioned this, that it may be  
46 something that you would apply this to the rural deficit  
47 rather than apply it only to the customers in that particular  
48 system.

49 MR. BROWNE, Q.C.: Why, just because it's a surplus and  
50 it's \$3 million worth of money so the Board can just take it  
51 and order it to be applied against the deficit? What is the

52 rationale here?

53 MR. OSLER: There's no rationale for deciding that it  
54 should be assigned specifically to that system or the  
55 customers in that system. The rural deficit is assigned to  
56 customers in different systems, as I think the evidence has  
57 gone through. If there's a problem with the rural deficit in  
58 the sense that it is not being paid for by the customers that  
59 are getting the service from it, and you got a surplus that  
60 has been derived in another situation over and above the  
61 cost required to serve that customer, it seems that an  
62 option is there to apply the surplus to the deficit. I'm not  
63 advocating it and I'm not disputing it. I'm just saying it  
64 seems to be an option that would be before the Board for  
65 parties to argue and consider seriously.

66 MR. BROWNE, Q.C.: That's a form of secondary revenue,  
67 wouldn't you agree?

68 MR. OSLER: Definitely.

69 MR. BROWNE, Q.C.: And is it your position that all  
70 secondary revenues which may appear be allocated to the  
71 rural deficit?

72 MR. OSLER: No.

73 MR. BROWNE, Q.C.: Just this particular one.

74 MR. OSLER: This is a pretty big one and the other  
75 secondary revenues are fairly small and very much relate to  
76 use of a specific system and their benefits are assigned  
77 back to the users of that system.

78 MR. BROWNE, Q.C.: **On page 22, lines 10 to 11 of your**  
79 **September 12th, 2001, testimony**, you're referring to  
80 various adjustments there, and in addition you say, "We  
81 do not see the basis for proposing to delay past 2002 the  
82 other adjustments that Hydro considers appropriate in the  
83 long-term." Can you expand upon that, please?

84 MR. OSLER: We're talking in this context around again the  
85 rural deficit and the rural rates and the issue of phasing in  
86 on higher charges or new ways of dealing with them, and  
87 it struck me that the application in many respects in this  
88 regard said we're going to do something but we'll tell you  
89 what it is next time, and given the history of what happened  
90 the last time we had a, you had a rate hearing here in detail  
91 and how long it took to come to grips with some of the  
92 things that came from it, one would have thought that it  
93 would be nice to have tabled in this hearing an actual five-  
94 year plan starting now or a seven-year plan or whatever,  
95 and start implementing it now. That's what I'm getting at.

96 MR. BROWNE, Q.C.: So that's what you're recommending  
97 the Board to do.

98 MR. OSLER: I'm not sure the Board has the ability to deal  
99 with it absent the evidence as to, from the applicant, and I

1 guess the Board could order the applicant to provide a  
2 game plan and then let's review it.

3 MR. BROWNE, Q.C.: I want to ask you some questions  
4 concerning your position on the RSP. Is it fair to say that  
5 since the RSP was set at \$12.50 in the early 1990s,  
6 customers have been receiving incorrect price signals?

7 MR. OSLER: Yes.

8 MR. BROWNE, Q.C.: And is this because Hydro has been  
9 undercollecting revenues through the RSP balancing  
10 account rather than passing them through to consumers in  
11 the year in which they occur? Is that the nature of the  
12 incorrect price signals?

13 MR. OSLER: It's been sending them a price signal each  
14 year in their rates that doesn't reflect the full cost of the oil  
15 and the result is that it undercollects through rates and  
16 assigns the deficit, so-called, to the RSP, so therefore gives  
17 the wrong price signals.

18 MR. BROWNE, Q.C.: Now, are industrial customers  
19 concerned that they're facing a ... there's a \$26 million  
20 deficit in the RSP account in 2002 and 2003, according to  
21 **your table on page 35**. Can you go to that table, please?

22 MR. OSLER: Sorry, which number did you look at?

23 MR. BROWNE, Q.C.: The table on page ...

24 MR. OSLER: 35, yeah.

25 MR. BROWNE, Q.C.: ... 35.

26 MR. OSLER: Right.

27 MR. BROWNE, Q.C.: Okay. We're referring to the deficit  
28 that you see the RSP account from an industrial  
29 perspective in 2002, 2003, and I think you base oil at 25 and  
30 20 and 15. You don't base it at \$28, I notice.

31 MR. OSLER: No. I was just looking for some symmetry of  
32 trying to understand the implications of \$5 up and down.

33 MR. BROWNE, Q.C.: And just before we get to the table,  
34 is it your position that it should be based at what is  
35 forecast, \$28 a barrel? Is that the position of the industrial  
36 customer?

37 MR. OSLER: I think we should keep clear that whatever I'm  
38 testifying to is my position and I don't ...

39 MR. BROWNE, Q.C.: Yes, but you're brought in by them  
40 and I think you're brought in to give opinion, so can you  
41 give us your opinion?

42 MR. OSLER: I'll give you my opinion. I'm just not speaking  
43 for the industrial customer. My opinion would be that in a  
44 rate stabilization plan you should have a plan to do what  
45 you're saying, which is to stabilize the rates at the cost that  
46 you think they're going to be at. Now it doesn't necessarily

47 mean you have to put it to \$28 in the year 2002 and you  
48 only had about \$12.50 before, but it would imply that you'd  
49 have a game plan to get to where you think the price of oil  
50 is going to be, charging that to your customers and having  
51 that as your base in your plan. That is not the way I  
52 interpret the, approach the problem. So you could phase it  
53 in over a few years given that you don't want to have a  
54 shock of doing it all at once, but you would not deliberately  
55 set a base that was different than where you thought the  
56 price was forecast to be in the sense of a two or three-year  
57 time horizon, some reasonable time horizon.

58 MR. BROWNE, Q.C.: So you're saying it should go to what  
59 is forecast, the \$28, only it should be phased in over time.  
60 Is that your position?

61 MR. OSLER: Well, \$28 may be a moving target. I think  
62 their forecast, when they filed it, was that \$28 would tend  
63 to come down, so my position is, to take an example if we  
64 could without hanging me on it, if you said three years was  
65 a reasonable phase-in time period, so what do you honestly  
66 think the price of oil is going to be in three years, and after  
67 evidence the Board says, yeah, we think the price of oil in  
68 three years is going to be this, let's aim to get there in three  
69 years. Let's not set a plan that is designed to not be where  
70 we think we're going to have to be.

71 *(10:15 a.m.)*

72 MR. BROWNE, Q.C.: From the industrial customers'  
73 perspective, according to your evidence, they are to be in  
74 a \$26 million deficit if it's based at \$25 a barrel by the end of  
75 2001. Is that a concern for the industrial customers?

76 MR. OSLER: I think it's \$26 ... I think those were opening  
77 balances. No matter which price we set there ... looking at  
78 this table ...

79 MR. BROWNE, Q.C.: \$26 million.

80 MR. OSLER: Yeah, \$26 million. I don't know what the  
81 industrials think as a group but the concept of \$26 million  
82 being in a fund that has to be charged back to you should  
83 be of concern to any group of customers, and what you're  
84 in effect doing is creating a mortgage account that has to  
85 be paid some day.

86 MR. BROWNE, Q.C.: Now, do you know how the  
87 industrial customers place this amount of money on their  
88 books, this \$26 million deficit? How do they ... what do  
89 they inform their auditors, do you have any idea of that?

90 MR. OSLER: I have no idea.

91 MR. BROWNE, Q.C.: If the Board decided to collapse the  
92 RSP Plan and have the industrials pay in a period of time,  
93 how would the amount be divvied up among the three  
94 industrials, among the two paper companies and North  
95 Atlantic Refinery?

1 MR. OSLER: I have no idea. I think one of the troubles  
2 with this plan is that I have a lot of difficulty even with the  
3 allocations as they exist between Newfoundland Power and  
4 the industrials. The concept that we could then take it and  
5 try and divvy it up between individual customers would  
6 seem to me to introduce another level of confusion or  
7 complexity, possible. There's no rules that I'm aware of as  
8 to how they would do it.

9 MR. BROWNE, Q.C.: And there are three industrials being  
10 represented here. If one of the industrials left the system,  
11 is it your evidence the other two industrials would be  
12 responsible for the entire deficit?

13 MR. OSLER: No, not my evidence.

14 MR. BROWNE, Q.C.: What do you believe would happen  
15 in that case?

16 MR. OSLER: My view is that if you re-ran the cost of  
17 service where they, having lost an industrial customer, then  
18 the implications would be borne by the entire system and  
19 all its customers, not just by the remaining industrial  
20 customers. That's the fair and appropriate way to do it.  
21 The thought that one industrial customer is held  
22 accountable for the loss of load or benefits directly  
23 because of a gain in load from another industrial customer,  
24 I don't see any justification for that.

25 MR. BROWNE, Q.C.: Now, if another industrial, if another  
26 industry was to be attracted to the province and do a deal  
27 with Hydro for the provision of electrical services, would  
28 that other industrial be taking on the debt of this particular  
29 class?

30 MR. OSLER: I'm not as sure we have an assigned debt to  
31 the customers here, but the way I understand the scheme,  
32 if you became privileged enough to be called an industrial  
33 customer, you'd be having to pay the charges flowing from  
34 this account in a practical sense that they would charge  
35 you when they sought to recover the balances through the  
36 extra mill rate that they charge to the RSP, and if you were  
37 an industrial customer you would, as I understand the  
38 scheme, you would be privileged to pay that amount.

39 MR. BROWNE, Q.C.: So you would come in under the  
40 umbrella of the debt if new industry was to come into the  
41 province, is that your answer?

42 MR. OSLER: Yeah. You would ... I have never, I guess,  
43 thought of it from that issue, but it would be an interesting  
44 concern ...

45 MR. BROWNE, Q.C.: I would think so.

46 MR. OSLER: ... for a new industry coming in.

47 MR. BROWNE, Q.C.: It's a great attractor. Come in, we can  
48 give you, what is it, \$26 million divided by four. Yeah.

49 MR. OSLER: The mill rates, according ... yeah, it would be  
50 ... I could see them giving some concern to that, yeah.

51 MR. BROWNE, Q.C.: So the lawyer might want to do their  
52 due diligence if they're acting on behalf of that company.  
53 In reference to the RSP, is it your evidence that the end  
54 users are ultimately responsible for payment of deficiencies  
55 in the RSP, consumers, from Newfoundland Power's  
56 perspective and the industry, from the industry's  
57 perspective?

58 MR. OSLER: Is your question, is it my understanding of  
59 how it works, that that's how ...

60 MR. BROWNE, Q.C.: Yes.

61 MR. OSLER: Yes. Ultimately my understanding of the  
62 intent and the way in which it's structured is that whatever  
63 amounts are in there are to be charged out on this declining  
64 balance basis to customers, end users.

65 MR. BROWNE, Q.C.: And is it your understanding that  
66 Hydro has the liability on its books and borrows the money  
67 to fund the RSP?

68 MR. OSLER: Certainly it's on Hydro's books. I don't know  
69 how you deal with it here in the sense of a, what some  
70 would call a trust account. In the Yukon the rate  
71 stabilization plan, which is called the Diesel Contingency  
72 Fund, is effectively created as a, on the books of the  
73 company, but it's under the control of the utility board, and  
74 there's no way that the company can do anything it wants  
75 with that fund without getting approval from the board, so  
76 in that sense stabilization funds are often on the books of  
77 a company but subject to the rules and directions of a  
78 utility board.

79 MR. BROWNE, Q.C.: Would it be on the books, from your  
80 knowledge of the RSP here, on the books of Newfoundland  
81 Power?

82 MR. OSLER: I have never looked at it but I would assume  
83 that that'd be the case and I could be dead wrong.

84 MR. BROWNE, Q.C.: Or would it be just on the, to be flow  
85 through to their customers? Is Newfoundland Power off  
86 the hook here? We have the end users, the industrials  
87 having to pay, the consumers having to pay, we have  
88 Hydro having it as a debt, which they're borrowing money.  
89 What is Newfoundland Power's function here, the middle  
90 man?

91 MR. OSLER: Well, from what I've been reading I gather  
92 they have their own various funds, weather stabilization  
93 and their own stabilization scheme so that they seem to, as  
94 a, if you like, a middle man, have their own additions that  
95 relate to the exercise which I'd have, I'm not familiar with,  
96 but they are sort of like a water system with a series of  
97 reservoirs. We fill them up at various stages as we go

1 down. Eventually it does flow down to the customer, so I  
2 trust, unless somebody has found a way to syphon out  
3 expenses somewhere else.

4 MR. BROWNE, Q.C.: Can you go to CA-218? You made  
5 reference to the Yukon's Rate Stabilization Plan, and I asked  
6 there for a summary of results of survey, Canadian utilities,  
7 regarding rate stabilization plans and description of the  
8 relevant plans. Are you familiar with any of these plans?

9 MR. OSLER: I'm certainly not familiar with Nova Scotia,  
10 New Brunswick's or Maritime Electric's. There's nothing,  
11 according to this, in Hydro-Quebec, Ontario Hydro or  
12 Manitoba Hydro, Sask Power, Atco, (inaudible). I'm aware  
13 ... I've been aware at times, I'm not up on it right at this  
14 moment, on the rate stabilization approach in British  
15 Columbia, but I think it's very much a ... I think you've  
16 described it elsewhere in the transcript as very much an  
17 overall stabilization to do with our export earnings and a  
18 few other things like that. It's not down to customers'  
19 specific accounts, if I remember correctly. Northwest  
20 Territories, I'm not personally familiar with th is. I think  
21 some of my staff are. They haven't got Yukon here, it  
22 seems.

23 MR. BROWNE, Q.C.: But the Yukon has one as well, to  
24 your knowledge?

25 MR. OSLER: Yeah. The Yukon ... in the context of what  
26 you're talking about here, you would have found that Atco  
27 in the days when it was regulated in Alberta, I'm not sure  
28 where it is right now, Alberta Utilities typically had fuel  
29 adjustment clauses and in the sense that you're using the  
30 term here. Somebody talking on the telephone might not  
31 think of it that way but Northwest Territories, I believe,  
32 certainly Yukon and Alberta Utilities, have fuel adjustment  
33 riders which are part of your approach, and then they also  
34 have the water stabilization type of funds, which in Yukon's  
35 case is called the Diesel Contingency Fund, and the  
36 concept is very similar to the hydraulic account you have  
37 here, that to the extent that there is an increase or a  
38 decrease in diesel generation required on the main system  
39 there, due to the water availability being varying from the  
40 long-term average, then the effects on diesel costs are put  
41 into a, the Diesel Contingency Fund or taken out of it as  
42 the case may be. This particular approach was first  
43 instituted in the late '80s and has been modified and  
44 evolved, various stages, during the '90s, and it has  
45 developed a certain level of sophistication where it actually  
46 stops being utilized or stops having amounts charged to it  
47 or something or another when diesel is not on the margin  
48 in the system because the load is too low, which has  
49 happened when the major mine up there closed. So it's a  
50 fairly sophisticated approach. It is entirely separate from  
51 your treatment of fuel adjustment, which, with two utilities,  
52 their run of fuel adjustment, what they call a rider, fuel rider

53 account, they are under direction from the Board and  
54 indeed order-in-council, which doesn't require the Board's  
55 approval, to ensure that the rider is adjusted or installed as  
56 required from time to time to make sure that fuel prices, fuel  
57 costs are being recovered, and they have got directions  
58 from the Board up there that if they sit on their hands too  
59 long after a fuel price change and don't start to reflect in the  
60 rider, the Board doesn't like that so that they ...

61 MR. BROWNE, Q.C.: What do we mean by too long there?

62 MR. OSLER: I think it would be consistent with Mr.  
63 Brickhill's evidence, six months to a year. They've sat once  
64 for a little bit longer than that and the Board didn't like it  
65 when it saw them next. And the way they do it is  
66 essentially to look at the deficit that they might have built  
67 up or, and then look at what they think the price is going to  
68 be and try and set a rider that's likely to be stable for a  
69 period of time, and what's happened in the last ten years  
70 plus, since I've been around, we have had two price, you  
71 know, spikes in all, so it's worked out. The rider came on  
72 one time and it went up by three or points on the rates. It  
73 paid off, it did okay when the price went down and they  
74 were able to get rid of the rider again, and I think it's  
75 happening again as we sit here now. We had to put a rider  
76 on recently when the price went up and I'll bet you that  
77 rider can get reduced now or pulled back again because the  
78 price has gone down lower than people thought.

79 MR. BROWNE, Q.C.: So it built up there in a brief period of  
80 time.

81 MR. OSLER: Oh, yes.

82 MR. BROWNE, Q.C.: It's not done year over year as here  
83 to build up an account.

84 MR. OSLER: No, and I think if I can ... when I look to the  
85 history here, you had a technique that went month by  
86 month with a great deal of variability. I mean, there are fuel  
87 adjustment approaches that can conform more closely with  
88 the ideas of stability than the one you've had in  
89 Newfoundland historically, so it got a pretty bad reputation  
90 given the approach you took. The one I'm talking about ...

91 MR. BROWNE, Q.C.: Was it pre-1985 you're ...

92 MR. OSLER: Yeah, yeah. It was very, very ... if I looked at  
93 some of the evidence, it really did have an effect and it  
94 would drive, I could see where it might drive a reasonable  
95 consumer a little bit frenzied.

96 MR. BROWNE, Q.C.: So if they had the six-month to the  
97 twelve-month period as other jurisdictions had at the time  
98 ...

99 MR. OSLER: Right, right, and if they tried to stabilize it to  
100 the extent they can, smooth it out rather than, you know,  
101 go to one extreme or the other.

1 MR. BROWNE, Q.C.: Are we at the other extreme now?  
2 MR. OSLER: I think you've gone from one extreme to the  
3 other, yes. This one has the virtues of stability. *(laughter)*  
4 MR. BROWNE, Q.C.: What specifically are you suggesting  
5 that the Board should do with regard to the cost treatment  
6 of the investment in the Great Northern Peninsula  
7 interconnection?  
8 MR. OSLER: If the Board is satisfied that the project was  
9 prudent, I would recommend that the transmission facilities  
10 be specifically assigned to the rural customers.  
11 MR. BROWNE, Q.C.: Why?  
12 MR. OSLER: Because I think the facility is primarily almost  
13 exclusively to their benefit and not to the customers' on the  
14 rest of the system.  
15 MR. BROWNE, Q.C.: But yet you just told me in reference  
16 to the frequency converters that the paper mills that,  
17 specific to them, but it should be deemed as common. Is  
18 that an inconsistency in your position there?  
19 MR. OSLER: No, because the whole issue to deal with  
20 converters was that without debate or dispute they were  
21 established, the system was established on a basis that was  
22 of benefit to all and we're now dealing with the situation a  
23 long time later, trying to deal with it fairly and justly. In this  
24 case we're dealing with the establishment of this  
25 interconnection at its origin and the dispute at its essence  
26 is whether or not this is a common benefit to all the  
27 customers that were on the system before or is primarily  
28 and almost exclusively to the benefit of the customers that  
29 were previously there called rural, so we're right at the  
30 origin, we're at the nub of the issue at the start and in my  
31 opinion that goes to the ...  
32 MR. BROWNE, Q.C.: Wouldn't you agree with me that the  
33 Great Northern Peninsula interconnection is of common  
34 usage, we have all different classes of rural customers there  
35 using that, people in the general category will have fish  
36 plants using it up there?  
37 MR. OSLER: You have a variety of rural customers and  
38 they should all ... that's what I mean assigning it to the rural  
39 group, the group that would have paid the costs, would  
40 have had the cost assigned to them before and then to the  
41 extent they weren't paying the cost it would be called a  
42 rural deficit, it would be assigned out to a bunch of other  
43 people. That's essentially what the situation was like  
44 before you built the interconnection. The people that were  
45 living there were not paying by any means all of the costs  
46 of providing the power, so it seems to me that when you  
47 get right down to it what we're doing is shifting, we're  
48 trying to find the less costly way of serving these people  
49 and if that ...

50 MR. BROWNE, Q.C.: And would you say this is the less  
51 costly way?  
52 MR. OSLER: Well that's the prudence issue. I have not  
53 been persuaded that the Company has convinced me  
54 anyway that that's the case but it's close and it's already  
55 done, and if the price of oil ... well, never mind, done. But  
56 if it has a benefit as a result of, let's assume for the moment  
57 it is prudent and does lead to some overall cost savings  
58 over time, which was my discussion with Mr. Young, then  
59 the beneficiary of that would be those who pay the rural  
60 deficit because it will simply go to reducing the rural deficit,  
61 and I'm very, very concerned that by simply looking at  
62 electrons and discussing things without looking at the  
63 whole issue here, we say that this is called common, we  
64 suddenly with the stroke of a pen assign all these costs to  
65 the customers in the integrated system, including the  
66 industrials, who, under no circumstances, would pay for  
67 the deficit if it was left as a rural deficit under the laws as  
68 they exist now.  
69 MR. BROWNE, Q.C.: You stated in **your evidence, page**  
70 **nine, lines one to two, of your pre-filed second**  
71 **supplementary** ... I guess that's your last filed evidence.  
72 Page nine, lines one and two. We're talking about the 1.5  
73 million which you're claiming in reference to the RSP.  
74 MR. OSLER: Right.  
75 MR. BROWNE, Q.C.: When did the industrial customers  
76 become aware that there were inconsistencies in the proper  
77 operation of the RSP?  
78 MR. OSLER: I can only speak to when I became aware, and  
79 it was in the course of preparing for this hearing. I really  
80 didn't understand how the allocation mechanisms worked  
81 until we got the answers to a series of questions that are  
82 addressed in this second supplementary, so I probably put  
83 my mind on it some point in November.  
84 MR. BROWNE, Q.C.: Have the industrial customers  
85 discussed, well, there's a billing discrepancy, I guess, with  
86 Hydro's Customer Service Department?  
87 MR. OSLER: I do not know that.  
88 MR. BROWNE, Q.C.: If it's a dispute between Hydro and  
89 the industrial customers concerning a billing calculation,  
90 wouldn't the appropriate forum for the discussion have  
91 been between the two parties involved, some form of  
92 alternate or dispute resolution, you might want to consider  
93 Ms. Butler's company, rather than in a public hearing such  
94 as this? *(laughter)*  
95 MR. OSLER: I'm not aware of this ever having been a  
96 contractual matter between the parties. In my reading of  
97 their contracts I didn't see the words "RSP" once. I think  
98 the matter, this is the first time the matters pertaining to rate

1 charges by Hydro to industrial customers have become  
2 under the jurisdiction of the Board. I guess this is just one  
3 of many issues that's on the table to get sorted out, the  
4 principles, and how you want to deal with them in the  
5 future. It may be that dispute resolution ... I think  
6 somebody was asked this earlier by one of the  
7 commissioners. It may be here, like it has been in some  
8 other jurisdictions, a very good way to proceed but it  
9 seems to take a bit of getting everybody used to what the  
10 ground rules are before you can proceed. I mean, I think  
11 there's been a long gap in time here between the last time  
12 and the current time. Once the decisions are rendered and  
13 rules are set, parties might look to being able to solve more  
14 of their disputes through that method.

15 MR. BROWNE, Q.C.: The industrials would have had a fair  
16 opportunity to review their bills as they're given from  
17 month to month. Is it really fair to go back now to 1992 and  
18 say, yeah, there was a mistake we just discovered in the  
19 year 2001?

20 MR. OSLER: It has taken a long time to get a clear answer  
21 as to how these things are allocated. It's not transparent at  
22 all from the material that the industrial customers receive  
23 along with others on a monthly basis.

24 MR. BROWNE, Q.C.: If we go back to 1992 and you're  
25 suggesting the RSP be revisited at a different rate, aren't  
26 you really suggesting that rates be established  
27 retroactively?

28 MR. OSLER: I think the rates are interim, if I'm not  
29 mistaken, with the industrials in any event, which means  
30 that they're still subject to confirmation by the Board. In  
31 the case of this RSP, I don't believe either the industrials or  
32 the Board have ever sanctioned a particular approach to the  
33 industrials. The Board didn't have jurisdiction at the time  
34 this scheme was put in place and I'm not aware of any  
35 evidence that the industrials consented to or agreed as a  
36 matter of contract to a particular scheme. So I frankly think  
37 what's been going on is that I am not the only one who's  
38 been learning what this is all about, so we've been on an  
39 odyssey to find out what really has been going on and  
40 whether it is consistent with a whole bunch of principles or  
41 not.

42 MR. BROWNE, Q.C.: Is it your view that the entire RSP  
43 Plan is really a form of establishing rates retroactively?

44 MR. OSLER: I hesitate on the word "retroactively." I think  
45 that the RSP Plan is part, an integral part of a rate structure  
46 and is reflected as such now in the application because it's  
47 in as a schedule in the rates, but I don't think its intent was  
48 to do it all retroactively. The intent was to impose charges  
49 that would be felt in the future.

50 MR. BROWNE, Q.C.: Thank you very much, Mr. Osler.

51 These are our questions.

52 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.  
53 Browne. Thank you, Mr. Osler. We'll move now to  
54 counsel's questions, Mr. Kennedy, please.

55 MR. KENNEDY: Thank you, Chair. Mr. Osler ... Mr.  
56 O'Rielly, I wonder if we could pull up **DRW-1, page five**?  
57 This was an exhibit put forward by Hydro early on in the  
58 hearing actually and for the purposes of some of the  
59 questions I wanted to ask you about the classification of  
60 transmission in particular to demand and energy, and I  
61 think that this map will get us there, and with the assistance  
62 of Mr. O'Rielly helping us tip toe around through the  
63 geography of the province. I fully understand that you  
64 may not be intimately aware with some of the more remote  
65 locations. But as you know, one of the principal issues in  
66 this application that's at issue is the allocation of, or the  
67 classification of transmission (inaudible), and we've heard  
68 a lot of testimony and I know in your subsequent or  
69 supplementary evidence you've taken exception, for  
70 instance, to some of the positions of Dr. Wilson and others  
71 regarding that, so I just wanted to see if I understood or  
72 make sure that the differences there were clear to all. I  
73 guess maybe what I thought I would do is just start first  
74 with the summation, if you will, of your position on the  
75 issue, and if I understand it correctly initially or principally  
76 you agree with Hydro's position that generation-related  
77 costs should be classified to demand and energy in  
78 accordance with the system load factor, is that correct?

79 MR. OSLER: Correct.

80 MR. KENNEDY: And that generation specific transmission  
81 plant should be treated similar to the generation plant itself  
82 in that it too should be classified to demand and energy in  
83 accordance with the system load factor.

84 MR. OSLER: Correct.

85 MR. KENNEDY: But that, and this is where you perhaps  
86 disagree with Dr. Wilson but continue, I think, to agree  
87 with Hydro's position, which is that the grid transmission  
88 related costs should be treated all to one and not to  
89 demand and energy, is that correct?

90 MR. OSLER: They should all be treated as classified to  
91 demand, yes, based on the practice as I've seen.

92 MR. KENNEDY: Okay. So, Mr. O'Rielly, I wonder if we  
93 could just put our cursor on Cat Arm, which is up by  
94 Harbour Deep up there. Yeah. *(laughter)* The blind  
95 leading the blind here, but ...

96 UNIDENTIFIED SPEAKER: It's a long way from the  
97 southern shore. *(laughter)*

98 MR. KENNEDY: That's Cat Arm, Mr. Osler.

- 1 MR. OSLER: Okay. Where I see his hand, okay.
- 2 MR. KENNEDY: Alright. And that's a generation unit  
3 owned and run by Hydro.
- 4 MR. OSLER: Okay.
- 5 MR. KENNEDY: And as I understand it, that's a hydraulic  
6 generation plant and so being a hydraulic generation plant  
7 you would agree that the cost of that plant would be  
8 classified to demand and energy as we stated in accordance  
9 with the system load factor.
- 10 MR. OSLER: It would be my understanding, yes.
- 11 MR. KENNEDY: Okay. And as I understand it, the red line  
12 that goes from Cat Arm there down to where it ties into,  
13 and I'm going to call it the grid and you can correct me if I'm  
14 wrong, but that that line would be called a radial line, is that  
15 correct?
- 16 MR. OSLER: I'll accept it and I don't know whether, what  
17 terminology you would necessarily use here, but ...
- 18 MR. KENNEDY: Okay.
- 19 MR. OSLER: ... it would make sense it was called a radial  
20 line.
- 21 MR. KENNEDY: Okay. So for the purposes of this  
22 question let's just assume it's a radial line, I guess. So your,  
23 in your professional opinion, based on the overall  
24 operation of the connected electrical system for the  
25 Province of Newfoundland, the Cat Arm generation plant,  
26 together with that radial line, would be classified to demand  
27 and energy in accordance with the system load factor.
- 28 MR. OSLER: Let me be very careful here in terms of local  
29 facts. I don't know anything about the history of this line  
30 and whether there might be other matters under debate or  
31 (inaudible), but it wouldn't surprise me if you told me that  
32 that line had been built only because of the generation and  
33 therefore in the past it had already been classified on the  
34 same basis as the generation. Just looking at the map ...
- 35 MR. KENNEDY: Sure, and I'll ask you to accept that there's  
36 not much more up in Cat Arm other than a generation plant,  
37 so there wouldn't be much other reason to build this line  
38 from the Cat Arm plant ...
- 39 MR. OSLER: Alright.
- 40 MR. KENNEDY: ... except to provide the electricity or the  
41 energy generated from that plant to the grid.
- 42 MR. OSLER: There can be some healthy debates is all I'm  
43 saying over exactly which lines fit this description and I  
44 don't want to get dragged into it inadvertently here.
- 45 MR. KENNEDY: And I appreciate that and I'm not talking  
46 about specifics but I chose this one in particular ...
- 47 MR. OSLER: Okay.
- 48 MR. KENNEDY: ... because of it's, if it, hopefully, as I  
49 understand it, it's free of such historical tainting.
- 50 MR. OSLER: I don't know in fact whether that line has  
51 been so classified, which you haven't told me that.
- 52 MR. KENNEDY: Okay. Assuming that it is though, that it  
53 is a line built specifically for the purposes of delivering the  
54 energy generated from that Cat Arm plant to the grid, in  
55 accordance with your opinion, consistent with your report,  
56 you would for the, treat the cost of that radial line similar to  
57 the cost of the generation plant itself and split it among  
58 demand and energy in accordance with the system load  
59 factor.
- 60 MR. OSLER: Based on the assumptions you've given me  
61 to work with, yes.
- 62 MR. KENNEDY: Okay. Alright. Let's just leave that aside  
63 for a second and go to Bay d'Espoir. That's the one in the  
64 middle, Mr. O'Rielly. There you go. Where the cursor is  
65 now is generally where Bay d'Espoir is located, and  
66 actually, Mr. Osler, if you turn around you'll see then a  
67 more detailed mapping of that, just to get a better feel for  
68 what's taking place there in the Bay d'Espoir area.
- 69 MR. OSLER: Uh hum.
- 70 MR. KENNEDY: Okay. And again the Bay d'Espoir Hydro  
71 hydraulic generating station is itself, from a cost  
72 perspective, classified to demand and energy in accordance  
73 with the system load factor.
- 74 MR. OSLER: I assume it is, yes. It should be.
- 75 MR. KENNEDY: And the specific, lines built specifically to  
76 deliver the energy generated from the Bay d'Espoir plant to  
77 the grid, to the main transmission grid, would, assuming  
78 there's no historical tainting again of the line, historical  
79 factors that need to be taken into account, would be treated  
80 from a cost perspective the same as the plant itself.
- 81 *(10:45 a.m.)*
- 82 MR. OSLER: Well, that's the principle that you're looking  
83 at. This map, and where Mr. O'Rielly's hand is, it looks like  
84 the grid in this jurisdiction and Bay d'Espoir are very  
85 closely inter-tied. I mean, the whole system is developed  
86 with this in mind so that I don't know where there'd be any  
87 room for directly assuming that it is a part of that little line  
88 in there that's only for generation or whether it's been  
89 viewed historically as the evolution of the grid, going back  
90 to frequency converter questions and things like that.
- 91 MR. KENNEDY: Right.
- 92 MR. OSLER: So there may not be a distinction here. I  
93 wouldn't be surprised if there wasn't in this instance.

1 MR. KENNEDY: As I understand it though, the point of  
2 departure from your position and that of Dr. Wilson  
3 specifically in regards to the classification of costs of the  
4 transmission grid itself is that the transmission grid from  
5 Dr. Wilson's perspective should be given a demand  
6 component rather than being treated purely as energy, is  
7 that right, or vice versa, sorry, that it should be treated in  
8 part as energy and not purely demand?

9 MR. OSLER: I take it that that's his position but I think if  
10 you ... I think my comments were that I wasn't completely  
11 sure also as to whether he was focusing on the type of  
12 exception that we've been talking about already or whether  
13 he was talking about something much broader than that for  
14 the whole transmission system. I wasn't clear and I was  
15 waiting for his testimony to find out more about that, but if  
16 ... I've assumed that that might be the case, the way you  
17 put it, that he was implying that on the main grid, where we  
18 don't have a case of a type we've been talking about, that  
19 somehow or other some portion of those costs shouldn't  
20 be, should be classified to energy rather than all the costs  
21 that currently being classified to demand.

22 MR. KENNEDY: Now the transmission line, these main  
23 transmission lines that go from Bay d'Espoir over towards  
24 the Avalon Peninsula and would hook up somewhere  
25 around Goobies, which is ... Mr. O'Rielly will show you  
26 where Goobies is. That portion of the line there, going from  
27 the Bay d'Espoir hydraulic generating station to the next  
28 main point, if you will, on that section of the transmission  
29 line, you would, as I understand it again, just ignoring for  
30 a moment the historical possibility there may be some  
31 historical reasons to treat it differently, that if this was just  
32 built yesterday, for instance, that you would treat that  
33 portion of the line as being solely demand related and that  
34 you would not allot an energy component to the cost  
35 classification.

36 MR. OSLER: Right. If there wasn't a line going north from  
37 Bay d'Espoir and this looked like it was just a hydro plant  
38 built out, and I'm not meaning to be at all pejorative,  
39 assuming I'm from Winnipeg, I know nothing, out in the  
40 wilderness, you know, like up north, we call it the  
41 wilderness and it has nothing to do with the wilderness,  
42 believe me, but then I might have a different point of view,  
43 but when I see the lines coming through and keeping going  
44 and everything else, it looks like it's a grid serving people  
45 on both sides and all this type of stuff, and therefore would  
46 probably be the type you and I just discussed.

47 MR. KENNEDY: Okay. So just so I understand the  
48 rationale itself, just going back to Cat Arm again and ... the  
49 reason that you classify Cat Arm to demand and energy is  
50 because in that when the plant is built it's built to serve  
51 both, correct? It's built to provide capacity to the system  
52 but it's also built to provide energy to customers.

53 MR. OSLER: Yeah. If you give me a bit of tolerance here,  
54 the fact that something is a hydro plant wouldn't  
55 automatically mean it's classified this way in my  
56 professional experience. I can give you, again in Yukon, a  
57 facility that was, a hydro facility built in Whitehorse called  
58 Whitehorse No. 4, which was built to take surplus summer  
59 flows and translate them into energy and thereby save  
60 diesel. When it was built the evidence was it would have  
61 no effect on the system's capability to meet its peak in the  
62 middle of winter, so it had zero capacity capability  
63 contribution at the time it was planned and it therefore was  
64 classified by the Board entirely to energy, and I can think  
65 in theory that there could be cases the other way around  
66 where you could be classifying a lot of the cost to capacity  
67 because it's built that way. So going to the heart of your  
68 question, you go to the time period it was designed and  
69 built and what was the evidence as to what it was doing,  
70 and we go to system load factor approach as a sort of a  
71 simple way to deal with the bulk of the facilities of this  
72 nature rather than trying to go through a deal with each  
73 one and driving ourselves nuts.

74 MR. KENNEDY: Sure. So as I understand it, one of the  
75 underlying principles of this classification model is that the  
76 hydroelectric generating plant is often required to be built  
77 in remote locations.

78 MR. OSLER: Right.

79 MR. KENNEDY: And so the plant itself is being built to  
80 provide energy to customers in part.

81 MR. OSLER: In part.

82 MR. KENNEDY: That's normally one of the reasons why  
83 you would build a hydraulic generating station, to deliver  
84 energy.

85 MR. OSLER: Right.

86 MR. KENNEDY: And, but it's also, by virtue of being built,  
87 also provides capacity to the system as well.

88 MR. OSLER: Yes, and because you're using water, you will  
89 probably design the facility to get the most value from the  
90 water, so you often build up the capacity of the facility so  
91 you can pond the water at least on a daily basis so you  
92 can, like, store it during the night and run it during the day  
93 when you've got your peaks, or you might store it, you  
94 know, if you got a little bit more storage capability, you  
95 might store it during the summer in order to use it during  
96 the winter, and if you got lots of storage capability like  
97 Quebec or something, you might store it over years, okay,  
98 so you don't want to waste the water, is the principle. You  
99 want to get the most value for it. So you tend to have  
100 capacity for sure as one of the elements in what you're  
101 building it for, but it's certainly not the only one.

1 MR. KENNEDY: Sure. And so the classification of the  
2 cost for this purpose has a lot to do with the system  
3 planning or the system planning that took place at the time  
4 that it was constructed, is that right?

5 MR. OSLER: That is correct.

6 MR. KENNEDY: Chair, that's perhaps a good place to  
7 break.

8 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.  
9 Kennedy. We'll break until ten after.

10 (break)

11 (11:15 a.m.)

12 MR. NOSEWORTHY, CHAIRMAN: Thank you. You  
13 continue, Mr. Kennedy, when you're ready, please?

14 MR. KENNEDY: Thank you, Chair. Mr. Osler, I just  
15 wanted to just make sure I understood something that you  
16 had indicated just a moment ago when we were dealing  
17 with Bay d'Espoir plant, and I was asking you about the  
18 classification of the transmission line going from Bay  
19 d'Espoir to Goobies, that line there, and I wonder if we  
20 could make an assumption first in order to give you a  
21 hypothetical, and the assumption is that there's no line  
22 going from Bay d'Espoir up to Bishops Falls, so that for the  
23 purposes of this hypothetical what we have is the Bay  
24 d'Espoir hydraulic generating station and then this  
25 transmission line going to Goobies, and I'd also ask you to  
26 take it as a given that there's not much between those two  
27 points, and so that the only purpose of that transmission  
28 line would be to get the energy and capacity, if you will,  
29 generated from the Bay d'Espoir plant to Goobies. And if  
30 I gather correctly, you seem to indicate that that would  
31 impact on your opinion about how the costs for that  
32 transmission line should be classified. I'm wondering if you  
33 could just elaborate on that?

34 MR. OSLER: Well, we're dealing with a hypothetical?

35 MR. KENNEDY: Uh hum.

36 MR. OSLER: And the experiences that I've seen where  
37 people get into classifying transmission lines on the basis  
38 of both generation energy and capacity as per the  
39 generating plant have been sort of like your Cat Arm  
40 example you gave earlier, something where there's a line  
41 going in typically one direction that doesn't, on its face,  
42 have a lot of other purposes associated with it in terms of  
43 serving loads or making a system more reliable or a whole  
44 bunch of other issues that can surface, and appears to have  
45 been something that was put in place because of the  
46 generation being developed. Probably was part and parcel  
47 of the planner's thought process, etcetera, that they had to  
48 build this line in order to get the generation facility into the  
49 marketplace. The most dramatic examples I'm aware of are

50 in northern Manitoba, the long high voltage direct current  
51 HPDC lines that come from the north classified in the way  
52 that you and I are talking about at that moment. There's a  
53 myriad of details you could get into about other types of  
54 lines and stuff like that that make one cautious about going  
55 too far with simple principles. Now, so the hypothetical  
56 examples you've asked me to think about were moving in  
57 the direction of making the Bay d'Espoir plant and the  
58 transmission line flowing and going in one particular  
59 direction from it maybe, might, under some circumstances  
60 meet these types of assumptions. Hypothetically, it might,  
61 and, but it would be something you'd get into a lot more  
62 detail than you and I are getting into here, and in the case  
63 of a system where the lines do, in fact, run in different  
64 directions and it's integral to the development of a grid for  
65 the whole island, there could, as well, be completely  
66 offsetting thought processes that would make this quite  
67 apparent to be a grid system be normally assigned on the  
68 basis of demand, so we'd have to go into a lot more detail  
69 beyond the hypothetical.

70 MR. KENNEDY: So just following along with that  
71 hypothetical, if there were no transmission line going from  
72 Bay d'Espoir to Grand Falls, Bishops Falls, then the  
73 transmission line that goes from Bay d'Espoir to Goobies is  
74 possible that that could get classified more in accordance  
75 with how we would classify the radial line going from Cat  
76 Arm down to the first point in the grid?

77 MR. OSLER: It's hypothetically possible that someone  
78 could come up with enough assumptions that would make  
79 a case for doing that. I'm not aware of any such case  
80 having been developed in practice.

81 MR. KENNEDY: Just going to your example in the Yukon,  
82 you indicated that it was your experience that there was a  
83 plant built in the Yukon which provided energy, I believe it  
84 was, to the ...

85 MR. OSLER: The one you and I were talking about before  
86 the break?

87 MR. KENNEDY: Yes.

88 MR. OSLER: It's a 20 megawatt facility on the Yukon River  
89 called Whitehorse Number 4. It was built in the 1980s  
90 entirely to take the summer run off, if you like, and used it  
91 to displace diesel when the load on the overall system was  
92 big enough or high enough to do that, so it was displacing  
93 energy and not contributing at all to the system capability  
94 at peak.

95 MR. KENNEDY: Okay, so then I guess that's the  
96 distinguishing feature, isn't it, that it is providing capacity  
97 to the system that that example you gave us, the  
98 Whitehorse Number 4 is providing capacity but the  
99 purpose of it being built was to provide energy?

1 MR. OSLER: The evidence was that it provided nothing, it  
2 was not designed to provide anything to the system peak,  
3 at the coincident peak in the wintertime because it  
4 theoretically could not. The firm river flows were not  
5 sufficient to utilize the plant, and just to bore you with a  
6 little bit more, it's called Number 4 because there were three  
7 other ones built first, and the other three are also 20  
8 megawatts and they're sufficient to, if you like, use the river  
9 flow, if it's available, under firm winter conditions, so those  
10 20 megawatts could probably run all year round or virtually  
11 all year round, but the other 20 megawatts when they were  
12 added on were literally only there to get the summer flow  
13 and they didn't contribute anything towards meeting the  
14 system peak at wintertime because they wouldn't meet all  
15 the tests that you'd need to do that. So in a layman's sense  
16 they provided the capability to have additional energy  
17 generated and capacity supplied, but in a practical planning  
18 sense and on review, they did not contribute to the system  
19 peak capability, which is what capacity is all about.

20 MR. KENNEDY: Okay. On the system peak capability and  
21 the coincident peak, I had a few questions about that  
22 because there's parts of it that I'm afraid I'm still a bit  
23 muddled on. There was a statement you made during  
24 cross-examination by, I believe it was counsel for  
25 Newfoundland Power, regarding the peaks in the system,  
26 and my notes indicate your statement was something in  
27 accordance with that this system has only one peak per  
28 year, and when it occurs is irrelevant?

29 MR. OSLER: Okay. It may have been with Hydro, but  
30 anyway, okay.

31 MR. KENNEDY: Okay, and I guess from a lay person's  
32 perspective, it's always going to be the case that there's  
33 one peak in the year for any system? In other words, it  
34 seems like the methodology employed is to look at the  
35 system peak on a day-by-day basis, determine when the  
36 system peak occurred and then calculate what the  
37 coincidence is for the different customer groups during that  
38 peak period, correct?

39 MR. OSLER: I can understand that perspective. What I'm  
40 getting at with the concept of two system peaks, I think Mr.  
41 Brickhill raised it first, in the American situation they had  
42 seen the evolution of the summer peak, if you like, with air  
43 conditioning and its surpassing even to the south of  
44 Manitoba, surpassing the winter peak, but I think the  
45 planners, at least in the northern part of the States, would  
46 still say it hasn't surpassed it by such a level that they want  
47 to just say they've only got one peak. They literally worry  
48 about two peaks in their operation of the system, one in the  
49 summer and one in the winter, so it's in that sense of the  
50 word. Technically there may be one of them that's always  
51 going to be bigger any one year, but they would probably  
52 say that to plan and design this system they've got to be

53 conscious of these two system peaks when they're building  
54 up their capability.

55 MR. KENNEDY: So that if we just go with a hypothetical  
56 and we say that there's 1000 megawatt peak that takes place  
57 in the month of January and an equal peak that takes place  
58 in the month of July.

59 MR. OSLER: Uh hum.

60 MR. KENNEDY: And all other months in the run of the  
61 year are substantially less than either one of those peaks.

62 MR. OSLER: Okay.

63 MR. KENNEDY: Then, as I understand it, we would clearly  
64 have a two peak a year and that one of the underlying  
65 presumptions is that the participation, if you will, by the  
66 various customer groups, in contributing to that peak, may  
67 be different in the January month than it would be in the  
68 July month?

69 MR. OSLER: Right.

70 MR. KENNEDY: And that would drive in part the rationale  
71 for why you should go with the 2-CP as opposed to a 1-  
72 CP?

73 MR. OSLER: Right, and in the hypothetical example what's  
74 important is that there is a peak in the winter. We may or  
75 may not have it happen in January. It may be December, it  
76 may be February or whatever, and there's a peak that's  
77 going to occur in the summer, we're fairly confident of that.  
78 It may happen in July, it may happen in June, it may happen  
79 in August. In that sense, to put it back to the words you  
80 gave in the beginning, the fact that we've got these two  
81 peaks is what really matters. Whether they occur in the  
82 months that you and I are talking about or in a nearby  
83 month, to paraphrase what I said earlier, is irrelevant.

84 MR. KENNEDY: And so let's go with another ... and so  
85 first of all, in that hypothetical, as I say, the underlying  
86 presumption is that the customers contributing to those  
87 peaks are likely to be different, at least proportionally,  
88 because of the fact that it's over two completely different  
89 time periods, and the mix would be different. The industrial  
90 classes may be using energy more in the winter and less in  
91 the summer or vice versa, and Newfoundland Power, for  
92 instance, may be using more energy in the winter and less  
93 in the summer or vice versa, and that that ... those changes  
94 that take place on a seasonal basis are what provide at least  
95 one of the rationales for why you would go through the  
96 effort of calculating a 2-CP allocation?

97 MR. OSLER: Right. I mean, you would assume that that's  
98 possible, so the effort would be undertaken in case those  
99 issues arose in order to make sure you were fairly treating  
100 the different customer classes. There would be other  
101 issues that arise when you start going beyond 1-CP, and

1 they would be, you know, how much importance do you ...  
2 is there equal loss of load associated with each one or is  
3 one more important than the others, and do you, therefore,  
4 weight each of the two peaks equally or do you give more  
5 weight to the one in one time period versus the other?  
6 Those are other questions that might arise in the  
7 hypothetical.

8 MR. KENNEDY: And just to follow that for just ever so  
9 briefly, that would be impacted in part by the mix of how  
10 the energy is actually produced or the capacity is produced  
11 at that given month between hydrological production and  
12 thermal production?

13 MR. OSLER: It might be. I mean, you might have a lot of  
14 water around in the summertime but not much in the winter,  
15 and that might change your assessments. It might also be  
16 the nature of the customer loads or all the things that could  
17 contribute to probabilistic calculation.

18 *(11:30 a.m.)*

19 MR. KENNEDY: Now, just taking another hypothetical. If  
20 we had peak of 1000 megawatts in the month of January  
21 and an equal peak of 1000 megawatts in the month of  
22 February and all other months had substantially less ...  
23 place substantially less demand on the system than either  
24 one of those months. Would we use a 2-CP method then  
25 at that point, and how would you allocate between those  
26 two months?

27 MR. OSLER: I think we would be ... we were talking a  
28 hypothetical. In practical terms, when you get two months  
29 side by side and a peak happens to occur of the same order  
30 and magnitude in each of the two months, you have a ...  
31 you would assume you'd probably have a common set of  
32 conditions and circumstances affecting both the way in  
33 which you supply the energy and the nature of the  
34 customer load, so that ... and it may happen that it's  
35 occurring that way one year and a different way another  
36 year, etcetera. I would tend to think of that more as  
37 examples of the one peak system rather than two peaks, for  
38 the reasons you've gave me, that when you get them well  
39 spread apart, summer versus winter, you do get naturally a  
40 bunch of concerns about different characteristics for the  
41 generating system and different characteristics for the  
42 customers that make you want to think about examining  
43 them very carefully.

44 MR. KENNEDY: And so if, using that same hypothetical,  
45 we had a peak of 1000 megawatts in the month of January  
46 and 1000 megawatts in the month of March and all other  
47 months paled in comparison to those two months, then we  
48 start down towards the road of going to a 2-CP,  
49 potentially?

50 MR. OSLER: Probably not. It'd probably all be called the

51 winter. I mean, what happens in practice, what we have to  
52 remember is that when we do the cost of service we're  
53 doing it on a prospective basis and for the purpose of  
54 these hearings, so look at what the utility that's preparing  
55 the cost of service does, it doesn't predict a roaming peak,  
56 it predicts it in a certain month using whatever forecasts it's  
57 received, and we tend to go with that for the purpose of  
58 allocating. If it actually turns out to be a different month,  
59 the underlying assumption is that probably we're treating  
60 everybody still fairly if we ... the same group of characters  
61 that would have been there in the month that the utility  
62 forecasts are probably there in the other month nearby  
63 when a peak occurs, so we don't need to get ourselves in  
64 a lather or we missed a month. We trust, if you like, in  
65 terms of an operating assumption that we've still dealt with  
66 everybody reasonably fairly.

67 MR. KENNEDY: Now, again, during your cross-  
68 examination by, I believe it was counsel for Newfoundland  
69 Power, there was an exhibit which provided the ... that was  
70 the seizure inducing exhibit, although I thought it was more  
71 coma inducing than seizure inducing, but it showed the  
72 peaks on a month-by-month basis historically, and one of  
73 the things that struck me when I was looking at that exhibit  
74 was the fact that really there's an awful lot of similarity ... or  
75 that's probably not the right word. The difference between  
76 the peaks on a month-to-month basis is, in many cases,  
77 quite small. If you look at, for instance, the four or five  
78 winter months, December, January, February, March, that  
79 it may be 1310 megawatts one month and then it may be  
80 1250 or 1275 or 1285 in a corresponding month, that there  
81 isn't a dramatic difference between the peak in one month  
82 than the peak in another month, and that that holds true for  
83 several of the months in the run of a winter, and I'm  
84 wondering wouldn't that then imply that, well, really what  
85 we have is a whole peak that takes place over the run of the  
86 whole winter? And is it still a safe bet then from your  
87 perspective, to assume that the mix of the contribution by  
88 different customer groups over the whole winter is  
89 consistent, and therefore you can still stick with the 1-CP?

90 MR. OSLER: I think in terms of issues about mix I haven't  
91 seen evidence that would suggest that that causes a big  
92 problem. What happens when you go from 1-CP to 4-CP is  
93 you do more averaging, and that tends to, as one of the  
94 counsel was asking me, tends to lead you inevitably, as  
95 you extend the time that you average over, to taking it  
96 away from being a capacity peak more towards and average  
97 demand, which frankly, takes you away from the whole  
98 point of capacity pricing, so I think it's not so much that the  
99 mix changes, it's that the net result of what you're doing  
100 tends to move away from the point of the exercise, which is  
101 capacity allocation.

102 MR. KENNEDY: But when ... and if I understand it

1 correctly, again, one of the underlying rationales of the CP  
2 allocation is that it plays into the system planning itself,  
3 that when Hydro plans its system it must take into account  
4 what the coincident peak will be?

5 MR. OSLER: Right. The amount, not so much the date.

6 MR. KENNEDY: That's correct. That it's forecasting that  
7 at some point in time during the year that it will have to  
8 have the capacity to produce 1315 megawatts of energy?

9 MR. OSLER: Correct.

10 MR. KENNEDY: Now, from a system planning perspective  
11 though when Hydro is actually designing its system  
12 wouldn't it look to more of a demand average rather than  
13 that single coincident peak in the design of its system?

14 MR. OSLER: Well, it's a question you would put to their  
15 planners, but it's my expectation that their answer would be  
16 no. In terms of dealing with the capacity related issue,  
17 they'd better think about the capacity that could occur at  
18 any one moment and the worst moment in the year,  
19 because if they don't supply it they're going to have  
20 trouble. When they're thinking about their energy costs  
21 they should think about the duration of the system  
22 requirements at various levels, because if it's going to be at  
23 such and such a plateau for a long period of time then  
24 you're using high cost fuel to meet it when you could use  
25 a cheaper energy source if you planned for it, then you'd  
26 think about that, but that's literally energy planning as  
27 distinct from capacity planning in the sense that you and  
28 I are using the term and what would apply to a coincident  
29 peak allocation debate.

30 MR. KENNEDY: Okay. Now, I take it you're aware that  
31 Hydro classifies its turbine generated energy ... or turbine  
32 generated electricity, just for the lack of ... for the word, just  
33 to avoid the classification words for a moment. That it  
34 classifies all that to demand rather than energy?

35 MR. OSLER: I gather, yes.

36 MR. KENNEDY: And is my understanding correct that the  
37 reason that they do that is because, well, the turbine is  
38 actually being built to satisfy those peaks that occur, and  
39 therefore, the turbine is specific to providing demand, that's  
40 the rationale that Hydro is using?

41 MR. OSLER: I haven't reviewed it in detail, but I would  
42 assume that's their rationale, that they'd never run that  
43 turbine unless they had a very ... either an emergency or a  
44 spike at the peak.

45 MR. KENNEDY: Okay, and a turbine you would normally  
46 locate close to the source of close to where the demand is  
47 required, wouldn't you?

48 MR. OSLER: All things being equal. I mean, you might

49 have one out in the end of a long line in order to give  
50 stability in a line shutdown or something, but since you  
51 can move the turbine very easily you'd tend to think you  
52 might put it where the load is.

53 MR. KENNEDY: And you'd put it close to where the load  
54 is, presumably, because you can and that would avoid just  
55 load loss over the lines themselves, correct?

56 MR. OSLER: Correct.

57 MR. KENNEDY: And that's the principal difference behind  
58 the fact that you've got a turbine being placed close to  
59 where you need the load and it has a specific use of  
60 satisfying demand during peaking requirements, and so it  
61 gets from a cost allocation, all allotted to demand? Am I  
62 right so far?

63 MR. OSLER: Yes.

64 MR. KENNEDY: Okay, and that in the case of hydraulic  
65 generating it's often remote from the load and it's being  
66 built both for the purposes of providing capacity to the  
67 system but also to generate energy?

68 MR. OSLER: Correct, but you have to keep in mind that  
69 we're focusing a lot on generating units and the different  
70 reasons as to why you could classify them differently, but  
71 my understanding is that historically the classification of  
72 transmission plant was really done on the grounds that the  
73 planners looked at the transmission facilities and said we  
74 have to build them and design them to meet their peak and  
75 they weren't interconnecting it with generation, okay, so in  
76 some of my conversations with people that are very heavily  
77 oriented that way, I get told, you know, very simple, it's  
78 transmission line. We build it to meet the peak, and what's  
79 the issue? And you have to get to the stage and  
80 discussion with such people to even bring generation into  
81 bear. They just say it looks like a transmission line, it is a  
82 transmission line and it should be treated this way. I mean,  
83 we are adding a level of thinking and everything else to this  
84 to tie the generation to it in the first place. It's the  
85 exception, not the rule, to think about generation when  
86 trying to classify a transmission.

87 MR. KENNEDY: Okay, and I understand your position. I  
88 guess what I was just ... just to finish the thought. The  
89 difference between them is that in the case of the turbine  
90 there's no need to build a transmission line to get the  
91 demand delivered to the load?

92 MR. OSLER: Correct.

93 MR. KENNEDY: In the case of the generating station there  
94 is normally a requirement to build a transmission line to get  
95 the demand driven to the load, delivered to the load?

96 MR. OSLER: Well, you're talking about the hypotheticals  
97 with hydroelectric generation?

1 MR. KENNEDY: That's right.

2 MR. OSLER: And there'll be a certain degree of that, I  
3 suppose, with every single plant. Which just to drive the  
4 point home, I mean, you put a coal plant near the load but  
5 it wouldn't necessarily be in the middle of the city, you'd  
6 put a nuclear plant maybe a little bit further away. I don't  
7 think you'd find planners getting into trying to classify the  
8 transmission hook ups to those plants. It's something  
9 separate than transmission grid, so you really have to go  
10 outside the norm, like a very distant hydro generation  
11 plant, in my experience, anyways in Canada before  
12 someone can overcome the natural tendency to say  
13 transmission is classified as demand, to say, no, no, this  
14 particular transmission is different, it is so clearly different  
15 that we do have to deal with it differently. If you get my  
16 drift?

17 MR. KENNEDY: No, I understand, and so in some cases,  
18 at least in some hypothetical cases, a transmission line can  
19 be classified as both demand and energy?

20 MR. OSLER: Correct.

21 MR. KENNEDY: Okay, and that it's a case of the system  
22 planning, the purpose of the generating plant and its  
23 remoteness from where the energy is actually required?

24 MR. OSLER: Correct.

25 MR. KENNEDY: Okay. That's all the questions I have,  
26 Chair. Thank you, very much, Mr. Osler.

27 *(11:45 a.m.)*

28 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.  
29 Kennedy. Thank you, Mr. Osler. We'll move now to  
30 redirect by Hydro, please, Mr. Young?

31 MR. YOUNG: My witness.

32 MR. NOSEWORTHY, CHAIRMAN: Early morning. Yes,  
33 Mr. Hutchings, please, if you could proceed with your  
34 redirect?

35 MR. HUTCHINGS: Yes, thank you, Mr. Chair. Firstly, Mr.  
36 Osler, I just want to clarify something in the transcript that  
37 doesn't seem to read in accordance with my recollection.  
38 Looking at the transcript, if you we can bring it up, of  
39 November 29th, 2001, at page 45 in the electronic version at  
40 lines 7 through 9. You were discussing there the question  
41 of the prudence of the Great Northern Peninsula  
42 interconnection, and the sentence at the end is recorded as  
43 followed, "In order to do that," and you're speaking there  
44 of the investigation of whether or not the costs should be  
45 disallowed, "you would need a lot more information, none  
46 of which was asked, and not offered." Can you just explain  
47 for us what you had intended to say, what you did say,  
48 perhaps, at that point?

49 MR. OSLER: Can I just read the ...

50 MR. HUTCHINGS: Sure.

51 MR. OSLER: I would think it would be in order to do that,  
52 which is to do that type of assessment, you would need a  
53 lot more information, probably some of which was asked  
54 and not offered or a lot of which was asked and not offered,  
55 one of those two might have been what I'd said, because  
56 we did ask questions of the applicant to give us an  
57 assessment of the situation with and without the line going  
58 forward and they declined to answer that. It was asked in  
59 many different ways and declined in a fairly consistent  
60 way.

61 MR. HUTCHINGS: Okay, so the intent was to say that  
62 there had been some questions asked but information, not  
63 all of the information you would need to reach a conclusion  
64 was received?

65 MR. OSLER: Correct.

66 MR. HUTCHINGS: Okay. That's fine. I just wanted to turn  
67 now to your discussion on Friday with Ms. Butler as it  
68 related to your second supplementary evidence, and  
69 specifically, the effects on the RSP of the continuance of  
70 Albright and Wilson and Royal Oak Mine loads in that plan  
71 for the purpose of calculation of the RSP. I don't think we  
72 necessarily need to go to it, but it's around page 28, I think,  
73 onwards, of the transcript of November 30th. You had  
74 discussed with her the significance of the number which  
75 was included in your evidence, which was a number of  
76 \$415,810 which she suggested, at page 31, around line 37,  
77 was the amount that the industrial ... according to your  
78 suggestion, that the industrial customers balance would be  
79 worse off, and your answer there at line 39 goes on to say  
80 that was the number used as for an example on page 9 and  
81 it appears to be incorrect. It doesn't go to the principle on  
82 page 8. Can you explain for us the significance of that  
83 number \$415,810 and how it comes to be calculated and  
84 used for the purpose of the RSP?

85 MR. OSLER: I think there was an exhibit Ms. Butler ... or a  
86 piece of paper that was put on the record that showed that  
87 this number reflected, \$451,810 reflected the loads that had  
88 been forecast for Albright and Wilson and Royal Oak and  
89 the rate that was assumed in the ... the rate that is charged,  
90 sorry, today to industrial customers, 19.34 mills, so that the  
91 application of the forecast and that rate lead to the  
92 calculation of \$415,810, so that's clear. How it is applied in  
93 the RSP is, I think, where it isn't clear.

94 MR. HUTCHINGS: So have you prepared a further  
95 schedule to try to illustrate what happens with that number  
96 under the provisions of the current RSP?

97 MR. OSLER: Yes.

1 MR. HUTCHINGS: Okay. I'd ask to have that circulated  
2 now, Mr. Chair.

3 MR. KENNEDY: IC No. 6, Chair.

4 MR. NOSEWORTHY, CHAIRMAN: Thank you.

5 **EXHIBIT IC-6 ENTERED**

6 MR. HUTCHINGS: Perhaps you could just outline for us  
7 the origin of this exhibit, **IC-6**, which is headed Impact of  
8 Albright and Wilson and Royal Oak Mine on NP and IC  
9 RSP and indicate how far beyond where we were on Friday  
10 this particular exhibit takes us?

11 MR. OSLER: Well, this exhibit compares with **NP-11**, and  
12 **NP-11** had put in the numbers and in columns one, two and  
13 three. It hadn't bothered to show total actual, but it doesn't  
14 matter. It had showed the revenue mill rate and it showed  
15 the revenue loss as totalling to \$415,810. It had showed the  
16 last set of columns, the net mill rate and the numbers in the  
17 last end of the page. It did not show the cost of Holyrood  
18 mill rate and the cost savings which totalled the \$442,466,  
19 so that's sort of where we were on Friday. The point that  
20 needs to be understood is that the RSP treats the revenue  
21 amount, the \$415,810 differently than it treats the cost  
22 savings amount, which is the \$442,466, as regards  
23 allocation. The revenue loss is directly assigned to the  
24 class that was forecast to have paid the revenue, in this  
25 case, industrials, so it's our foot down below here in  
26 amounts allocated, under the revenue column of \$415,810,  
27 all of it is allocated to IC and it's a charge to the RSP  
28 because that's a deficiency in revenue from the point of  
29 view of Hydro.

30 MR. HUTCHINGS: It might help us, I think, at this point, to  
31 look at **IC-271**, revised. Okay. The page 2 of that response  
32 shows the summary plan balances?

33 MR. OSLER: Right.

34 MR. HUTCHINGS: And I think this shows us an allocation  
35 both of costs and revenues to the two plans?

36 MR. OSLER: Right, and the point of this answer was to  
37 explain the issue that goes beyond what we were talking  
38 about on Friday, the allocation of these numbers, and it  
39 shows you that the whole answer starts from the costs  
40 versus the revenues. When we're talking about Albright  
41 and Wilson and Royal Oak they are part of Column 2 here  
42 under industrial island. They are part of the ... they went  
43 into the calculation of the so-called revenues, and there's  
44 a table that it refers to in here that does it in more detail, but  
45 you wouldn't understand ... they don't show you the  
46 individual customers in the table, but if you went back to all  
47 the sources, the Albright and Wilson, Albright and Wilson  
48 and Royal Oak numbers are in the calculation.

49 MR. HUTCHINGS: Okay.

50 MR. OSLER: Okay, so that's the first element, and it's also  
51 shown, without having to jump back and forth to it, at page  
52 A-2 of my final November testimony where the revenue  
53 component is shown in one part of the page and the fuel  
54 components, as they're so-called, are shown on the other,  
55 and the breakdown that you see here, the 952,251 is shown  
56 there and the 78,183 ... I showed 184, but it's shown there,  
57 so I was using this exhibit **271** to document this stuff in the  
58 appendix.

59 MR. HUTCHINGS: Okay, and while we're dealing with the  
60 revenue question, if we could look at page 4 of 7 of **271**.  
61 This shows, I believe, how the revenue adjustment is  
62 calculated?

63 MR. OSLER: Correct.

64 MR. HUTCHINGS: Okay.

65 MR. OSLER: And it shows that they are effectively  
66 looking at the current year actual sales for industrial  
67 customers 1,245,157 megawatt hours and they're comparing  
68 it to the 1992 test year sales, 1,249,200 megawatt hours. In  
69 the test year sales will be the 21.5 ... 21,500 megawatt hours  
70 from Albright and Wilson and Royal Oak. Of course, they  
71 will contribute zero to the current year sales. The variance  
72 is then charged at the going current energy rate, which in  
73 the current year we're talking about there is 1.934 cents or  
74 19.34 mills, and that is then credited to or charged to the  
75 RSP for the industrial customers in one case and the NP in  
76 the other.

77 MR. HUTCHINGS: Okay, so the one that we're looking at  
78 here shows current year sales actually being below the test  
79 year sales, correct?

80 MR. OSLER: Correct.

81 MR. HUTCHINGS: Okay, and that gives rise to a negative  
82 revenue variation, which means what in terms of the charge  
83 to the IC RSP?

84 MR. OSLER: It means that it becomes a charge that builds  
85 up the balance.

86 MR. HUTCHINGS: Okay.

87 MR. OSLER: And that's based on the rate that's in that  
88 year. That isn't necessarily the rate that was in the test  
89 year, for example.

90 MR. HUTCHINGS: Right, okay. If the test year's sales  
91 shown on this page 4 were reduced by the 21.5 million  
92 kilowatt hours that are assigned to Albright and Wilson  
93 and Royal Oak Mines, what would that do to this  
94 calculation?

95 MR. OSLER: It would reduce the ... it would take away from  
96 the variance 21,500 megawatts, 21,500 megawatts, so it  
97 would lead to a positive variance, which means that the

1 actual test year sales would have been greater than the ...  
2 sorry, the actual current year's sales would have been  
3 greater than the test year, and that would have ended up  
4 with some money being taken away from the fund, credited.

5 MR. HUTCHINGS: Okay, so instead of there being monies  
6 charged against the industrial customers, there would, in  
7 fact, have been monies credited to the industrial customers  
8 in the RSP?

9 MR. OSLER: Right.

10 MR. HUTCHINGS: Okay. Alright, and that, to go back to  
11 page 2 then shows up on the summary, the negative 78,000  
12 increases the balance in the RSP, whereas without Albright  
13 and Wilson there'd be some positive number there and  
14 reduce the balance, correct?

15 MR. OSLER: Yeah. To be very simple, you'd take Column  
16 2 away from Column 1, but because Column 2 is negative it  
17 actually means it's added.

18 MR. HUTCHINGS: Right.

19 MR. OSLER: Okay.

20 MR. HUTCHINGS: But without Albright and Wilson  
21 there'd be a positive number there so the balance would, in  
22 fact, be lower?

23 MR. OSLER: Yeah.

24 MR. HUTCHINGS: Yeah, okay. Getting back then to **IC-6**.  
25 We've looked at the revenue loss and how that is, in fact,  
26 assigned. Do you need to refer further to that for the  
27 purpose of **IC-6**?

28 MR. OSLER: No.

29 MR. HUTCHINGS: Okay. Now, let's look at the cost side.

30 MR. OSLER: The cost side, if you look at the **IC-271**,  
31 you're seeing costs there. It doesn't tell you a great deal  
32 about them. The costs, if you went to, I think, page 3 of **IC-**  
33 **271** you'll see a bunch of complicated numbers. You see  
34 Column 1, row 1 is your to date fuel cost, and you see a  
35 number at the very end \$12,237,007 from the RSP report,  
36 okay, and maybe with your great technology, Mr. O'Rielly,  
37 we can go to my November 25th testimony, page A-2.  
38 Okay. Keep going. There. Do you see the number for fuel  
39 components and you see the full year 2000, which would be  
40 the December 31 time period that we were just talking  
41 about, and you'll see hydraulic, fuel and load and you'll see  
42 rural rate alteration. If you were to add back the negative  
43 \$880,000 per rural rate alterations and the \$11,357 you'll  
44 come to the total that we just discussed of about  
45 \$12,237,000 that's in that **IC-271**, so when they talk about  
46 a year to date fuel cost they are talking about the things  
47 that people have asked me about that come out of the RSP  
48 reports, the hydraulic, the fuel and the load variations as

49 they affect costs, all added up together. They are not  
50 talking about yet the rural rate alteration. That's a separate  
51 item, so you have to sort of see how the two relate to each  
52 other. To get back to **IC No. 6**, the savings from not having  
53 had Royal Oak and Albright and Wilson go into what  
54 you're seeing here as cost, cost to IC savings for the year,  
55 83,095 in my table at page A-2.

56 MR. HUTCHINGS: Uh hum.

57 MR. OSLER: They are part of all that calculation that went  
58 in there because the load was less than forecast, we used  
59 less energy than forecast, therefore we saved some  
60 Holyrod fuel costs is the assumption, and they go into  
61 that calculation there. The point is that when you study  
62 the allocation mechanism in **IC-271** all of these costs from  
63 all of these sources and all of these different means are all  
64 lumped together and treated as a lump.

65 MR. HUTCHINGS: So ...

66 *(12:00 noon)*

67 MR. OSLER: Maybe we should go back to **IC-271** now,  
68 page 3. Okay. Maybe go to page 5, Mr. O'Rielly. Page 5 ...  
69 well let's just do these two steps. Go back, please, to page  
70 3? At the very top there, the \$12,237,000 under Column 12,  
71 row 1, gets adjusted slightly by something to do with the  
72 rural rate alteration, but that number is not what's going to  
73 be carried forward, so go back to page 5 now. At the very  
74 top of this page they are showing you, in terms of how you  
75 do a cost of service, the test year costs are broken out by  
76 production demand, which you've just been talking to me  
77 a great deal about, the costs that get allocated only on the  
78 basis of demand. Production and transmission energy,  
79 which gets allocated among customers only on the basis of  
80 energy. Transmission demand, which gets allocated only  
81 on the basis of demand factors. Distribution and account  
82 costs which are, frankly, not relevant to IC customers and  
83 they're largely, I think, entirely to do with rural, and then  
84 specifically assigned customer costs which are specifically  
85 assigned to certain groups, particularly NP and industrials,  
86 so that's how you'd come up with your cost of service.  
87 They have made a very small alteration to this in the  
88 second line to do with, I gather, the Great Northern  
89 Peninsula's impact. Look at the number on line 3 under  
90 Column 2, there's your \$12,237 gain. That's all that fuel cost  
91 absent the overall rate alteration, so that's where it comes  
92 into the calculation, it's entirely assigned to production and  
93 transmission energy and it is allocated out to the customer  
94 classes based on the rules used for allocating that, and if  
95 you look down through lines 5 through 8 under Column 2  
96 you see the allocators used. 72.23 percent is allocated to  
97 Newfoundland Power, 21.188 percent is allocated to  
98 industrial customers, .0658 is allocated to rural island  
99 interconnected, and the rationales for those, as they say

1 here, are translated to you on page 6, if you could just go  
2 there briefly, at the very top of the page, megawatt hours at  
3 generation. They've shown the sales forecasts for the three  
4 customer groups, they've added on losses to do with  
5 getting it back to the generator, they give you megawatt  
6 hours of the generator and that's how those ... that's where  
7 those percentages come from.

8 MR. HUTCHINGS: If we could just go back to page 5 for  
9 a moment, and highlighting again the 12,237,000 under  
10 Column 2 at line 3. That number, if I'm understanding you,  
11 has included within it, the value of the oil that was not  
12 burned because the Albright and Wilson and Hopebrook  
13 loads didn't have to be met, is that correct?

14 MR. OSLER: That's correct.

15 MR. HUTCHINGS: Okay, so the savings from not having  
16 those customers on the system are embedded in that  
17 number?

18 MR. OSLER: Correct.

19 MR. HUTCHINGS: Okay, and then that number gets  
20 allocated in accordance with this page?

21 MR. OSLER: Yes. Column, rows 5 through 8.

22 MR. HUTCHINGS: Okay, and that, I think, brings us  
23 directly back to **IC-6**, does it not?

24 MR. OSLER: Correct.

25 MR. HUTCHINGS: Okay.

26 MR. OSLER: So you'll notice on **IC-6** that we repeated the  
27 72.231 and the 21.188, the numbers that come from page 5  
28 of **IC-271**, Column 2, rows 5 through 8. We've shown them  
29 alongside the NP, IC and rural, and then we've taken the  
30 \$442,466 worth of Holyrood cost savings and allocated  
31 them among the three customers classes using those  
32 percentages, so that \$319,597 is allocated to NP from the  
33 cost savings associated with Albright and Wilson and  
34 Royal Oak, 93,749.7 is allocated to the IC and 29,114 is  
35 allocated to rural.

36 MR. HUTCHINGS: Okay, so the bottom line here is that IC  
37 basically stands to all the revenue loss but receives only  
38 21.1 percent of the cost savings, is that correct?

39 MR. OSLER: That's correct.

40 MR. HUTCHINGS: And your box on the lower right-hand  
41 corner, what does that tell us?

42 MR. OSLER: That's just netting it by class, everything  
43 we've been talking about on both the revenue and the  
44 costs, NP ends up with a benefit of 319,597.6, IC as a  
45 reduction ... or come into its account in the RSP for 322,060  
46 and rural, as a reduction to the RSP amounts by 29,114, and  
47 that'll get allocated out through the rural deficit.

48 MR. HUTCHINGS: Okay, and this exhibit **IC-6** is designed  
49 solely to identify the effects of leaving Albright and  
50 Wilson and Royal Oak Mines in the cost of service  
51 numbers for 1992, assuming everything else remains equal?

52 MR. OSLER: Correct, and it just is designed to try and  
53 highlight the extent to which the RSP reports, which, in  
54 fairness to Ms. Butler, do only show the sort of mill rate  
55 type of assumption to the far right, do not give you a great  
56 transparency as to what the allocation procedures are and  
57 how they are different for the costs versus the revenues.

58 MR. HUTCHINGS: Okay, so that 1.01 mills that you and  
59 Ms. Butler were discussing the other day goes directly into  
60 the summary sheet, but all these other costs, take a more  
61 circuitous route but come back to it in the end?

62 MR. OSLER: Yeah, they do.

63 MR. HUTCHINGS: Okay. Thank you. Now, you had a  
64 brief discussion with Mr. Browne concerning the frequency  
65 converters, and one question that he put to you was what  
66 would happen if the customer, and I think effectively we're  
67 talking about Corner Brook Pulp and Paper, were to cease  
68 operations. On the assumption that that were to happen  
69 but the generating facilities continued to exist at Deer Lake  
70 producing 50 cycle power, would you see a use for  
71 frequency converters?

72 MR. OSLER: Yes.

73 MR. HUTCHINGS: And why would that be?

74 MR. OSLER: I guess you'd like to make use of the power  
75 that is available from Deer Lake, particularly since it isn't  
76 being used to feed the mill and the rest of the system of the  
77 converter would have a value.

78 MR. HUTCHINGS: Okay. Thank you, Mr. Osler. Those  
79 are all my questions on redirect, Mr. Chair.

80 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.  
81 Hutchings. Thank you, Mr. Osler. We'll move now to  
82 Board questions. If I could ask Commissioner Powell to  
83 begin, please?

84 COMMISSIONER POWELL: Thank you, Chair. Good  
85 morning. I don't have a whole lot of questions. The notes  
86 I had, I think they got covered pretty well. I just have a  
87 couple of things I noted when I was reading your pre-filed  
88 testimony the first time around, and on page 1 on line 31 to  
89 35 you ... when you were doing your introduction you  
90 talked about review. You made a reference to, "However,  
91 given the volume of the responses and the limited amount  
92 of time that has been available for us to review them, this  
93 review has been severely restricted, and furthermore,  
94 several key responses filed to date by Hydro failed to  
95 produce sufficient information as yet to usefully answer the  
96 questions poised." Is that a norm? I'm struck by that in the

1 sense that I'm just wondering. I sort of got the impression  
2 that this is not normal for an intervenor like yourself to be  
3 in a position not to be able to respond.

4 MR. OSLER: I came into this exercise maybe later than  
5 some when I was retained, just before the first information  
6 requests were put in, so I didn't have ... coming in with no  
7 background at all, particularly subjected here, but there's a  
8 lot more information here in this hearing, I think is fair to  
9 say, than one would normally see, because of the history,  
10 I suspect. The only case I've been personally involved in  
11 which had more than this, I think it has ... I was trying to  
12 say the day, I think it's 120 hearing days, was the electricity  
13 costing and pricing hearing of Ontario Hydro in the late  
14 '70s, and that was a generic hearing on costing and pricing  
15 and it went on for a long time. Most hearings, a week to  
16 three weeks, two to three weeks and the volume of  
17 information wouldn't build up like this, but then the  
18 hearings tend to occur more closely together so the parties  
19 get more familiar with what's going on and they're not  
20 involved in going back over the history, so there are some  
21 unique features, perhaps, to this hearing and its  
22 circumstance and to my involvement. As to lack of  
23 responsiveness, I think intervenors the world over  
24 complain from time to time, about lack of responsiveness.  
25 I don't think I would say that's unique. I think in general  
26 the Applicant has been ... probably feels they've been more  
27 than responsive and they've answered an awful lot of  
28 questions and wish these silly intervenors wouldn't ask  
29 them any, and that's, since I work for utilities from time to  
30 time that's also not unusual in terms of a perspective on  
31 that. I think each hearing and each process has to sort of  
32 figure its own water level on this.

33 COMMISSIONER POWELL: Okay, so I just ... this is  
34 everybody's responsibility, okay. Excuse me, I'm just going  
35 through my notes here. I just ... one of the other questions,  
36 since you've been involved in a number of hearings, the  
37 process in which Hydro has gone through to prepare their  
38 cost of service, the evidence was that there's a cost of  
39 service model that is separate from their financial data  
40 model. Is that standard?

41 MR. OSLER: Yes, I noticed your question of them on it. It  
42 tends to be standard. I guess the only explanation I can  
43 give, to keep it at a very simple level, is that it really is a one  
44 off exercise that's done for a rate hearing more than for  
45 normal day-to-day business, and it has a whole bunch of  
46 rules and stuff that only a handful of people usually in a  
47 utility understand, and so it tends to be a custodian of a  
48 few people and it's run on a separate model, and that  
49 happens, everywhere I've been that tends to be the case.  
50 It takes all the costs and pulls them together in a very  
51 specific way that doesn't fit into the normal, everyday  
52 thinking of the company. If you have cost accounts of the

53 old days, rather than business units, I guess there's a little  
54 bit more interrelationship between the two. Business unit  
55 accounting seems to raise another level of issues, but I'm  
56 not ...

57 COMMISSIONER POWELL: Do you have problems with  
58 that?

59 MR. OSLER: No, I don't have it, per se. I mean, it's ... in my  
60 personal life it's not uncommon that when you start to get  
61 into certain type of thing you only do occasionally you  
62 tend to create a one of system. You always like not to  
63 every time you have to go through it, but, the effort to try  
64 and design the perfect interface seems to more trouble than  
65 it's worth.

66 COMMISSIONER POWELL: No fear of loss of data?

67 MR. OSLER: Oh yeah, yeah, there's lots of risks that go  
68 with it, and it may be that, you know, somebody comes  
69 along 20 years from now will say that what I'm saying right  
70 now is ridiculous, we've all found a way to do it, and with  
71 modern technology and modern computing, somebody has  
72 found a way to make it simpler. I'm just saying over my  
73 career it's been the other way around, and they haven't  
74 done it yet in any place that I've been dealing with so far,  
75 and they're, you know, with the deregulation, they're  
76 tending to move away from doing this. I can think of a few  
77 cases where I'm wondering what's going to happen the next  
78 time I see a hearing in the Yukon, when people used to rely  
79 upon Alberta Power in Edmonton to do this type of stuff,  
80 and I don't think Alberta Power has got people around who  
81 are doing cost of service. It's a different environment, so I  
82 mean this may become a dying art.

83 UNIDENTIFIED SPEAKER: You wish.

84 COMMISSIONER POWELL: So are you familiar with the  
85 financial system that Hydro has now, the JE Edwards?

86 MR. OSLER: I am not intimately, no, at all.

87 COMMISSIONER POWELL: So you don't have any views  
88 on whether that's, other utilities use it or ...

89 MR. OSLER: I've heard of others using it but I'm not sure,  
90 but I don't have anything useful to offer you.

91 COMMISSIONER POWELL: And so you think there are  
92 some merits to doing some sort of (inaudible) resolution  
93 mechanism in terms of since we have a small customer  
94 base?

95 MR. OSLER: I'm not sure whether it specifically relates to  
96 whether you've got small or large. Other jurisdictions in  
97 British Columbia and Alberta and places have used, have  
98 had settlements in hearing processes. I think the BC  
99 Utilities Commission does a lot of it. In Yukon they did it  
100 once and they're not sure they're going to do it again.

1 Sometimes in smaller jurisdictions the intensity of some of  
2 the disputes are more intense than they are in larger ones,  
3 so I think it merits serious consideration. I can see the  
4 need to get beyond this hearing before people would ...  
5 we'd want to see what the Board's rules are and then work  
6 within them rather than trying to sit around the table trying  
7 to figure out what the rules in the system are.

8 COMMISSIONER POWELL: Okay, that's all my questions,  
9 Chair.

10 MR. NOSEWORTHY, CHAIRMAN: Thank you,  
11 Commissioner Powell. Commissioner Saunders?

12 COMMISSIONER SAUNDERS: I have no questions.

13 MR. NOSEWORTHY, CHAIRMAN: No questions.  
14 Commissioner Whalen please?

15 COMMISSIONER WHALEN: Thank you. Good afternoon,  
16 Mr. Osler. I just have one question that really follows up  
17 from Mr. Hutchings taking you through your evidence on  
18 Friday when you first took the stand and when you were  
19 talking about the Rate Stabilization Plan, and the options  
20 and implications of. You mentioned that in terms of the  
21 recovery mechanisms for the balances in the RSP, and that  
22 there might be other options we could look at in place of  
23 the ... I think the declining balance method was the way  
24 you categorized the existing recovery method, but I wonder  
25 if you could expand on that for me a little bit in terms of  
26 what other options might be there?

27 MR. OSLER: Well, the most straightforward options would  
28 be ones that don't let it decline, the declining charge  
29 through decline necessarily, but try and clear the account  
30 off, so that if you went over a certain level, they sort of lock  
31 in a minimum amount to be recovered, and don't let it  
32 decline so that you really bring the thing down over time  
33 more quickly. Those are techniques that you would use for  
34 an account of a type that you have here. If you were doing  
35 a fuel adjustment type of approach, it could be quite a  
36 different approach to start with. It could be one of setting  
37 a number that the utility thinks will recover the fuel cost  
38 over, that's been built up to date, and where they think the  
39 fuel price is over a period of time, and then reassessing it to  
40 see where they were going every two years, or a year, or  
41 something like that, and in some cases the fuel rider may  
42 vanish completely for a while, and other times it may be on,  
43 or ... and if the fuel rider stays around for too long, at least  
44 it's passing through what they think to be the current fuel  
45 price, thus recovering some of the background (*phonetic*).  
46 But if they went to a general rate application, typically that  
47 account would be severely affected because you would  
48 adjust all of the rates in the rate application to reflect the  
49 current fuel price in the normal situation, and then you'd  
50 just worry about getting rid of the balance, and it might be  
51 in the account over a short time period, and the rider would

52 vanish when you get rid of the account. That's sort of the  
53 Alberta/Yukon type of approach.

54 The water stabilization accounts that I've seen  
55 don't tend to pass through rate charges to customers.  
56 They tend to be between the utility and the account, so  
57 they simply keep the utility whole, and if the account goes  
58 outside a certain range, then you might have to put a rider  
59 on either to rebate or to collect in order to put the account  
60 back. I think you had that experience with your water  
61 account back in the eighties. So I mean there are different  
62 approaches you would use that seemed to work that don't  
63 build up an account quite of the magnitude we've seen  
64 here. But there's, you have to do various things to tackle  
65 it, and not just what you've recovered through recovery  
66 charges, but how you set those charges ... the different  
67 examples I gave get to setting the charge based on where  
68 the price of oil is now rather than something else.

69 COMMISSIONER WHALEN: So in terms of the separate  
70 from a fuel rider charge, and those kinds of mechanisms, if  
71 we look at the existing plan with existing balances, your  
72 suggestion would be that we look at recovering those  
73 balances quicker?

74 MR. OSLER: Or let's put it this way, let's say recovering  
75 them quicker, but perhaps not through taking out one third,  
76 more than one third, but making sure that that amount  
77 doesn't keep declining as you go forward so that you get  
78 somewhere quicker, do you know what I mean. I'm not  
79 necessarily ... there's a lot of different judgements go in to  
80 how fast you should try and get from where we are today  
81 to where you should be, but the declining balance  
82 technique has a tendency to make sure you never get there,  
83 just by definition. It keeps going down, sorry, as you move  
84 forward, so it seems to me the key would be to say I want  
85 to get there in five years or something like that and set a  
86 number that is likely to get the account down to close to  
87 zero in that time period.

88 COMMISSIONER WHALEN: So instead of looking at the  
89 balance and just dividing this year by one third and then  
90 continuing on, you look at your end point and then back  
91 up.

92 MR. OSLER: Right.

93 COMMISSIONER WHALEN: And what do we have to do  
94 to get to that point, so it's a different, just a different  
95 approach.

96 MR. OSLER: It's a different approach.

97 COMMISSIONER WHALEN: The mechanics might not be  
98 very much different, I guess.

99 MR. OSLER: Right, but it's, if you were trying to amortize  
100 an amount over a period of time you'd approach it very

1 simply that way and say I want to amortize it over five  
2 years. If I've got a problem with the account growing or  
3 shrinking during that time period then you add that to your  
4 thought process, but you sure as heck have an incentive to  
5 not have the account growing while you're trying to get rid  
6 of it in five years, you know, that type of thing.

7 COMMISSIONER WHALEN: Okay, thank you, that's all I  
8 have, Chair. Thank you, Mr. Osler.

9 MR. NOSEWORTHY, CHAIRMAN: Thank you,  
10 Commissioner Whalen. Good morning, Mr. Osler, thank  
11 you very much for your evidence and your testimony and  
12 I just have, I have three questions, and actually  
13 Commissioner Whalen just asked one, so I'm down to two  
14 now. You spent quite a bit of time having a discussion  
15 with Mr. Young around the whole notion, I guess, of  
16 generation and transmission facilities and the basis on  
17 which you would look at an economic evaluation of those,  
18 and I think you testified in a couple of areas, and I won't  
19 refer to the testimony, or the transcript but you do say not  
20 just the estimate of the net present value over the life of the  
21 project (inaudible) some alternatives. We should look at,  
22 among other things, rate impacts and how long the adverse  
23 ... and indeed, I believe you commented on a specific  
24 example of maybe in the Yukon where indeed the utility  
25 decided to absorb some short-term costs and charge them  
26 out later on a particular project, and I guess I just heard  
27 prior to listening to the cost of service variety of experts  
28 comment on the cost of capital whereby I believe they're  
29 almost with out exception that certainly they were all of the  
30 view that Hydro should over time move to an investor-  
31 owned utility type of business certainly, based on  
32 appropriate return on investment and return on equity, and  
33 that sort of thing. I see ... and you would think in terms of  
34 an investor-owned utility with a view to looking at sort of  
35 the economic analysis and the payback, if one were to look  
36 at it on that basis, I would think the shareholder in certainly  
37 a private company in any event, an investor-owned  
38 business would want that return as quickly as possible  
39 based on what the market would bear. How do you, from  
40 where I understand you're coming from here, how do you  
41 reconcile those two perspectives?

42 MR. OSLER: With care. The tendency from an investor-  
43 owned utility perspective would not be to undertake certain  
44 types of investments for the reasons you and I are talking  
45 about it. They wouldn't just look to an analysis of net  
46 present value. They'd look to making sure they got it back  
47 soon enough, and they wouldn't want to get into a big fight  
48 with a whole bunch of ratepayers in order to do some noble  
49 social purpose, okay? Particularly with, it would take a  
50 long time to get their money back ...

51 MR. NOSEWORTHY, CHAIRMAN: Uh hum.

52 MR. OSLER: So some would argue, therefore, that a utility  
53 such as Newfoundland Hydro or Yukon Energy  
54 Corporation, which are Crown-owned, whether they are  
55 investor-based, whether it be run by investor-based rules  
56 or not, have to find a way to meet their broader social  
57 purposes, while at the same time still, for rate purposes,  
58 being run like an investor-owned utility, and Yukon energy  
59 has 60 percent debt, 40 percent equity. It was set up that  
60 way. It didn't have to build it up through the backs of the  
61 ratepayers, it was set up at the initial time period that way.  
62 It is the direction of the utility board, is to give it a normal  
63 commercial type of rate of return less a half a point or  
64 something, so it has all the rules that somebody would like  
65 to get to here, and for those types of reasons it found itself  
66 looking at the world not dissimilarly from what an investor-  
67 owned utility would do for a while, and it got into some  
68 heat as to when are you going to do some of these other  
69 things. We've had no development of new facilities under  
70 this new ownership, even though we've had for ten years.  
71 What's wrong? And one of the ways of grappling, kind of  
72 grappling with those two things was what we call the  
73 flexible term financing type of instrument where the owner  
74 of the utility, which was the Yukon Development  
75 Corporation and could arrange to finance some of the debt  
76 for those transmission lines in such a way that it could hold  
77 out that the utility's ratepayers would be no worse off at  
78 any one time period, and it would recover the balances later  
79 down the road, and it had to convince itself that that was  
80 a reasonable investment and it was meeting its broader  
81 social objectives while maintaining the rate base approach  
82 to regulation and doing things that no private utility would  
83 normally do, and its board of directors and people had to  
84 be convinced this wasn't a stupid idea, it was a good  
85 prudent investment doing what their mandate was to do.  
86 It took a while, and we'll see ten years from now whether it's  
87 ...

88 MR. NOSEWORTHY, CHAIRMAN: Certainly they were  
89 foregoing up front an element of revenue that, that no, I  
90 guess, private investor utility would generally speaking be  
91 prepared to ...

92 MR. OSLER: Well the Whitehorse No. 4, that I was talking  
93 about with Mr. Kennedy, had the (inaudible) reputation of  
94 being built at exactly the wrong moment. They put the  
95 shovel in the ground at the time the mine shut down, and  
96 my first experience in the Yukon was to testify before the  
97 National Energy Board on this facility among other things,  
98 and it's the only case in my life where I've seen an asset  
99 that had absolutely no value for \$60 million out of a rate  
100 base of say, \$100 million, because the load wasn't there for  
101 which it was built, and so the concept of a flexible term, the  
102 National Energy Board took some advice and said well we  
103 think this should be put off the balance sheet for the time  
104 being for rate making purposes, and now when Yukon

1 bought all the facilities and assets of the Northern Canada  
2 Power Commission, it negotiated with Canada (*phonetic*),  
3 what we call a flexible term debt, which you probably  
4 wouldn't see in very many places, but it effectively said  
5 we're only going to pay the interest on that portion of the  
6 purchase, thank you very much, when the facility is being  
7 used, because you built it, you continue to bear the risk.

8 MR. NOSEWORTHY, CHAIRMAN: You said you  
9 wouldn't see it in very many other places, but would you  
10 see it in any?

11 MR. OSLER: I don't think you'd normally see it at all, and  
12 I think you'd ... but it's ... when you try to balance  
13 government objectives in the long run, and short-term rate  
14 making, there are techniques that I think you can use that  
15 can keep everybody wearing their hat properly, the board  
16 of directors of the utility, the board of directors of the  
17 owner, and the utility board, and I think we're learning a few  
18 things over the years as to how to do that, and that's all I'm  
19 really getting at, and it takes a bit of creativity, and that  
20 didn't happen overnight.

21 MR. NOSEWORTHY, CHAIRMAN: Uh hum. Okay, thank  
22 you. The second question, and I won't be long, and I  
23 realize it's a little bit after lunch and I'll just conclude. It  
24 relates actually to the whole sort of cost benefit economic  
25 analysis, and we saw a capital budget which I think is \$26  
26 million this year from Hydro with, for the most part I think  
27 it's fair to say, a very limited cost benefit analysis in respect  
28 of the projects, and I believe there was a couple, and this  
29 came up earlier with Hydro witnesses, and there's a variety  
30 of, if we could ... in the application, Mr. O'Rielly, I think it's  
31 B-6, the capital budget application, there's ... just scroll up  
32 a little bit. Yeah, these projects are required for one or more  
33 of the following reasons, and these would be the criteria  
34 admittedly not quantitative in certain instances that would  
35 be used by Hydro to judge a go versus no go on certain  
36 capital investments, and some of these capital investments  
37 would be fairly small, I guess, anything below \$50,000 is  
38 not really reported other than in a collective sense, but  
39 there are projects in here, distribution projects, upgrade  
40 distribution system, central, northern Newfoundland, which  
41 would be 1.3. Provide service extensions, \$981,000, \$1  
42 million, now it seems to me on a cumulative basis year after  
43 year, certainly that would have a significant impact in  
44 looking at, in looking at comparable to a transmission or  
45 generation to a degree, especially small scale, significant  
46 impact as far as looking at the cost benefit aspects are  
47 concerned. Would you have any observation to make? Is  
48 the type of approach, and you are familiar with utilities  
49 elsewhere, is the type of approach employed here by Hydro  
50 generally speaking the practice, if you will, in relation to  
51 other utilities as it relates to limited cost benefit analysis in  
52 this, with regard to these projects?

53 MR. OSLER: Let me say I have not reviewed the capital  
54 budget or the methods of the cost benefit assessment so I  
55 can't give you an overall report, but I think the language  
56 that you're showing me here is not uncommon. I have seen  
57 the justification for capital projects often involving non-  
58 quantifiable items, safety, human life, etcetera, and to try  
59 and review that externally is difficult because they are  
60 presumably based on things that we have to do and it's  
61 hard to translate them into a type of language that an  
62 outside reviewer could understand, unless you're a  
63 technician saying, yeah, I agree with you, you've got to  
64 replace that piece of equipment, it's faulty or it's unsafe, or  
65 it's unreliable. Cost benefit assessment is a lot more  
66 straightforward, if you like, if you're trying to meet  
67 projected customer loads and what alternative methods of  
68 doing generation is something that we can all understand,  
69 we've got some options here. We don't have one  
70 compelling approach. That's more the issue of assessing  
71 A versus B, and I think in general there is concern from  
72 utility boards, whether I'm working for the utility or the  
73 intervenors, as to the extent to which full justification is  
74 given for some fairly major projects from all the points of  
75 view that seem to be relevant. There have been some  
76 prudence decisions, I guess, in Yukon where certain costs  
77 have a lot of expenditures on investigations were  
78 disallowed and not put into rate base because the Board  
79 didn't think after review that they were justifiable costs. I  
80 think when we're doing cost benefit from a ... if I can just  
81 close it on a very broad level, there is cost benefit  
82 assessment as to whether you should "go" or "no go".  
83 There's a cost benefit assessment as to whether you should  
84 take this alternative or that one, and there's also, in my  
85 history of cost benefit, you also look at distributional  
86 effects, and I'm talking now not just for utilities but  
87 elsewhere. I mean it's been accepted for almost my entire  
88 career that you don't just look at the aggregate net benefit,  
89 you look at the distribution effects or you might get in  
90 trouble, and I think a lot of my comments about rate  
91 impacts refer to in this bailiwick, that type of issue. You've  
92 got to look at who is going to get hurt and who is going to  
93 get helped and how the benefits are distributed or you'll be  
94 in trouble. It's just a practical comment, and that is not  
95 typically addressed easily. There's capital planners just  
96 looking at whether the darned costs make sense or not, and  
97 that's the rate department or some other group, and they  
98 haven't traditionally, haven't always had to go forward and  
99 justify it, so if you go through a transition from not having  
100 to justify in a public forum, particularly the forum where  
101 your rates are set, to having to do that, you will go through  
102 a transition and you'll have to figure out what level of detail  
103 you want to get in. Right now Manitoba Hydro is having  
104 an interesting debate with its regulator on, and the  
105 government on this matter because it purchased Sentra  
106 (*phonetic*) which was subject to the same rules you're

1 talking about. Manitoba Hydro as a utility is not subject to  
2 capital approval decisions by the Public Utilities Board. It  
3 only approves its rates.

4 MR. NOSEWORTHY, CHAIRMAN: That is a dilemma, it's  
5 not an easy situation either, I'm sure, from the utility's  
6 perspective or ours, but I was just inquiring as to basically  
7 what you know from your experience.

8 MR. OSLER: What level of expenditure ... I mean boards of  
9 directors worry about this, what level of expenditure should  
10 we be making on capital to keep the system whole. It's not  
11 one that there are easy guidelines on, and they do have ...  
12 as you increase your rate of return requirement on your rate  
13 base, the implications of spending will become bigger in  
14 terms of rates.

15 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr. Osler,  
16 that's all I have. Questions on matters arising, are there  
17 substantive questions? We could indeed conclude  
18 possibly, I don't know.

19 MS. BUTLER, Q.C.: Mr. Chairman, in fairness, I'd like to  
20 have a discussion with my colleagues in relation to  
21 pursuing questions?

22 MR. NOSEWORTHY, CHAIRMAN: That's fine. We'll ...  
23 would anybody have any objection, we're running a little  
24 bit late, to reconvening at 2:00 or is there somebody who  
25 requires some more time over lunch? Okay, if not, we'll  
26 reconvene at 2:00, thank you very much.

27 *(break)*

28 *(2:00 p.m.)*

29 MR. NOSEWORTHY, CHAIRMAN: Thank you and good  
30 afternoon. Before we get started, Mr. Kennedy, are there  
31 any preliminary matters?

32 MR. KENNEDY: Yes, Chair, I believe has a preliminary  
33 matter to report on.

34 MR. NOSEWORTHY, CHAIRMAN: Mr. Young, good  
35 afternoon.

36 MR. YOUNG: I'm pleased to say we're winding down on  
37 our undertakings and we're running out of witnesses, so  
38 there's not many of these left. There were a couple that  
39 came up the other day though and I've distributed them.  
40 The first one that I'd like to refer to, the document which is  
41 called "Government Agencies and Departments,  
42 Interconnected System", and it answers questions that  
43 arose from examination, I believe, by Mr. Saunders. It  
44 relates to the preferential rates in the (inaudible) system.  
45 The other document is the rural customer power service  
46 disconnection for nonpayment of account, and I'm not sure  
47 what the numbers are up to.

48 MR. KENNEDY: U-Hydro No. 32.

49 MR. ALTEEN: Which one is 32.

50 MR. YOUNG: That would be the first one, Government  
51 Agencies and Departments.

52 MR. KENNEDY: The Government Agencies and  
53 Departments.

54 MS. HENLEY ANDREWS, Q.C.: It was what number?

55 MR. KENNEDY: U-Hydro No. 32.

56 **EXHIBIT U-HYDRO NO. 32 ENTERED**

57 MR. YOUNG: So the disconnect payment, the service  
58 disconnection for nonpayment of account document would  
59 be 33?

60 MR. KENNEDY: That's correct.

61 **EXHIBIT U-HYDRO NO. 33 ENTERED**

62 MR. YOUNG: Those are all the preliminary matters, Mr.  
63 Chair.

64 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.  
65 Young. We'll move now to questions on matters arising  
66 and I'll ask Ms. Butler and Newfoundland Power.

67 MR. YOUNG: We don't have any, no, that's fine.

68 MR. NOSEWORTHY, CHAIRMAN: I apologize, we'll get  
69 this sorted out one of these days. Ms. Butler, do you have  
70 any?

71 MS. BUTLER, Q.C.: Thank you, Mr. Chairman, we have  
72 nothing arising either.

73 MR. NOSEWORTHY, CHAIRMAN: Thank you very much.  
74 Mr. Browne?

75 MR. BROWNE, Q.C.: No questions.

76 MR. NOSEWORTHY, CHAIRMAN: Counsel, do you have  
77 any questions?

78 MR. KENNEDY: I just have one question, Chair, and it  
79 arises from a question by Commissioner Whalen, Mr. Osler,  
80 and specifically in response to some questions you were  
81 asked concerning the RSP and the alternatives employed.  
82 The terms that's often used in this field is the term  
83 "intergenerational", and I guess, again, from the  
84 layperson's perspective, when you're talking about  
85 generations, you would be, it's sort of loosely defined as  
86 periods of at least 20 or 25 years in length, and a full  
87 generation of individuals, and I'm wondering, for the  
88 purposes of the RSP sometimes the word  
89 "intergenerational" is raised as an issue of concern with the  
90 RSP, and I'm wondering if you could just give me your view  
91 on what period of time you would consider to be  
92 problematic in spraying out the collection of deferred costs  
93 as the RSP does, keeping all that in mind?

1 MR. OSLER: Okay, the term "intergenerational", which I've  
2 tried to avoid using in an electricity hearing, I don't think is  
3 usually as literally taken in rate hearings as the definition  
4 you gave, and I think people have quite frequently used  
5 that term for concern about passing costs from one time  
6 period to another time period in a material way such that  
7 you're asking future customers, or people who happen to  
8 be on the system in the future, or their loads that happen to  
9 be on the system in the future to pick up costs that arose  
10 today. In that context, I think I would agree with Mr.  
11 Brickhill that when looking at fuel adjustment riders, six  
12 months to a year is a good long time period before you  
13 start to act on them and address them in the manner I talked  
14 about. It would be another issue entirely when you start  
15 delaying it a long time period beyond that. In the case of  
16 water accounts, I think there is a view behind the creation  
17 of such hydraulic stabilization accounts, that we are really  
18 looking, if you want, at a very long run, that it's not the  
19 fault of the people today that the water was low or the  
20 water was high, and that we are trying to see something  
21 that could balance out in a very long-run sense, whatever  
22 the long-run time period is for the average, and I think in  
23 that context, my experience is we are not typically worried  
24 about the timing issues at all. I have never come across in  
25 my experience a case where we have a load account  
26 stabilizing and that raises another whole set of issues, so  
27 I don't have a sense of timing, but if I did I suppose it  
28 would be closer to that for fuel than it would be for water  
29 by a very considerable degree. I think if we try ... if costs  
30 start to shift from today to a future, my experience is five  
31 years is a fairly long time period when people start talking  
32 about amortizing certain amounts that were incurred and  
33 we're going to try to write them off over a reasonable time  
34 period. They'd really have to have a long-term benefit to be  
35 justified to write off over a much longer time period and  
36 typically a bunch of costs that were incurred for fuel last  
37 year don't have a long-term benefit, we're just trying to  
38 smooth them out. It's not like an investment.

39 MR. KENNEDY: Thank you, Mr. Osler, that's all the  
40 questions I have, Chair.

41 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.  
42 Kennedy. I'll move now to Mr. Hutchings on re-direct  
43 please?

44 MR. HUTCHINGS: We have nothing further arising, thank  
45 you, Mr. Chair.

46 MR. NOSEWORTHY, CHAIRMAN: Thank you, and that  
47 would conclude Mr. Osler's testimony. Thank you very  
48 much, Mr. Osler, I appreciate it and found it very useful,  
49 thank you. We'll move on, I guess ... Ms. Butler, are you in  
50 a position to call Mr. Brockman please?

51 MS. BUTLER, Q.C.: Thank you, Mr. Noseworthy. Mr.

Brockman, whenever you're ready.

53 MR. NOSEWORTHY, CHAIRMAN: Good day, Mr.  
54 Brockman. Do you swear on this Bible that the evidence to  
55 be given by you shall be the truth, the whole truth, and  
56 nothing but the truth, so help you God?

57 MR. BROCKMAN: I do.

58 MR. NOSEWORTHY, CHAIRMAN: Thank you sir, very  
59 much, please be seated. Good afternoon, and once again,  
60 welcome. May I ask, Ms. Butler, if you could proceed  
61 please?

62 MS. BUTLER, Q.C.: Thank you. Mr. Brockman, I wonder  
63 before we go through your resume because it's attached to  
64 your evidence, if I might ask you, you filed pre-filed  
65 testimony from August 2001, September 2001, and again in  
66 November 2001?

67 MR. BROCKMAN: Yes.

68 MS. BUTLER, Q.C.: And are there any changes or  
69 corrections that you wish to make to either of your pre-  
70 filed?

71 MR. BROCKMAN: Yes.

72 MS. BUTLER, Q.C.: Can you tell us where to find the  
73 page?

74 MR. BROCKMAN: On page 12 of my first supplemental,  
75 the title of the column where it says "Newfoundland Power  
76 Peak in Megawatts, MW", that should read KW and not  
77 MW.

78 MS. BUTLER, Q.C.: Can you just give Mr. O'Rielly a  
79 moment to get that on the screen. In the actual table, Mr.  
80 O'Rielly, it's at the top, thanks, so in the shaded yellow  
81 portion, it should say KW?

82 MR. BROCKMAN: That's correct.

83 MS. BUTLER, Q.C.: Mr. Brockman, with that correction, do  
84 you adopt your August, September, and November 2001  
85 pre-filed testimony as your sworn evidence in this  
86 proceeding?

87 MR. BROCKMAN: Yes.

88 MS. BUTLER, Q.C.: Mr. O'Rielly, can we go first to the  
89 index to Mr. Brockman's original testimony please? Mr.  
90 Brockman, before we go through the summary section of  
91 the original testimony, can you tell the panel please, your  
92 history and experience, education included?

93 MR. BROCKMAN: Yes, I have a Bachelor's Degree in  
94 Engineering, partial completion of a Master's in Engineering  
95 and Economics. I have about, a little over 25 years of  
96 experience in utility planning, rate making, consulting, and  
97 some educational and teaching experience. I plan

1 transmission, distribution, and generation systems. I have  
2 designed rates, done cost of service, I was a regulatory ...  
3 an assistant director for regulatory staff in Florida for about  
4 five years directing rate cases and least cost planning, and  
5 safety issues, and several others, you know, regulatory  
6 policy type questions that the commission had to deal with.  
7 I have also taught courses for public utilities reports, Public  
8 Utilities Fortnightly, on rate design and cost of service as  
9 well as least cost planning, and I think my first appearance  
10 here in Newfoundland was in 1990, but I'm starting to forget  
11 how many times I've testified here on various issues.

12 MS. BUTLER, Q.C.: Okay, thank you. The index to your  
13 original testimony indicates the topics that you were  
14 addressing, and we can see that they were the Rate  
15 Stabilization Plan, the test year forecast including hydraulic  
16 production, and the cost of service issues including the  
17 rural rate subsidy and rate design. Can I turn first to the  
18 RSP generally and ask you if you could just summarize for  
19 the Board your principal recommendation on the plan and  
20 indicate whether either of these recommendations have  
21 changed with your supplementary pre-filed evidence?

22 MR. BROCKMAN: My principal recommendation was that  
23 the cap on the residential part of the RSP not be raised  
24 above \$50 million. Hydro is asking for it to be raised to  
25 \$100 million, of course ... without some sort of review and,  
26 I guess I suggested at various times, although I didn't fully  
27 develop the thought that there be some sort of possibly a  
28 mini-hearing and a filing before that overage would be  
29 allowed to be recovered. I recommend that Hydro be  
30 allowed to book the numbers in their accounting books so  
31 that they could be, you know, recovered if they were  
32 shown to be prudent and, you know, advisable to the  
33 Board. I don't think I've changed that recommendation in  
34 my subsequent filings.

35 MS. BUTLER, Q.C.: Now, Mr. Cameron Osler has most  
36 recently given oral evidence on the RSP since you've filed  
37 your second supplementary evidence. Have you had a  
38 chance to review the transcript from Friday, November  
39 30th?

40 MR. BROCKMAN: Yes.

41 MS. BUTLER, Q.C.: And are you aware of Mr. Osler's  
42 interpretation of the term "load" as it relates to the Rate  
43 Stabilization Plan?

44 MR. BROCKMAN: Yes.

45 MS. BUTLER, Q.C.: And can you provide the panel with  
46 your comments on that please?

47 MR. BROCKMAN: In my experience, the word "load"  
48 generally includes both demand and energy. Generally  
49 when someone asks me a question or asks me to do  
50 something with load I would try to clarify that. Do they

51 mean demand, do they mean energy, or do they mean both,  
52 and so I think to me it was quite clear as well as, you know,  
53 reading some of the letters that were put forward as well on  
54 what exactly that meant, but I won't say that it was crystal  
55 clear because there is some confusion as to some of this,  
56 but I think that it's fairly clear what's meant by load.

57 MS. BUTLER, Q.C.: In the second section, which is  
58 actually Section 4 in the index to your original testimony,  
59 you addressed the test year forecast, and can you  
60 summarize for the panel, please, your evidence on Hydro's  
61 hydraulic forecast which we know, excuse me, was also  
62 addressed in your first and second supplemental  
63 testimony?

64 MR. BROCKMAN: Yes, what I found was in my  
65 investigation of the hydraulic forecast that Hydro put  
66 forward in the test year is, first of all, I guess there was at  
67 least an implication that there was some sort of Canadian  
68 standard on this. While there may be a Canadian standard  
69 in terms of planning and what the hydraulic planners use,  
70 I certainly didn't find in my investigation that there was any  
71 sort of regulatory test year standard on what should be  
72 used for the hydraulic forecast in terms of number of years  
73 or how it should be calculated. We talked to some of the  
74 people that Hydro talked to as well as some of Hydro's own  
75 witnesses, Mr. Henderson talked about whether or not his  
76 survey that he did showed that everybody had a standard  
77 and that they used this standard in terms of test year. We  
78 just didn't find the standard, I don't believe there is a  
79 Canadian standard in my opinion. Hydro calculates their  
80 test year forecast for hydraulic generation based upon the  
81 full historical record and some of that is even historical  
82 before the plants even go into service, and I just don't think  
83 that is appropriate. I think that something better would be  
84 to use, say, the last 30 years of data, because it appears to  
85 me that the numbers do change quite a bit. There appear to  
86 be wet years or wet periods and dry periods and so on and  
87 so forth. I know that Environment Canada uses only 30  
88 years in their climatological questioning, so as far as I can  
89 see, 30 years would be more appropriate. I also looked at  
90 several of the utilities and their responses if they used  
91 median rather than simple averages. A median calculation  
92 would give you an answer if you looked at the day where  
93 you were right half the time and wrong half the time. I think  
94 that's a better way of calculating the number than using  
95 just a simple mean, so that was my recommendation.

96 MS. BUTLER, Q.C.: Now, subsequent to the filing of your  
97 principal evidence on this point and, in fact, I think  
98 subsequent to the filing of your first supplementary, have  
99 we forwarded to you a copy of an exhibit referred to as U-  
100 Hydro 17.

101 MR. BROCKMAN: Yes, that's correct.

1 MS. BUTLER, Q.C.: And I wonder, Mr. O'Rielly, if we might  
2 just see that exhibit. This was provided by Hydro in  
3 response to an undertaking they had given relevant to a  
4 question by Commissioner Whalen. In reviewing this ... is  
5 that the revised one Terry?

6 MR. O'RIELLY: Yes, it is.

7 MS. BUTLER, Q.C.: Okay, in reviewing this document can  
8 you tell us please whether this document from your review  
9 addresses Commissioner Whalen's question, and what  
10 results you take from it?

11 MR. BROCKMAN: I guess I'll have to let Commissioner  
12 Whalen decide whether it completely addressed the  
13 question. There were no word conclusions, I guess, if you  
14 would ... that perhaps went to her question, although there  
15 was a word conclusion in the document. I think Table 4 of  
16 that document, if we could go to that, shows what I think  
17 the conclusions from it are, and if you'll look at Table 4,  
18 over in the last three columns there are calculations of the  
19 30 year average, rolling average, which is my  
20 recommendation. Then there's one called reduced full  
21 average, which really isn't, no one is proposing that. That's  
22 Hydro's full historic average minus some years that they  
23 took out where some of the things don't exist, and then that  
24 last column is sort of Hydro's full historical average  
25 calculation, and then if you look at the ... we can only  
26 calculate the 30 year average based on this data from, I  
27 guess it's 1979 onward, and if you look at those 22 years of  
28 data beginning in 1979, you find that in some years Hydro's  
29 calculation would have been better, and in some years the  
30 30 year rolling average would have been better, but the  
31 bottom line for me is that for 13 of those last 22 years, our  
32 method would have been on, or have been closer to the  
33 actuals than Hydro's method. For nine of the last 11 years,  
34 our method would have been better, so in the 22 years we  
35 were about 60 percent, you know, accurate, versus Hydro,  
36 and in the last 11 years we were, I think it's about 82  
37 percent, if my calculations are correct. So that's the  
38 conclusion to me, but again, I don't know whether that  
39 answers Commissioner Whalen's questions or not.

40 MS. BUTLER, Q.C.: Mr. O'Rielly, can we go back now  
41 please to the index to Mr. Brockman's original testimony,  
42 and the final issue addressed back in August was the cost  
43 of service, rural rate subsidy, and rate design.

44 MR. BROCKMAN: Yes.

45 MS. BUTLER, Q.C.: As it relates to the rural deficit, and the  
46 abolition or reduction of government and preferential rates,  
47 are you aware of Hydro's position on that issue?

48 MR. BROCKMAN: I think so, and I say I think so because  
49 after reading Mr. Hamilton's, the transcript of Mr. Hamilton  
50 on November 27th, it appeared to me anyway that Hydro is

51 currently saying that perhaps the restrictions on them are  
52 not quite as severe as I thought they were, that the Orders  
53 in Council perhaps don't still apply to all these rates, so I  
54 think I'm aware of their current position, but I'm not a  
55 lawyer so I can't interpret all of those issues, but ...

56 MS. BUTLER, Q.C.: And what is your recommendation for  
57 the reduction of the subsidies, Mr. Brockman?

58 MR. BROCKMAN: Well, as always, I recommend that  
59 Hydro continue, or continues to do all they can to reduce  
60 those subsidies. I think I've testified several times in past  
61 proceedings that I would like to see some sort of schedule  
62 filed, some sort of definite plan to eliminate the subsidies,  
63 as much as ... well not eliminate, because I don't think we  
64 can completely eliminate them, but to reduce the subsidies  
65 as much as reasonable and possible. I would like to see  
66 Hydro, you know, actually have to file something that says  
67 here's our plan and here's what we're going to do, rather  
68 than saying we'll wait until the next rate case every time,  
69 and they have made some progress in this proceeding, by  
70 the way, on that issue, on government subsidies in some of  
71 the rural areas, but I would like to say, and I'm a little  
72 impatient, so ...

73 *(2:15 p.m.)*

74 MS. BUTLER, Q.C.: Okay, thank you, and can I go now,  
75 Mr. O'Rielly please, to the index to Mr. Brockman's first  
76 supplemental filed in September? Now as we can see here,  
77 Mr. Brockman, you readdress the issue of the hydraulic  
78 generation forecast.

79 MR. BROCKMAN: Yes.

80 MS. BUTLER, Q.C.: Which we've addressed already now  
81 this afternoon, and then you gave comments on Mr.  
82 Bowman's evidence on behalf of the Consumer Advocate,  
83 and Dr. Wilson on behalf of the Board. Looking at Dr.,  
84 your comments on Dr. Bowman's evidence, this concerned  
85 the demand energy rate?

86 MR. BROCKMAN: Yes.

87 MS. BUTLER, Q.C.: And in that sense, so did Dr. Wilson's,  
88 so could you just summarize for the Board please, your  
89 position on the demand energy rate currently in place  
90 between Hydro and Newfoundland Power?

91 MR. BROCKMAN: Yes, as is on the record, I testified  
92 before, at least once or twice before this Board that all other  
93 things being equal, a good regulatory procedure would be  
94 to have demand energy rates on customers who can afford  
95 the meters. I think Mr. Osler just repeated that statement  
96 himself just a few hours ago, or an hour or so ago. I guess  
97 the problem with that is in the all other things being equal.  
98 Normally we do that as a matter of course, but once we  
99 recommended that that proceed and the Board went

1 forward with that particular recommendation, I think I  
2 recommended it, and I think Mr. Paul Hamilton  
3 recommended it, and perhaps several others, we found that  
4 it would create a lot of volatility in Newfoundland Power's  
5 revenues, and their financial people, and their accounting  
6 people didn't particularly like that volatility, so all things  
7 considered, we decided that perhaps it wasn't as great an  
8 idea as it seemed like at first. It did have some advantages  
9 and that it perhaps better would signal the costs in the  
10 short run, and I say the short run because Newfoundland  
11 Power does pay their costs, their demand costs and their  
12 energy costs are reflected in the cost of service study and  
13 get flowed through each time we have a cost of service  
14 study, and any time we have a rate hearing, they get all  
15 their costs. It's just whether or not they have a separate  
16 demand energy charge. The other thing was is the time  
17 that we were particularly concerned about this,  
18 Newfoundland Power was particularly concerned because  
19 people were really more concerned at that time about  
20 reducing demand. Demand side management was probably  
21 a bigger issue than it is today, although it's still an  
22 important issue. Newfoundland Power simply hasn't had a  
23 lot of demand growth in the last ten years. In fact, I think  
24 in one of the tables in my evidence shows is their demand  
25 has, in fact, fallen, so it's not as important of an issue, I  
26 don't think, as it was at the time we first pushed for it, and  
27 because there are some negatives at least from the financial  
28 perspective, of the financial planners at Newfoundland  
29 Power, we're no longer recommending it as necessarily an  
30 option to pursue. One other point on that is that I think it's  
31 also important to remember that to some degree rate making  
32 is sort of like squeezing a balloon. You have a set revenue  
33 requirement in these cases, and you can charge customer  
34 charges, you can charge energy charges, you can charge  
35 demand charges, but if you reduce one, the other two have  
36 to go up, and vice versa, so if you squeeze the balloon in  
37 one place, it may pop out somewhere else. Newfoundland  
38 Power currently has energy growth, but they don't have  
39 demand growth, so if we do something that will reduce ... if  
40 we put demand charges in and then reduce the energy  
41 charges, we may have a different problem. We may create  
42 the need for base load plant, for instance, on the system.  
43 So you have to, we have to carefully design the rates to  
44 make sure that you can still keep your tail blocks where you  
45 need them, and you don't overly encourage energy growth  
46 when you put in demand charges. Sorry.

47 MS. BUTLER, Q.C.: No, that's fine. And the final point  
48 you make in the first supplemental evidence, Mr. Brockman  
49 is in relation to Dr. Wilson's evidence, not only on the  
50 demand energy rate, but also on his position which  
51 supports the abolishment of the RSP, and can you tell us  
52 your recommendation to the Board, or position to the  
53 Board, on that point?

54 MR. BROCKMAN: Well, I don't think that the RSP should  
55 be completely abolished. I think that the customers like  
56 having the, some of the stability that the RSP gives them.  
57 I think that, as well, Hydro probably enjoys the stability on  
58 revenues that the RSP gives them, so I don't think it should  
59 be completely abolished. However, I would like to see more  
60 incentive put on Hydro to control fuel costs and be more  
61 efficient with their hydraulic generation as well as their  
62 thermal generation. I'm not saying they're inefficient, but  
63 there's sort of an economic perspective of can we give them  
64 more incentive than we have now, so that the Board  
65 doesn't have to look as hard all the time and maybe Hydro  
66 goes on their own and tries to become efficient. They do  
67 that now but it's just an economic idea that we like to give  
68 utilities as much incentive as we can. So for that reason I  
69 wouldn't abolish it, but as I said, I would not set the cap to  
70 \$100 million, and I said \$50 in my evidence, but I think this  
71 is something that probably would be discussed as this  
72 proceeding goes on. I mean \$50 million is not a magic  
73 number, but it certainly, you know, we can talk more about  
74 that later, but you know, I don't want to see it go too high.  
75 I don't want Hydro to hit \$100 million because I don't think  
76 it gives them any incentive in that respect.

77 MS. BUTLER, Q.C.: So the practical effect of capping the  
78 retail RSP at \$50 million would be what?

79 MR. BROCKMAN: Well, the practical effect would be that  
80 if Hydro's fuel costs went over \$50 million are there extra  
81 costs ... it wouldn't just have to be fuel costs, it's fuel costs,  
82 you know, created by hydraulic production as well as load,  
83 changes in load, but it's mostly thermal production costs.  
84 If they went over \$50 million, as I said, I think Hydro should  
85 be allowed to book the overage and then come to the Board  
86 for a short limited proceeding which would really be just on  
87 the, why is the fuel cost, you know, more than we thought  
88 it was going to be, why is the hydraulic production less  
89 than we thought it was going to be, or why has the load  
90 changed, and it would be limited to those fairly limited  
91 issues, and it would probably be a one or two, a three day  
92 hearing, perhaps, and it's not unlike the hearings that the  
93 utilities that I'm familiar with, regulated in Florida had on  
94 fuel adjustment. We brought them in for a one or two day  
95 hearing every year, or every six months, depending on  
96 what timeframe you're talking about, and we looked at their  
97 cost and it gives everyone a chance to sort of see what's  
98 happening. It doesn't allow us to get into the situation that  
99 we're in now where we have fuel costs based on \$12.50 a  
100 barrel of oil, because we haven't reviewed, you know, in  
101 that context for a long, long time, so I think it would create  
102 that sort of an incentive to have the Board get a regular  
103 review of this important cost of Hydro. The details again  
104 of that I think would have to be worked out.

105 MS. BUTLER, Q.C.: Okay, thank you, and Mr. O'Rielly, can

1 we go finally now to the annex to Mr. Brockman's second  
2 supplemental filed in November? Thank you, and again,  
3 you would readdress the hydraulic generation forecast  
4 which you've already told us about. The third item on your  
5 index here relates to relative allocation proposed rate  
6 increases. This is in response to Mr. Osler's position on  
7 the relative rate increases between Newfoundland Power  
8 and the industrial customers?

9 MR. BROCKMAN: Correct.

10 MS. BUTLER, Q.C.: And can you give us your conclusion  
11 please?

12 MR. BROCKMAN: Yes, I looked at Mr. Osler's issue and,  
13 you know, I thought it was an interesting question, one  
14 which deserved an answer, and so I did go back and look  
15 at what has happened to the rates of both Newfoundland  
16 Power and the industrials since 1992, because I think he did  
17 have a good point. There should have been some  
18 increasing spread between the industrials and  
19 Newfoundland Power, and in fact, what I found was the  
20 industrials had had three rate decreases during that time  
21 and Newfoundland Power had had an increase, and so that  
22 in the bottom line, as I present in my supplemental, my  
23 second supplemental evidence, is that the spread has  
24 widened to about 16.2 percent between the ICs and  
25 Newfoundland Power since 1992. Now the other issue that  
26 came up was that some of these increases are created by  
27 fuel. The price of energy is going up because fuel is going  
28 up, and insofar as the industrials use more energy relative  
29 to their demand than Newfoundland Power does, which  
30 they do, you would also expect there'd be more of an  
31 increase from that effect on them, so I found that, you  
32 know, I was satisfied that the indication was that we were  
33 moving in the right direction. Mr. Osler didn't really  
34 provide us with any, at least not that I could find, any great  
35 amount of detail that, you know, this is wrong or that's  
36 wrong, to give us much to work with in terms of, okay, what  
37 should we do with this issue other than to try and answer  
38 it as I have here.

39 MS. BUTLER, Q.C.: And finally, the issue that's number  
40 four on the table of contents, the allocation of generation  
41 costs, this addresses the allocation of generation demand  
42 costs based on coincident peak?

43 MR. BROCKMAN: Correct.

44 MS. BUTLER, Q.C.: And what are your conclusions on  
45 that point, Mr. Brockman?

46 MR. BROCKMAN: Well, as I've said, I support a multiple  
47 CP for the allocation of demand costs for generation  
48 demand on the system, and the reason I support that is  
49 because, my understanding from the evidence is that  
50 Hydro currently uses essentially two generation planning

51 criteria. One is a farmed energy criteria so that they have to  
52 make sure that in the dry years they have enough energy  
53 from their thermal plants as well as all their plants to make  
54 sure that the lights don't go out, and that's a common  
55 planning criteria used by hydraulic utilities. The other  
56 criteria that they use is something called a loss of load  
57 criteria, LOLH, you'll see it in the evidence, and the LOLH  
58 is calculated for every year, every hour of the year and the  
59 numbers that are in the filings of Hydro show that for the  
60 peak month that they chose, which was January, about 60  
61 percent, I believe, of those hours ... about 60 percent of the  
62 total yearly LOLH was contributed in January, and I think  
63 another 23 percent was contributed in February and then  
64 March and December pretty much contributed the rest, so  
65 that clearly at least two of those months are, seem to be  
66 very important. I mean one is clearly more important than  
67 the other, but only 60 percent. The other issue that I find  
68 with that is that there is always a chance, and if we look at  
69 recent history, we find that the peaks have occurred in  
70 March, they have occurred in December. They don't  
71 always occur in January or February, so I think for all those  
72 reasons, I don't support a 1-CP, I certainly would ... I prefer  
73 a 4-CP, but I think a 2-CP is better than one, so that's my  
74 position.

75 MS. BUTLER, Q.C.: Okay, thank you, Mr. Brockman, those  
76 are my questions, Mr. Chairman.

77 MR. NOSEWORTHY, CHAIRMAN: Thank you, Ms.  
78 Butler. Thank you, Mr. Brockman. We'll move now to  
79 Hydro please, Mr. Young, for your cross?

80 MR. YOUNG: Thank you, Chair. Good afternoon, Mr.  
81 Brockman. It's always a pleasure.

82 MR. BROCKMAN: Good afternoon.

83 *(2:30 p.m.)*

84 MR. YOUNG: Mr. Brockman, I didn't hear that you  
85 discussed in either your recapping of your pre-filed  
86 testimony, and I didn't see it in your pre-filed testimony,  
87 any discussion about common and specifically assigned  
88 plant allocations, and it's an issue that's been in this  
89 hearing, and it's one that I think we've discussed before.  
90 I'm just wondering if, generally speaking, before we get into  
91 this in some detail, I notice on page 22 you indicated that  
92 there was some sound reasons, and I don't think you need  
93 to refer to it.

94 MR. BROCKMAN: Okay.

95 MR. YOUNG: To keep to the regulatory principles that  
96 were decided following the 1993 generic cost of service  
97 hearing. Is that still your position here?

98 MR. BROCKMAN: I'm sorry, would you repeat the  
99 question?

1 MR. YOUNG: Yeah, I'm just wondering, I mean you ... it's  
2 just sort of a lead-in to the issue, that you had mentioned  
3 that on page 22 of your testimony that the 1993 report of  
4 the Board following the generic cost of hearing, generic  
5 cost of service hearing, sorry, you indicated, as I  
6 understand it, that you prefer not to throw the baby out  
7 with the bath water and move on from there, is that correct?

8 MR. BROCKMAN: Yes, I can't remember how many weeks  
9 we spent on that generic proceeding, but you know, there  
10 were some hard fought battles. I think the Board made a  
11 wise compromise between all the issues, and so the tack  
12 that I took with respect to most of these issues was rather  
13 than trying to sort of repeat my old, where I lie on some of  
14 these things, you know, what were my leanings on them,  
15 was to go with what the Board said. I think the Board did  
16 make a wise compromise in that order, and so insofar as  
17 Hydro has followed the Board order, and I did check, you  
18 know, the issues to see whether they had in fact complied  
19 with the Board's order, and I think for the most part they  
20 did. There were several other issues that came up later, I  
21 guess, that some of the other witnesses have raised, where  
22 I didn't take great issue with them, I haven't talked a lot  
23 about them, and while I think in general you have followed  
24 that order, and that's appropriate. Did I answer your  
25 question?

26 MR. YOUNG: Yeah, I think you did, yeah. Mr. O'Rielly, I  
27 wonder if you could bring us to page 15 of Mr. Budgell's  
28 pre-filed evidence please. Thank you, can we see lines 24 to  
29 29 on that page, on the bottom. This relates to, as you can  
30 see here, and I have no doubt you've read it, a change  
31 that's occurred since then, a rural inquiry, and you have  
32 some knowledge of that also. Perhaps I'll just read the part  
33 that's been contentious here, and it says at that time the  
34 Board recommended both generation assets and the 138 kV  
35 transmission line on the Great Northern Peninsula, be  
36 assigned on a provisional basis being of common benefits  
37 to all interconnected customers, and that's a  
38 subtransmission cost for lines whose voltage is below 138  
39 kV be specifically assigned. You've got it so we can see  
40 the rest of this, great, Mr. O'Rielly. The Board further  
41 recommends re-examination of these cost assignment  
42 decisions and rules for cost assignment at a future hearing.

43 MR. BROCKMAN: That's correct.

44 MR. YOUNG: Have you been reading the transcripts in  
45 relation, and I'm trying to see how much time we can save  
46 here, as to the issues that have come up on this matter,  
47 about the GNP?

48 MR. BROCKMAN: I have been reading the transcripts and  
49 trying of all the issues, I will admit I haven't done a great  
50 study of it, but I have been following along.

51 MR. YOUNG: The point that Mr. Budgell is making further

52 in his evidence, which I'll ask you to comment on, is that  
53 now that the GNP is connected that his position, Hydro's  
54 position in fact, is that the generation which is now  
55 interconnected should all be assigned to common, do you  
56 agree with that position?

57 MR. BROCKMAN: Well, I agree with the position. I agree  
58 with the position, I agree with the Board's position, let me  
59 put it that way, in the '93 cost of service hearing, which said  
60 that where a line or a generator was shown to be of  
61 substantial benefit to the rest of the ratepayers, it should  
62 be classified as common, and I think that's what Mr.  
63 Budgell was currently trying to say, trying to follow the  
64 issue with what he says, he says that in dry years, for  
65 instance, the generation could be of benefit to the rest of  
66 the island, and he makes a couple of other comments as to  
67 times when it could be used, so I have no reason to doubt,  
68 you know, he knows the system and he's, you know,  
69 familiar with what's going on and I'd have no reason to  
70 doubt that that's true, so I don't take issue with that. I think  
71 I'm agreeing with it.

72 MR. YOUNG: Okay, the bottom of page 16, could you just  
73 scroll down a bit further, Mr. O'Rielly, please? We find at  
74 the bottom of this page under the heading of common plant  
75 there, thank you, that Mr. Budgell has set out the principles  
76 as to the assignment of plant as either common or  
77 specifically assigned, and at this point he's talking about in  
78 (b) and in (d) there about transmission plant in particular.  
79 I wonder if you could just scroll down to (d) please, Mr.  
80 O'Rielly? Thank you. Perhaps, Mr. Brockman, it might be  
81 easiest if you could just read that in starting with line five,  
82 and I'll ask you to comment about it after.

83 MR. BROCKMAN: It says, all of Hydro's transmission and  
84 terminal station plant that connects a single customer and  
85 remote generation or voltage support equipment that is of  
86 substantial benefit to all customers on the grid, for the  
87 purposes of this guideline under any normal operating  
88 scenario, the output of remote generation can be levered  
89 (*phonetic*) to the 230 grid, that is in excess of radial load  
90 and then the remote generation is considered to be of  
91 substantial benefit to all customers and as such the  
92 transmission and terminal plant, terminals plant connecting  
93 it to the grid would be assigned common.

94 MR. YOUNG: Do you have any comment about that?

95 MR. BROCKMAN: No, I think I agree with it.

96 MR. YOUNG: There has been another assignment change  
97 which doesn't relate to the GNP directly, but it's to the  
98 Doyle's-Port Aux Basques system, and Mr. Budgell speaks  
99 about that also. The transmission and terminal plant was  
100 previously assigned to Newfoundland Power and it's now  
101 assigned common, do you agree with that change also,  
102 (inaudible) it's the same principle, I believe.

1 MR. BROCKMAN: I'm sorry, I'm not following your  
2 question.

3 MR. YOUNG: Okay, this relates to the line going to Port  
4 aux Basques, in that area.

5 MR. BROCKMAN: Uh hum.

6 MR. YOUNG: Do you understand that the same principle  
7 was applied there as was applied for the GNP, or ..

8 MR. BROCKMAN: Yes.

9 MR. YOUNG: Okay.

10 MR. BROCKMAN: And I agree with the principle, no  
11 matter where it is applied.

12 MR. YOUNG: And this test, is this test one that would be  
13 used elsewhere, or one similar to one that would be used  
14 elsewhere for interconnecting systems?

15 MR. BROCKMAN: Do you mean in other jurisdictions?

16 MR. YOUNG: Other jurisdictions that you're familiar with,  
17 yes.

18 MR. BROCKMAN: Yes, I believe it's an appropriate one  
19 that would be used elsewhere.

20 MR. YOUNG: Still with assignment to plant, but looking at  
21 a different beast, have you been familiar with the issue of  
22 the frequency converters at Corner Brook and Grand Falls?

23 MR. BROCKMAN: I'm familiar with the issue. I don't think  
24 I took a position on it.

25 MR. YOUNG: I don't think you did either, and I'm going to  
26 ask you do that I suppose, and see where you stand on it.  
27 You may be aware, and tell me if you're not, that your client,  
28 Newfoundland Power, once had a customer in the vicinity  
29 of Corner Brook, were you aware of that, who received  
30 power at 60 hertz?

31 MR. BROCKMAN: No.

32 MR. YOUNG: You weren't aware of that, okay. I think the  
33 evidence is that, and which I'll ask you to respond to, and  
34 if you're not familiar with the facts here, of course, you can  
35 respond to this as if it were a hypothetical, but the  
36 evidence is that there were no other customers served at 50  
37 hertz left in Newfoundland except for the two paper mills  
38 which have frequency converters, they in a sense serve  
39 themselves at 50 and themselves at 60 through the  
40 frequency converters, were you aware of that generally?

41 MR. BROCKMAN: Yes.

42 MR. YOUNG: What is your position on the proper  
43 assignment of those frequency converters?

44 MR. BROCKMAN: I think what we're talking about there  
45 perhaps is, are facilities whose sort of essential character

46 has changed over the years. The reason they were put in  
47 may be different than the reason they are currently being  
48 used, and I think when that happens oftentimes we have to  
49 make some adjustments. In fact, I think that was the  
50 Board's reasoning in the cost of service, in the '93 order,  
51 where they talked about using things like load factor to  
52 classify plant, and they said things change, you know, over  
53 time, and so I think the Board is cognizant that we can't just  
54 say this was built for this reason and forever and ever just  
55 forget about it. Usually we can but where the essential  
56 character changes, so that I think if you have a situation,  
57 and again, I haven't studied that issue in great detail, but,  
58 you know, I don't know all of the history of that whole area  
59 but if, in fact, only the industrials are benefitting, or these  
60 two industrial customers are benefiting from those  
61 frequency converters, and they're the ones who really need  
62 them and benefit from them, then it seems to me fair for  
63 them to pay for the, and so probably they would be  
64 classified as specifically assigned.

65 MR. YOUNG: Can I ask you if that would be consistent  
66 with the way regulators treat these kinds of issues in other  
67 jurisdictions in your experience?

68 MR. BROCKMAN: Yes, I think it is, but different  
69 regulators do different things. I mean oftentimes in a  
70 situation like this we don't necessarily want to have to  
71 examine every single piece of equipment on the system in  
72 great detail, so sometimes regulators just make up rules, like  
73 is it 230 kV or above, or something, and if it is let's classify  
74 it as common. I mean but in general I think that's  
75 consistent with good regulatory principles.

76 MR. YOUNG: I wonder if I can turn now to the RSP issue.

77 MR. BROCKMAN: Okay.

78 MR. YOUNG: And could I direct you to page 11 of your  
79 pre-filed testimony please, at the bottom of the page, or  
80 near the bottom, at line 23. I wonder if I could ask you to  
81 read in, starting at line 23, that sentence there, please.

82 MR. BROCKMAN: In the circumstances of this  
83 proceeding, Hydro's proposal to incorporate a \$20.00 per  
84 barrel fuel cost in base rates is a reasonable enough  
85 balance of the need to improve fuel cost recovery and  
86 provide rate stability.

87 MR. YOUNG: Now, I take it from that obviously that the  
88 \$20.00 a barrel base rate is not a problem. I'm wondering if  
89 you could respond to this point. The RSP, I think, and it's  
90 been said enough times here in this hearing that we're  
91 getting almost bored to hear it, but it's intended to protect  
92 Hydro from the matters that are outside its control ... fuel  
93 prices, variations in load, and variations in hydrology, is  
94 that your understanding?

95 MR. BROCKMAN: With the possible exception, and it's

1 relatively minor, but not completely minor, that not all those  
2 things are outside of Hydro's control. I'll give you an  
3 example, I mean fuel costs, certainly Hydro doesn't control  
4 the price of fuel oil in the world, but they do control what  
5 they purchase, and they do control how they operate their  
6 hydraulic generation so with that possible caveat, yes.

7 MR. YOUNG: Yeah, I mean Hydro can react to some of  
8 those things, and I suppose over a longer period of time,  
9 Hydro ... it could shape the load, but within any sort of  
10 short period of time, essentially it gets what it sees from its  
11 customers, is that correct?

12 MR. BROCKMAN: That's correct in terms of the load.

13 (2:45 p.m.)

14 MR. YOUNG: You reiterated today your point about the  
15 \$50 million cap, and you talked about the possibility of  
16 having a short proceeding to deal with that. Hydro's  
17 testimony on the matter is to the effect that the fuel price  
18 forecast of \$28.00 per barrel, all things being equal, and if  
19 that turns out to be reasonably accurate, the balance is  
20 going to be exceeded.

21 MR. BROCKMAN: That's correct.

22 MR. YOUNG: Pretty soon, isn't that correct?

23 MR. BROCKMAN: That's correct.

24 MR. YOUNG: And in fact we can see some of this, even  
25 though this is for 2003 and 2004, the numbers on the screen  
26 from page 11 suggest that that's the case. I'm wondering  
27 why you think it's something to be deferred and to be  
28 looked at at that point and don't you think this is the  
29 hearing now when we should consider this issue about  
30 going over the \$50 million cap?

31 MR. BROCKMAN: Well, yes and no. I think it's probably  
32 now perhaps is the time to look at this year, or the test year,  
33 but I think the Board also has the opportunity to set up a  
34 procedure for looking at this in the future, and if you look  
35 at the numbers on the screen you'll see that in 2003 there's  
36 62 and then there's 37, and I guess that's based on the  
37 \$28.00 barrel for oil which we're nowhere near today, but I  
38 think the Board has the opportunity to set up a procedure  
39 whereby this thing can go out into the future and be a way  
40 that the Board can exercise its regulatory review of Hydro,  
41 perhaps on a yearly basis if the costs get out of control and  
42 the cost of oil gets out of whack in the RSP, so I'm not  
43 saying that Hydro, if they do hit the 62, let's say that 62 is  
44 for 2002 ... I don't know what the number is for 2002 in the  
45 test year anymore, there's been so many changes, including  
46 the cost of oil and how Hydro is ... you know, the hydraulic  
47 generation is actually coming on. But I don't see any  
48 problem with having them in a hearing even in next year to  
49 see where things are, to see if we need to reset this thing

50 and see if we need to rethink this thing. We're not talking  
51 about a big hearing, we're only talking about a limited  
52 scope hearing to see whether or not we should want to  
53 pass these things along, do we want to amortize them all  
54 over three years, do we want to perhaps take the amount  
55 over 50 and apply that to only one year, or just write it off  
56 in a month, or what have you. I don't see that that's  
57 necessarily a problem. In fact, I think it's an opportunity.

58 MR. YOUNG: Are there not enough pieces of information  
59 available now to the Board to make its determinations as to  
60 what it can do on that point?

61 MR. BROCKMAN: Well, these things are certainly filed  
62 with the Board. It's my understanding, I guess the RSP  
63 balances are filed every month with the Board, but there  
64 doesn't seem to be a hearing on it and no one seems to call  
65 it, object to it, or make very many questions about it, and  
66 maybe no one has questions about it, but somehow or  
67 some way we got to \$12.50 a barrel of oil in the RSP over  
68 this period of time, so that tells me there hasn't really been  
69 a lot of necessarily public review if you will, I mean these  
70 are certainly public documents, I'm not trying to say that  
71 any of this has been done under the table or anything, but  
72 there is a big difference between people knowing that  
73 there's going to be a hearing, knowing that they're going to  
74 have to talk about these issues, knowing they're going to  
75 have to justify these things, and just having it sort of  
76 become automatic almost by default, and I'm not a lawyer  
77 so I don't know ... I'm sure the Board probably has a legal  
78 authority now to pull Hydro in every year if they want to  
79 ask them about these things, but it's not expected, I don't  
80 think.

81 MR. YOUNG: You mentioned at one point, and I don't  
82 know if you need to go to the reference, perhaps you can  
83 just respond to my question, but I believe you mentioned  
84 at one point that given Hydro's history as being away from  
85 the Board for a period of time that it may be some reason to  
86 bring it back sooner rather than later. Is that something  
87 you feel is true in this connection also?

88 MR. BROCKMAN: It's something ...

89 MR. YOUNG: Is that an issue or an element that caused  
90 you concern in relation to not having a hearing next year  
91 on the RSP in particular?

92 MR. BROCKMAN: Yes, it is with respect to the issues in  
93 the RSP. I don't necessarily want to have a hearing every  
94 year on Hydro's cost of capital, or their labour costs, or any  
95 of that. I'm really only talking about fuel costs, hydraulic  
96 production, you know, the things that are in the RSP, a  
97 limited scope hearing.

98 MR. YOUNG: The evidence of Mr. Wells, which you're  
99 probably familiar with, indicates that Hydro will be, and I

1 know you're familiar with this fact, will be commissioning  
2 Granite Canal in 2003.

3 MR. BROCKMAN: That's correct.

4 MR. YOUNG: And you may also know that Hydro has  
5 negotiated contracts for two non-utility generating  
6 sources. These things are going to have an impact on  
7 Hydro's circumstances, would you suspect that to be the  
8 case?

9 MR. BROCKMAN: I think it will be.

10 MR. YOUNG: So I mean given the fact that the last ten  
11 years has been relatively stable as to the developments of  
12 this sort, and that in the near future, if I can call it that, is  
13 less so, do you think that we really have the kind of  
14 concern that you've stated about the longer periods of time  
15 before the next hearing ... and my suggestion to you is that  
16 Hydro's position is that we're going to be before the Board  
17 again within a couple of years at any rate.

18 MR. BROCKMAN: Well, again, I think there is value in the  
19 Board establishing a certain regulatory framework, a certain  
20 procedure that's a regular procedure, rather than sort of,  
21 well maybe we come in, maybe we don't. I mean these are  
22 not things, these are things that are done in other  
23 jurisdictions, fuel adjustment reviews, for instance, are  
24 done periodically, every year, every six months, and that's  
25 all we're really suggesting here. I know that Hydro has  
26 these things coming online, and that they say they're  
27 coming back in 2002. I'm not sure whether they'll be back  
28 in 2002 or not. I mean things change sometimes, and so I  
29 don't think that necessarily because of that I would  
30 withdraw my recommendation that I'd like to see some sort  
31 of regular review of what's currently an automatic  
32 (inaudible).

33 MR. YOUNG: I wonder if I could turn our attention now to  
34 the issue of coincident peak allocators, and you've brought  
35 that out again in your summation today of your testimony  
36 that's been pre-filed. The issue that we've discussed a fair  
37 bit up to date in relation to this is cost causality, and I'll ask  
38 you to respond to this ... there was one witness, and I can't  
39 remember which one said it, that the issue is who is taking  
40 large amounts of load at the time that the system peaks,  
41 and that's the issue, is it not?

42 MR. BROCKMAN: Well, no, it's two issues. There are  
43 really two issues involved in cost of service. We always  
44 sort of blend this marginal with the embedded, in the  
45 embedded sense that is true. We sort of look backward  
46 and say, you know, who was on the system today, or who  
47 was on the system yesterday. In the marginal sense we  
48 also look forward and we talked a little about that, I guess,  
49 with respect to the frequency converters, and we try to sort  
50 of blend those two issues, so when the Board makes

51 decisions about how to design rates and how to do cost of  
52 service, and so on, they're always looking towards, not  
53 only backwards but forwards as well, and it's a balance.

54 MR. YOUNG: I'm wondering what looking forward does as  
55 to the choice of 1-CP, 2-CP, 4-CP, how does that change the  
56 approach the Board takes?

57 MR. BROCKMAN: Well, I think, as I said, that we have to  
58 look at what's causing Hydro to add generators to the  
59 system and as I testified, they seem to have two criteria.  
60 Number one is this firm energy criteria which would mean  
61 that each class's energy contribution, which could  
62 probably be said to have caused that percentage of that,  
63 you know, addition. And the other one is the loss of load  
64 hours, and you could say that each class's contribution for  
65 loss of load hours was responsible for adding generation  
66 to meet that criteria. And ...

67 MR. YOUNG: This is the generation demand allocator  
68 we're talking about, is it?

69 MR. BROCKMAN: Yes, the generator demand allocator.

70 MR. YOUNG: I'm wondering if that's really an important  
71 issue, the one you just raised, in relation to this issue, I  
72 mean the fact that you bill for ... I mean generally speaking,  
73 unless you're billing strictly at peak, you're going to get a  
74 fair bit of energy, and you would expect to with any kind of  
75 a base load plan, correct? You may build it for demand,  
76 your energy ...

77 MR. BROCKMAN: Well, you build it for both.

78 MR. YOUNG: You build it for both, and that's my point.  
79 You could get both, but if you're looking at allocating the  
80 system based on demand related costs, this is the thing  
81 you look to is the 1-CP, 2-CP, 4-CP, and that's on the  
82 generation side.

83 MR. BROCKMAN: Well, using the 1-CP, 2-CP, you know,  
84 whatever, multiple CP's ...

85 MR. YOUNG: Yes.

86 MR. BROCKMAN: As a, I think in Hydro's case now  
87 because you're doing it as a loss of load hours criteria to do  
88 your planning, we're using it as a proxy for causality. We're  
89 saying what causes these generators to be built and  
90 therefore who should pay for them, and according to your  
91 witnesses, you're building them for those two reasons I  
92 mentioned ... one, loss of load hours, and one, firm energy,  
93 and we're only trying to pick a proxy of 1-CP, 2-CP, 3-CP, as  
94 a way to sort of reflect that LOLH, and I think the 4 does it  
95 better than the 1.

96 MR. YOUNG: I wonder if I could refer you, Mr. O'Rielly  
97 please, to **NP-157**. Can we see the tables there, attached  
98 there please, and there's been enough said about this table,

1 I'm not going to go into it further, just for the visual impact,  
2 but I wonder if you can point to any years in which there  
3 were four months with relatively equal system peaks?

4 MR. BROCKMAN: All four months?

5 MR. YOUNG: Yeah.

6 MR. BROCKMAN: I don't see any.

7 MR. YOUNG: No, the ...

8 MR. BROCKMAN: Well, no, with the possible exception  
9 of perhaps '89, I mean it depends on what you mean by  
10 relatively equal, but they're not always very close for all  
11 four months, or in this table I guess they're never real close  
12 for all four months.

13 MR. YOUNG: Right, I wonder now if I could refer you to  
14 **NP-125** please, and my understanding of this table is that  
15 it was provided, or the data was provided from the  
16 Newfoundland Power demand forecasts, that's what it says  
17 here. I note that there's two peaks in these years which are  
18 identical in the forecast, is that your understanding of this?

19 MR. BROCKMAN: That's what this table seems to show,  
20 although I guess there's an eight kilowatt difference there  
21 in that first line, but ...

22 MR. YOUNG: Yeah, that's right, but it looks to me though,  
23 that ... you're right, there is an eight kilowatt difference, but  
24 essentially this is two identical peaks for all intents and  
25 purposes, or very close to it, is that not correct?

26 MR. BROCKMAN: It seems to be correct, yes.

27 MR. YOUNG: So, I'm wondering based on the table we saw  
28 a moment ago, and based on this, whether 2-CP might be  
29 the position that Newfoundland Power ought to be  
30 supporting. I mean 2-CP seems to be the pattern we see,  
31 more than 4-CP.

32 MR. BROCKMAN: Well, the problem that I have with that  
33 is, as I've said, is that none of these tables address loss of  
34 load hours, first of all, which is what you use for planning  
35 your, essentially as your peak demand, if you will, when  
36 you're going to have to add something because of loss of  
37 load hours. None of these tables reflect that, and secondly  
38 of all, the months in which these things occur are always  
39 the same two months, so I don't know which two months  
40 you would pick and be fair about it.

41 MR. YOUNG: Well, you're on your own a little bit on that  
42 point. I think it's fair to say that all the other experts have  
43 said that that's not a relevant question.

44 MR. BROCKMAN: I don't agree.

45 MR. YOUNG: The other point I wanted to follow up on on  
46 this though, you had mentioned this loss of load hours  
47 thing, and you mentioned today a little earlier in direct, that

48 when you do that study you get usually 60 percent from  
49 one winter month, January typically, probably 20 percent  
50 from February, so in that scenario you have two months  
51 which gives us 80 percent of the load.

52 MR. BROCKMAN: That's correct.

53 MR. YOUNG: Going further than that, I mean the numbers  
54 start to diminish.

55 MR. BROCKMAN: Yes.

56 MR. YOUNG: Fairly quickly, but it's your judgement that  
57 4-CP is supported by the numbers that Mr. Budgell has  
58 used in his study, the same numbers that he's used for 2-  
59 CP, and I think others have suggested it could also support  
60 1-CP, in fact Mr. Brickhill has said that.

61 MR. BROCKMAN: Well, again, I guess my principle  
62 reason for liking four is because I don't know which of  
63 those two months it's going to be, as well as, I guess in, I  
64 think it was Mr. Brickhill's original evidence, he was looking  
65 for stability, and when I looked at his table I saw the four  
66 being more stable, but to tell the truth, I guess I'm not really  
67 enamoured with either, between four and two, but I think  
68 because of the fact that I don't know which peak, which  
69 month it's going to occur in, I like the four better than the  
70 two, and I know that all the hours are important, but I don't  
71 see any justification for one, to follow up on that question  
72 you just asked.

73 MR. YOUNG: Okay, I think the best I can say about that is  
74 that the issue seems to be joined in seeing the data. You  
75 touched upon the rural subsidy issue. Now Mr. Brockman,  
76 you're a veteran, as you mentioned, of Hydro's rate  
77 applications, rate referrals, and other kinds of proceedings  
78 before this Board, and I'm trying to think of any since  
79 you've been around that hasn't discussed the issue of the  
80 rural subsidy, and I don't imagine there were any.

81 MR. BROCKMAN: I can't think of any.

82 MR. YOUNG: No, now you made a qualification today in  
83 your evidence which I thought was instructive because  
84 your pre-filed evidence at page 25 uses the words  
85 "eliminating the rural subsidy", but I think today you're  
86 talking about reducing it, is that correct?

87 (3:00 p.m.)

88 MR. BROCKMAN: Yeah, I think the word "eliminating"  
89 was perhaps too strong, because I don't know that we can  
90 completely eliminate it. I don't know that that's realistic in  
91 our lifetimes. Perhaps it is but it may be too ... I'm after a  
92 reduction as opposed to necessarily a complete elimination  
93 in my lifetime, or at least in my professional consulting  
94 lifetime.

95 MR. YOUNG: I'm not going to ask you when you're going

1 to retire, I guess that wouldn't be fair. Is it the ... and I  
2 know you've looked at this before, but I don't know how  
3 much evidence you've given in this time, or that which  
4 really is intended to address this point, but I can't but ask  
5 you, is it your understanding that it's the lifeline rate in the  
6 isolated rural structure which largely contributes to the  
7 deficit?

8 MR. BROCKMAN: I don't know that I, at one time I  
9 probably knew the answer to that, but I haven't looked at  
10 the components of the subsidy lately, so I'm not sure I can  
11 answer that. It's certainly ... the lifeline rate is probably one  
12 of the last things we could eliminate if we decided to do  
13 that, to be realistic about it. We may never want to  
14 eliminate that, I don't know. That's something we'd have to  
15 look at down the road, but I don't know what it's  
16 percentage component is of the total subsidy anymore.

17 MR. YOUNG: Okay, I was going to suggest to you that  
18 that would have to be the first thing that you would have  
19 to deal with if you were really going to take a serious,  
20 serious change in the size of the subsidy, but ...

21 MR. BROCKMAN: Well, perhaps in the size, I agree with  
22 you, in the size, if you're correct that it is the most sizeable  
23 component, and I have no reason to doubt you. I just  
24 haven't looked at the numbers lately. That's probably  
25 where you get the most bang for the buck, but politically  
26 and realistically it may also be the hardest one to eliminate.

27 MR. YOUNG: Mr. Chairman, I wonder if this might be a  
28 good time to break.

29 MR. NOSEWORTHY, CHAIRMAN: Sure, we can if you  
30 wish, yeah. We'll break now until 20 after. Thank you.

31 *(break)*

32 *(3:20 p.m.)*

33 MR. NOSEWORTHY, CHAIRMAN: Thank you. Can I ask  
34 you to continue, Mr. Young, please.

35 MR. YOUNG: Thank you Chair. Mr. Brockman, in the  
36 context of hydrology you made reference to Granite Canal  
37 coming, being a known event the next number of years, I'm  
38 just wondering how it is that Hydro uses something in its  
39 test year which is not going to occur within the test year  
40 when we do hydraulic forecasts. I would have thought that  
41 posed a problem.

42 MR. BROCKMAN: Well, it's not completely outside, I  
43 guess, my experience where test years have been, I guess,  
44 the word is pro forma that the accountants use there, so if  
45 you think the rates are going to be in effect for a long time  
46 ... now if we come back for a rate hearing in, I guess I said  
47 2002 earlier, but 2003, I guess, was the proper year, then  
48 perhaps it doesn't make as much difference, but if we  
49 thought the rates were going to be in effect eight more

50 years, then we might try to make certain adjustments, and  
51 Granite Canal may not be the only one. There may be  
52 others that I haven't mentioned, and haven't looked, you  
53 know, looked at, where we might pro forma the test year, so  
54 I don't think it's that uncommon to do something like that  
55 if you're trying to make rates for long term, a long number  
56 of future years that you might try to bring something into  
57 the test year that you know is going to happen, very  
58 recent, you know in the very near future.

59 MR. YOUNG: I don't have a real clear handle on what you  
60 are proposing, I wonder do you know of any other  
61 Canadian jurisdictions that use hydroelectric production  
62 information for test years which include increases that  
63 won't occur in that year?

64 MR. BROCKMAN: I haven't specifically looked at that, no.

65 MR. YOUNG: Some of your testimony relates to weather  
66 normalization used by Newfoundland Power, and I  
67 understand that they use 30 years of data in relation to  
68 that. How is that applicable to the issue of hydrology, and  
69 is there any connection at all?

70 MR. BROCKMAN: Well yes, I think weather creates  
71 hydrology. You know, hydraulic generation is caused from  
72 rainfall and snowfall and precipitation in general, so that it's  
73 clearly driven by the weather so I think, you know, insofar  
74 as we looked at Newfoundland Power's number of years  
75 they use for weather related things, or Environment Canada  
76 or somebody else, it clearly drives hydrology.

77 MR. YOUNG: But the purpose for which Newfoundland  
78 Power uses weather normalization is quite different, would  
79 you agree than what we're using hydrology for in this  
80 case?

81 MR. BROCKMAN: Well, it's different, yes.

82 MR. YOUNG: So the Board having approved that that's in  
83 fact exactly what's occurred, the 30 year weather  
84 normalization record which may, in fact, be all they could  
85 get, all that Newfoundland Power could get, are you  
86 suggesting that it should be some sort of constraint on  
87 Hydro, since all Newfoundland Power uses for their  
88 normalization ...

89 MR. BROCKMAN: No, I'm not suggesting it be a  
90 constraint on Hydro, I'm just suggesting that where we're,  
91 what we're trying to do in the test year is decide what we  
92 think the expected hydraulic generation is going to be, and  
93 in order to do that we, I think it's useful to look at other  
94 places where we try to predict what we think long-run  
95 weather is going to be, and that's just one of the places  
96 where there, that we look.

97 MR. YOUNG: Looking in other places for things you can  
98 use and can sometimes be useful, I'm wondering if you can

1 tell us which other Canadian electric utility uses a 30 year  
2 rolling average to forecast hydraulic production for rates or  
3 for any other purposes?

4 MR. BROCKMAN: I don't know that we found any that  
5 use a 30 year rolling average.

6 MR. YOUNG: You provided information in your most  
7 recent submission, written submission of evidence, as to  
8 the 35 year average as it is used by Newfoundland (*sic*),  
9 New Brunswick Power, pardon me. Do you understand  
10 that there was a particular reason that 35 years was picked.  
11 It strikes me as sort of an odd number.

12 MR. BROCKMAN: I don't know why they use 35, no. I  
13 mean I don't know how they picked that exact number as  
14 opposed to 30, or 25, or 45.

15 MR. YOUNG: So I can assume though it wasn't based on  
16 weather normalization or any other sort of issue, like the 35  
17 number doesn't match that, is that correct?

18 MR. BROCKMAN: I don't think it was based on weather  
19 normalization. I don't know why they picked 35.

20 MR. YOUNG: Okay, so you wouldn't know, for example, if  
21 that might have been the only, or the longest record that  
22 they had that was of useful information, that may or may  
23 not have been it, or ...

24 MR. BROCKMAN: It's possible. I mean, I doubt it, but I  
25 don't know for a fact.

26 MR. YOUNG: I'm just wondering if you knew that Hydro,  
27 when it used 50 years, if you thought that Hydro using 50  
28 years was using it because it was a 50 year period or for  
29 some other reason that related to its record? What's your  
30 understanding of that choice, of the 50 year hydraulic  
31 record that Hydro uses?

32 MR. BROCKMAN: I'm not really sure I understand your  
33 question.

34 MY. YOUNG: Well, are you aware that the hydraulic record  
35 that it turns out that Hydro is using now is about 50 years?

36 MR. BROCKMAN: Yes.

37 MR. YOUNG: Did you understand that to be because  
38 we've chosen 50 years of the record or is that the full  
39 hydraulic record, or what's your understanding of it?

40 MR. BROCKMAN: My understanding is is that some of  
41 your records go, I think I saw some that go back into the  
42 twenties, which would be about 80 years I suppose, and  
43 some don't go quite back that far, so you know, I don't  
44 know why you cut it off at 50, I suppose there were  
45 reasons, but I don't really remember what the reason was.  
46 If even known why you cut it off at 50, I don't remember  
47 what it was.

48 MR. YOUNG: Okay. If I was to suggest to you that it was  
49 done because that's the period of time for which Bay  
50 d'Espoir has reliable records, would that match your  
51 understanding of that?

52 MR. BROCKMAN: That sounds like it, it sounds familiar.

53 MR. YOUNG: I suggest to you if you come back later it's  
54 going to be a longer period. It's going to go back to that  
55 date.

56 MR. BROCKMAN: Yes, if that's what it's tied to then it will  
57 certainly get longer as we go out in time.

58 MR. YOUNG: I wonder if I could ask Mr. O'Rielly to go to  
59 page 2 of your **first supplementary evidence**, please. Just  
60 go down the page a little bit please.

61 MR. BROCKMAN: Did you want page 2, I'm sorry, or page  
62 ...

63 MR. YOUNG: That's fine there, yeah.

64 MR. BROCKMAN: Okay, yeah.

65 MR. YOUNG: Would you start reading the first few  
66 sentences there on line 19, please.

67 MR. BROCKMAN: It says, "I recommend that the Board  
68 use the 30 year moving average. A 30 year period is long  
69 enough to minimize volatility in the average, but recent  
70 enough to reflect changes in inflow patterns".

71 MR. YOUNG: Okay, that's fine for the purposes of my  
72 question. Later in the next supplementary, you've  
73 discussed setting a median as a possibility. I'm just trying  
74 to get some sense of what timeframe you'd use for a  
75 median. If you're going to use median, would it be the full  
76 record or would it still be 30 years?

77 MR. BROCKMAN: I would still use 30 years.

78 MR. YOUNG: So let's say, I'm just wondering if you can  
79 respond to what other jurisdictions might do when they  
80 use median. Would they use a rolling period or would they  
81 use the longest available amount of data? Can you  
82 suggest any that use a short period of time, like 30 years  
83 and still use a median?

84 MR. BROCKMAN: I don't recall how those two tied  
85 together off the top of my head. I might have to get back  
86 with you on a response to that.

87 MR. YOUNG: Okay. If I was going to suggest to you,  
88 generally speaking, that median is a better tool to use when  
89 you have a larger data set, would that be a generally correct  
90 statement?

91 MR. BROCKMAN: I don't know that it's tied to the size of  
92 your data set, the median is simply a number if that you, if  
93 you want to be right half the time and wrong half the time,

1 you pick. I don't know, that would be true whether you  
2 had, you know, 100 years or probably 60 years. Obviously  
3 the more years you have the more things are smoothed out.  
4 So, you know, if you roll the dice 100 times you're probably  
5 going to get closer to 50/50 than if you only roll them three  
6 times.

7 MR. YOUNG: Have you considered how useful the  
8 methods that you've proposed would have been in  
9 forecasting the 2001 hydrology. Have you looked at that  
10 issue? I wonder if I can refer you in answer to this  
11 question to undertaking, or **U-Hydro No. 17**, please, page  
12 2. Perhaps I got the wrong page reference. Could you  
13 scroll down to the table please. There we go. No, I don't  
14 believe that's the table I was looking for. Just bear with me  
15 for a second. I'm using the hard copy.

16 MR. BROCKMAN: I think it is the table, I may be wrong,  
17 but ...

18 MR. YOUNG: If you could just bear with me for a second,  
19 I'll make ... I haven't been using the electronic copy for this  
20 purpose.

21 MR. BROCKMAN: Right. I think I could have answered  
22 your question from that table.

23 MR. YOUNG: Perhaps we can go back to the table if you  
24 think you can answer the question. There we go. Yeah,  
25 the numbers at the bottom of the page, I'm sorry at the  
26 bottom of that table, I think you would agree with me that  
27 they are fairly significantly under what you'd expect as an  
28 average, or a median that you've chosen from the 30 years,  
29 do you agree ... and your number is lower still than is the  
30 case?

31 MR. BROCKMAN: Well, the full average is certainly  
32 higher than the number that the 30 year average gives us in  
33 this particular year. We aren't finished with the year yet,  
34 but, yeah, the 30, the full historic average gives us a higher  
35 number in that year.

36 MR. YOUNG: Because we have ten months of actuals here  
37 though, correct?

38 MR. BROCKMAN: Right.

39 MR. YOUNG: And then for November and December we've  
40 used either method and what we've come up with though  
41 are numbers which are relatively low, so just looking at this  
42 one I think you'd have to agree that the full average would  
43 provide a more accurate or at least a number which is more  
44 like you'd expect to see for test year purpose.

45 *(3:30 p.m.)*

46 MR. BROCKMAN: I'm looking for the projection and I  
47 don't see it on this table of the actual, so that I can compare  
48 those last two numbers, you know the 3,540 is what the 30

49 year average would give me and 3,573 is what the full  
50 average would give me but I don't know what the projected  
51 actual is so it's a little hard to answer from just this table.

52 MR. YOUNG: My understanding of the table, and perhaps  
53 you can ...

54 MR. BROCKMAN: Maybe I mis-spoke that is the table I  
55 could use to answer your question.

56 MR. YOUNG: Yeah, no, that table, it looks a little different  
57 on the screen, and I looked in my hard copy and I thought  
58 it might because I got scribbles on mine, but the middle two  
59 columns there say estimated inflows from November and  
60 December, so that shows what's happened in those months  
61 for those reservoirs, and on the right hand side it says  
62 estimated annual and I take it that the last two months have  
63 been done according to the two methods, one being the 30  
64 year average which has been proposed by you and the  
65 other being the full hydraulic average and if those two  
66 months, because obviously we don't have actuals, would  
67 show that this is our best guess based on those two  
68 methods, but in any event for the year 2001, I think you'd  
69 agree with me that we're looking at a fairly low number for  
70 hydrology.

71 MR. BROCKMAN: Oh yes, this shows a lower number.  
72 There's no question about that.

73 MR. YOUNG: And also that in a year of this sort, the full  
74 average would come closer to the sort of number you'd  
75 expect for a test year.

76 MR. BROCKMAN: Yeah, there are years even in the other  
77 table that's in here where I said the 20, whatever it was 16,  
78 or 13 out of the 22 years, that 30 was closer. There are  
79 certainly years where the full average is closer. Just not as  
80 many years. But this is one of the years where the full  
81 average appears to be closer.

82 MR. YOUNG: In your most recent evidence you made a  
83 point that Nova Scotia Power uses only 5 years of  
84 hydraulic data, for business planning and rate making  
85 purposes.

86 MR. BROCKMAN: That's right, according to their rate  
87 department.

88 MR. YOUNG: On the, you also indicate that the hydraulic  
89 generation in Nova Scotia is only about 8 percent total, is  
90 that correct?

91 MR. BROCKMAN: I don't remember the percentage. That  
92 sounds a little low, but it might be right.

93 MR. YOUNG: Okay, well ...

94 MR. BROCKMAN: Subject to check.

95 MR. YOUNG: Perhaps we can do that, because I want to

1 make sure we're right on that one. I'm not sure of the page  
2 references offhand, but I could find the page. Page 3, thank  
3 you.

4 MR. BROCKMAN: That looks like it's right. Eight percent  
5 on that page.

6 MR. YOUNG: Yeah, now simple math tells me that if they're  
7 off by 20 percent, just say they're under by 20 percent,  
8 you're looking at two percent on total, so if you were  
9 looking at a, if you were a utility planner I understand your  
10 point you're making about it not being stabilized, but if  
11 you're a utility planner looking at realistically a swing of  
12 two percent, I mean would that cause you to have a  
13 rigorous and highly analytical look at your reservoirs or  
14 would you basically just use numbers that are going to get  
15 close. Does it matter as much?

16 MR. BROCKMAN: Well it certainly doesn't matter as much  
17 but as a planner and rate maker I want to get as close as I  
18 can. It doesn't cost me anything extra to use a 30 year  
19 average, or a 30 year rolling average versus full historic, so  
20 I would use the best number I could get my hands on. I  
21 wouldn't just say it's two percent so I'm not going to worry  
22 about it.

23 MY. YOUNG: I note on that same page, in line 15, it says,  
24 I'll just read this out. It says, "the evidence stated", this is  
25 from New Brunswick Power '93 report from the Public  
26 Utilities Commission, "it says the evidence stated that the  
27 average water conditions were determined on the basis of  
28 a 35 year historical period", a computation which is  
29 reviewed periodically, so it looks like in New Brunswick  
30 they use 35 years and I think the record is unclear here as  
31 to why it's 35 years, but it looks pretty clear that it not a  
32 median that they use, it's an average, correct?

33 MR. BROCKMAN: Yes, it's a simple mean, which is the  
34 average in common terms.

35 MR. YOUNG: I'm just wondering, on the following page,  
36 page 4, you've indicated that when you looked at the  
37 information you couldn't see a Canadian standard for any  
38 particular number of years. I put it to you that, aside from  
39 Nova Scotia Power, and I don't know about New Brunswick  
40 Power, I think the evidence here is unclear about that, but  
41 are you aware of any other Canadian utility that relies  
42 heavily on hydraulic generation. How would you make that  
43 determination as to what that means, because I never  
44 realized that's been a matter of some debate, but can you  
45 confirm that there are any other Canadian utilities that rely  
46 heavily on hydraulic generation that use some number of  
47 years for determining what they ought to use for a test  
48 year, and different from their full reliable record?

49 MR. BROCKMAN: I don't know that I know the answer to  
50 that from the evidence that's in this record. It appears to

51 me to be somewhat inconclusive. You know, there seems  
52 to be a lot of different years used. I don't think that some  
53 of the evidence that we got back, either from your survey  
54 or from some of the calling we did, gave me enough  
55 confidence to believe that I know what they all do in rate  
56 making. With respect to planning I think it's a slightly a  
57 different question. I think Mr. Henderson, you know,  
58 specifically asked that question and but I don't know that  
59 I believe I know, I don't think there is a Canadian standard  
60 that I was able to discern from the records in all of those  
61 other utilities. That's just my take on the survey.

62 MR. YOUNG: That's all my questions. Thank you.

63 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.  
64 Young. Thank you very much, Mr. Brockman. We'll move  
65 now to industrial customers. Welcome back, Ms. Henley  
66 Andrews.

67 MS. HENLEY ANDREWS, Q.C.: Thank you, Mr. Chairman.

68 MR. NOSEWORTHY, CHAIRMAN: You look like you're in  
69 the batter's box on this one, are you?

70 MS. HENLEY ANDREWS, Q.C.: Apparently so.

71 MR. NOSEWORTHY, CHAIRMAN: If you could proceed.

72 MS. HENLEY ANDREWS, Q.C.: Mr. Brockman, earlier this  
73 afternoon Mr. Young asked you some questions about  
74 assignment, and in particular he asked you questions on  
75 assignment with respect to the Great Northern Peninsula,  
76 and first of all, I'd like to go back to Mr. Budgell's testimony  
77 at pages 16 and 17. That's it right there. I can see that  
78 Newfoundland Hydro has defined common plant as plant  
79 that is of substantial benefit to two or more firm customers.

80 (3:45 p.m.)

81 MR. BROCKMAN: Correct.

82 MS. HENLEY ANDREWS, Q.C.: And you would agree that  
83 that is the standard definition of common plant. The  
84 generally accepted ...

85 MR. BROCKMAN: I think it's generally accepted as well as  
86 I believe it's the standard that the Board established in their  
87 generic cost of service proceeding.

88 MS. HENLEY ANDREWS, Q.C.: Have you reviewed the  
89 rules that start at line 26 on page 16 and go over onto page  
90 17 to see to what extent the rules currently proposed by  
91 Hydro match the rules that were proposed at the time of the  
92 cost of service methodology hearing in 1992?

93 MR. BROCKMAN: I don't know if we can scroll down to,  
94 I'll have to look at the rules. I don't remember what's on  
95 lines 26, or what line did you say they started?

96 MS. HENLEY ANDREWS, Q.C.: Starting there on line 26  
97 on page 16 and going over to the end of sub-paragraph (d)

1 on page 17. Take your time to read through them.

2 MR. BROCKMAN: Is there more below line 10? Can you  
3 scroll down just a little bit more, thank you. Okay, I think  
4 I agree with those in generally accepted the terms.

5 MS. HENLEY ANDREWS, Q.C.: My question was not  
6 whether you agreed with them but whether you have  
7 compared these which are ones proposed now to those  
8 which were proposed at the time of the cost of service  
9 methodology hearing?

10 MR. BROCKMAN: I don't know that I recall specifically  
11 going through these two pages saying let me check all of  
12 these against the Board's cost of service, you know, order  
13 in that proceeding, but I did in general try to make sure that  
14 Hydro did what the order said in terms of if the facilities  
15 were of substantial benefit to more than one customer class  
16 they were common, and if not they were assigned a  
17 specific. I think that's what all of these really go to. There  
18 are some more details in here but than that.

19 MS. HENLEY ANDREWS, Q.C.: Would you agree that  
20 based upon the definition of common plant, which has  
21 been accepted by the Board, the issue for the Board is  
22 whether any individual plant is of substantial benefit to two  
23 or more customers?

24 MR. BROCKMAN: I think that's the overriding principle  
25 that the Board has tried to establish, yes.

26 MS. HENLEY ANDREWS, Q.C.: Mr. Young asked you  
27 some questions with respect to both the Great Northern  
28 Peninsula production plant and the Great Northern  
29 Peninsula transmission plant, and you indicated that you  
30 agreed that they should be treated as common. Is that  
31 correct?

32 MR. BROCKMAN: Yes.

33 MS. HENLEY ANDREWS, Q.C.: And that is contrary to  
34 your recommendation to the Board at the time of the  
35 isolated rate hearing?

36 MR. BROCKMAN: I don't think it's contrary, I think certain  
37 things have changed since that time, i.e., there's been some  
38 upgrade of the transmission system, changing the character  
39 of how those facilities can be used as well as we have  
40 additional evidence from, in this record, about whether or  
41 not those facilities are of substantial benefit. I think it's in  
42 line with the principles we established in that particular  
43 case, but I think the specifics may have changed.

44 MS. HENLEY ANDREWS, Q.C.: Mr. Brockman, perhaps  
45 you could be shown the answer to **CA No. 2**, and I believe  
46 that's actually available, which is the 1995 Report of the  
47 Board, and go to page 42, and the page numbers, I  
48 recognize, are going to be a little bit different. Keep going,  
49 actually you should go backwards a little bit, back a little

50 further. Just one second. Now you need to go forward a  
51 little bit. The paragraph is "The Board believes". Keep  
52 going. I know, go back again. It's hard to, one more and  
53 one more paragraph. Here it is. It's the bottom of page 39  
54 on the screen. You will see that the discussion relates, in  
55 fact, to the results of the 1995 methodology report and the  
56 Board said it is noted that more than one customer will be  
57 served by the transmission line to the Great Northern  
58 Peninsula. Newfoundland and Labrador Hydro argues that  
59 the interconnection is of benefit in three ways. It provides  
60 additional generation reliability to all customers, now that  
61 is Hydro's position here, correct?

62 MR. BROCKMAN: Correct.

63 MS. HENLEY ANDREWS, Q.C.: The plant provides  
64 emergency backup and energy to the Great Northern  
65 Peninsula area, so that is the same as Hydro's position  
66 here?

67 MR. BROCKMAN: I think Hydro's position here is that it's  
68 a little more than number 2 at this point, they feel like that  
69 there's, and again I didn't really testify to this issue, but ...  
70 or at least I didn't in my pre-filed, but that they feel like  
71 there's more benefit than just the customers on the Great  
72 Northern Peninsula at this time.

73 MS. HENLEY ANDREWS, Q.C.: Yes, but if you look at  
74 item one, it says it provides additional generation reliability  
75 to all customers.

76 MR. BROCKMAN: Yes.

77 MS. HENLEY ANDREWS, Q.C.: And item two deals with  
78 the Great Northern Peninsula and item three says the  
79 capacity of the plant defers future peaking capacity  
80 additions, so presumably Hydro was arguing at that time as  
81 well that item three related to all of the customers, do you  
82 agree, because future peaking capacity additions would be  
83 for the benefit of all the customers?

84 MR. BROCKMAN: I don't remember what exactly Hydro  
85 was arguing with respect to the details of all of that, but  
86 that sounds like it's reasonable.

87 MS. HENLEY ANDREWS, Q.C.: And you can see the next  
88 sentence, the Board said therefore, this is summarizing  
89 Hydro's position, the generation assets will benefit all  
90 customers and should be treated as common, Mr. Brockman  
91 contends otherwise, stating Newfoundland Power's  
92 requirements did not cause the St. Anthony/Roddickton  
93 system to be interconnected nor do Newfoundland Power's  
94 customers receive any benefit from the interconnection. So  
95 your argument at the time was that it should be specifically  
96 assigned?

97 MR. BROCKMAN: That's correct, at that time but as I say  
98 there have been some changes since that time to the

1 system.

2 MS. HENLEY ANDREWS, Q.C.: What changes have they  
3 been?

4 MR. BROCKMAN: I believe there have been some  
5 transmission upgrades.

6 MS. HENLEY ANDREWS, Q.C.: In what respect?

7 MR. BROCKMAN: I don't know where, I don't recall the  
8 exact details of those but I believe that's my understanding.

9 MS. HENLEY ANDREWS, Q.C.: Are you, or have you  
10 forgotten that at the time of the hearing in 1995, the Great  
11 Northern Peninsula interconnection had not yet been  
12 done?

13 MR. BROCKMAN: I don't remember a whole lot about 1992  
14 to tell you the truth, but it's possible that I've forgotten  
15 that. I don't know the answer to your question.

16 MS. HENLEY ANDREWS, Q.C.: If you look at the next  
17 paragraph which says the basis for assigning the  
18 generation plant and transmission assets in the Great  
19 Northern Peninsula interconnection is whether the assets  
20 are serving more than one customer. If the answer is that  
21 they serve only the rural classes on the Great Northern  
22 Peninsula, then they should be specifically assigned, this  
23 is the opinion of Mr. Brockman and the industrial  
24 customers. However, if the assets jointly serve the  
25 common grid, then they are considered to be common and  
26 thereby generation plant is properly assigned as common.  
27 Would you agree with me that that summary does not  
28 reflect the definition of common plant which has been  
29 accepted by the Board which is that it's not a question of  
30 whether it benefits more than one customer, but whether it  
31 substantially benefits more than one customer?

32 MR. BROCKMAN: I think it does, I think it substantially  
33 is part of the requirement.

34 MS. HENLEY ANDREWS, Q.C.: Mr. Brockman, you've  
35 indicated in your testimony that at previous other hearings  
36 before this Board you have also proposed a demand  
37 energy rate for Newfoundland Power, is that correct?

38 MR. BROCKMAN: That's correct.

39 MS. HENLEY ANDREWS, Q.C.: But at this hearing you are  
40 proposing that a demand energy rate is not appropriate?

41 MR. BROCKMAN: That's correct.

42 MS. HENLEY ANDREWS, Q.C.: And can you indicate for  
43 me what has changed since 1992, that would change your  
44 opinion?

45 MR. BROCKMAN: Well, as I indicated in my summary, I  
46 guess, and my evidence, after Newfoundland Power and  
47 Hydro began to discuss the issue amongst themselves the  
48 issue of revenue volatility came up and it troubled the  
49 financial planners, at least in Newfoundland Power, and I  
50 think as well in Hydro, that there was going to be extra  
51 volatility if we came up with a demand charge. So because  
52 of that reared its head that gave us pause as to whether or  
53 not this was something we really wanted to do. The other  
54 thing has changed, as I indicated, is that we haven't had an  
55 awful lot of load, demand growth in, from Newfoundland  
56 Power anyway, in the last ten years, in fact I think it's  
57 decreased, and so the reason for having a demand rate  
58 which is to try to some extent reflect the cost of demand,  
59 and perhaps control demand, doesn't seem to be quite as  
60 important as well as the fact that at the time we really  
61 wanted to have it, it looked like we needed it in order to be  
62 able to do a lot of demand side management and that issue  
63 has become less important than it was at the time. So those  
64 are the reasons that we've moderated our position on that.

65 MS. HENLEY ANDREWS, Q.C.: Mr. Brockman, you are  
66 aware that Hydro is currently undertaking the construction  
67 of new hydroelectric facilities to come on stream in 2003 in  
68 order to meet increases in demand on its system?

69 MR. BROCKMAN: Yes.

70 MS. HENLEY ANDREWS, Q.C.: And are you aware that  
71 Hydro is planning additional increases to its system for  
72 2007 in order to meet projected increased demand?

73 MR. BROCKMAN: I know that they're planning on adding  
74 generation to the system, yes.

75 MS. HENLEY ANDREWS, Q.C.: Okay, and are you aware  
76 whether that, that Hydro is in fact predicting a 20 percent  
77 growth in demand over the next ten years?

78 MR. BROCKMAN: That's subject to check. I would accept  
79 that, I don't think it's because of Newfoundland Power's  
80 necessarily load growth, but ...

81 MS. HENLEY ANDREWS, Q.C.: Would you agree that  
82 regardless if whether Newfoundland Power's load grows,  
83 that anything that any of the customers do to keep the load  
84 stable on the system benefits all of the other customers in  
85 terms of potentially deferring capital cost?

86 MR. BROCKMAN: By stable, you mean no growth?

87 MS. HENLEY ANDREWS, Q.C.: No, what I'm saying is that  
88 if Newfoundland Power initiates a demand side  
89 management initiative which reduces its demand below  
90 what it is today, then not only will it benefit, but all the  
91 customers and the system will benefit from the deferral, the  
92 potential deferral of capital costs?

93 MR. BROCKMAN: If that demand side management  
94 program is cost effective, I think that's true in general.

95 MS. HENLEY ANDREWS, Q.C.: So that the, while you're

1 correct that Newfoundland Power is not currently looking  
2 at, or is not projecting any great increase in its demand in  
3 the short term, that Newfoundland Power's control of a  
4 reduction of its demand can still have benefits for the  
5 system as a whole?

6 MR. BROCKMAN: Well again, I think, that those benefits  
7 would have to be weighed against the revenue volatility  
8 that they're worried about, as well as what does it do to the  
9 energy consumption, as I testified earlier, if we reduce, if we  
10 put in a demand charge and don't appropriately, and reduce  
11 the energy charge and don't do that appropriately we may  
12 create a different problem. We may find out we need base  
13 load plant because our energy is growing more than it  
14 would have otherwise. So I think you have to weigh all of  
15 those factors. It's not a simple question.

16 MS. HENLEY ANDREWS, Q.C.: Mr. Brockman, I'd like you  
17 to take a look at the evidence which, the pre-filed evidence  
18 which you submitted in, at the 1990 rate hearing.

19 MR. KENNEDY: This would be IC No. 7, Chair.

20 **EXHIBIT IC-7 ENTERED**

21 MS. HENLEY ANDREWS, Q.C.: Mr. Brockman, at time of  
22 the 1990 hearing, you can see at the bottom of page 13 that  
23 you were asked if you have any concerns about the rate  
24 structure proposed by Hydro in the proceeding, and you  
25 answered, yes, that Hydro proposes to continue its  
26 practice of serving industrial customers with a rate  
27 containing both a demand and an energy component, while  
28 offering an energy charge only rate to NLP and you say  
29 that this is done in spite of the fact that the cost of service  
30 study contains sufficient information to provide a demand  
31 and energy rate structure to NLP. Could you read the  
32 paragraph at lines 5 through 10.

33 MR. BROCKMAN: As I previously touched upon and is  
34 a well known principle of good rate making practice, the  
35 costs imposed on an electric system are primarily functions  
36 of three variables, number of customers, energy taken,  
37 kilowatt hours, and the demand kilowatts imposed on the  
38 system is also widely accepted practice consistent with the  
39 principle of ensuring rates reflect cost to therefore signal  
40 these three costs separately in customer energy and  
41 demand charges where it is practical to do so.

42 MS. HENLEY ANDREWS, Q.C.: Would you agree that it  
43 is still a widely accepted practice to signal these costs in  
44 separately in customer energy and demand charges where  
45 it is practical to do so?

46 MR. BROCKMAN: Yes.

47 MS. HENLEY ANDREWS, Q.C.: And you say at lines 12  
48 through 15, that Newfoundland Power can impose any sort  
49 of load pattern on Hydro and so long as the total energy

50 use is the same under the various load patterns, the price  
51 NLP pays Hydro is the same until Hydro has a rate referral  
52 to propose a rate change, and in the next paragraph you  
53 indicate that this is an indication of a lack of proper rate  
54 design?

55 MR. BROCKMAN: Yes, in the context as I'm using it.

56 MS. HENLEY ANDREWS, Q.C.: So when you said in 1990  
57 that with an energy only rate there are no immediate  
58 savings to NLP and its customers for reducing its demand  
59 on the hydro system, that is equally true today, correct?

60 MR. BROCKMAN: No immediate savings. It would be as  
61 it says here through the cost of service study when you  
62 have a rate case.

63 MS. HENLEY ANDREWS, Q.C.: And at the time you said  
64 that, because Newfoundland Power applies demand  
65 charges to its large customers to control their demands, it  
66 would actually lose money if the customers responded  
67 properly?

68 MR. BROCKMAN: That's correct.

69 MS. HENLEY ANDREWS, Q.C.: And that's equally true  
70 today?

71 MR. BROCKMAN: That's correct.

72 MS. HENLEY ANDREWS, Q.C.: And then you indicated  
73 that another thing that the Board should consider is the  
74 effect of the hydro energy only rate on Newfoundland  
75 Power rates, which forces Newfoundland Power to have  
76 energy rates that are too high and demand rates that are too  
77 low, that is also true today, correct?

78 MR. BROCKMAN: I'm not sure it's true today. The forces  
79 may have been a little strong, even when I filed this  
80 evidence. It certainly, there's a tendency there for  
81 Newfoundland Power, an economic tendency for them to  
82 want to have higher energy rates because of the way,  
83 nothing forces them to do anything, I suppose. But, yeah,  
84 I still agree with the symptom. If you can caveat the forces  
85 a little bit.

86 MS. HENLEY ANDREWS, Q.C.: Okay, and the next  
87 sentence which says that "if Newfoundland Power is to  
88 achieve proper matching between the distinct cost  
89 causation effect of demand and energy the Board should  
90 recommend that Hydro develop a rate structure that  
91 includes these important components", you would agree  
92 that that is still true?

93 MR. BROCKMAN: Yes, and I think the Board did that, at  
94 least asked them to develop one.

95 (4:00 p.m.)

96 MS. HENLEY ANDREWS, Q.C.: Now at the time of the

1 1990 rate hearing you were also asked to deal with issues of  
2 rate design and ratcheting. Do you recall that?

3 MR. BROCKMAN: I don't recall it, but I wouldn't be  
4 surprised.

5 MS. HENLEY ANDREWS, Q.C.: In 1992, do you recall that,  
6 or would you disagree with me if I suggested to you that as  
7 a result of the 1990 hearing the Board recommended that  
8 Newfoundland Power and Newfoundland Hydro develop  
9 a proposal for a new rate structure for Newfoundland  
10 Power?

11 MR. BROCKMAN: I do recall. I don't recall the exact  
12 wording of the order that the Board issued on that, but I do  
13 recall that there was some sort of order that asked  
14 Newfoundland Power and Hydro to get together and come  
15 up with some sort of mutually acceptable form of demand  
16 energy rate.

17 MS. HENLEY ANDREWS, Q.C.: And that has not been  
18 accomplished, correct?

19 MR. BROCKMAN: Well they did get together.

20 MS. HENLEY ANDREWS, Q.C.: But they didn't come up  
21 with a mutually acceptable form?

22 MR. BROCKMAN: They did not come up with a mutually  
23 acceptable rate.

24 MS. HENLEY ANDREWS, Q.C.: I'd like you to take a look  
25 at your testimony from the 1992 rate hearing.

26 MR. KENNEDY: IC-8, Chair.

27 **EXHIBIT IC-8 ENTERED**

28 MS. HENLEY ANDREWS, Q.C.: Mr. Brockman, when you  
29 look at the bottom of page 21, the question that's posed is  
30 "Do you agree with Hydro's proposal to adopt a three part  
31 Newfoundland Power rate, with the energy charges set at  
32 marginal energy costs and the demand charge calculated as  
33 a residual?" Could you read your answer?

34 MR. BROCKMAN: It says "In concept I do. The details  
35 may need some fine tuning, however. I think the proposed  
36 rate gives the movement to a demand energy rate that NP  
37 argued was important in the last Hydro referral. In addition  
38 energy is given a high weight in this rate design. It should  
39 enable NP to get a good balance of peak shaving and  
40 conservation oriented DSM programs".

41 MS. HENLEY ANDREWS, Q.C.: So you would agree that  
42 your position at the time of the 1992 rate hearing was that  
43 there should be a three part NP rate?

44 MR. BROCKMAN: Yes.

45 MS. HENLEY ANDREWS, Q.C.: And that at that time you  
46 were satisfied that Hydro's proposal for energy charges set

47 at marginal energy costs and demand charge calculated as  
48 a residual was generally acceptable, With some fine  
49 tuning?

50 MR. BROCKMAN: With some fine tuning, it says I was  
51 satisfied.

52 MS. HENLEY ANDREWS, Q.C.: I'd like you to refer to  
53 page 25 of that evidence. In particular starting at line 13,  
54 and I take it from the evidence at the time that Hydro had  
55 proposed a 12 month ratchet and that you can see from  
56 your answer that you preferred a non-ratcheted demand  
57 charge. First of all, can you explain what a 12 month ratchet  
58 is?

59 MR. BROCKMAN: Sure. A 12 month, a demand ratchet in  
60 general, especially a 12 month, as you've asked is a rate  
61 form whereby if a customer sets a certain demand, we're  
62 talking about demand now, you know not energy, but  
63 demand, if they set a certain demand of say 50 kilowatts in  
64 some month and that's the highest demand that they ever  
65 set during the year, then they're charged some percentage  
66 of that demand for the entire year and that's call a 12 month  
67 demand ratchet. Sometimes it's 100 percent of that demand,  
68 sometimes it's 80 percent, it depends on the rate design.

69 MS. HENLEY ANDREWS, Q.C.: Now in the case of the  
70 industrial customers, are you aware that their demand  
71 charge is based upon their amount of power on order and  
72 that it is based upon their maximum amount of power on  
73 order throughout the entire 12 months?

74 MR. BROCKMAN: I'm not sure what you mean by the term  
75 "on order".

76 MS. HENLEY ANDREWS, Q.C.: Well my understanding is  
77 that the industrial customers advise Hydro by October 1st  
78 of each year what their expected maximum demand is going  
79 to be for the following calendar year.

80 MR. BROCKMAN: So it's a contract demand essentially,  
81 maybe there's no contract.

82 MS. HENLEY ANDREWS, Q.C.: Exactly, and they pay for  
83 that demand throughout the entire 12 months, whether they  
84 use it or not.

85 MR. BROCKMAN: Okay.

86 MS. HENLEY ANDREWS, Q.C.: What is the difference  
87 between that and the 12 month ratchet that you've just  
88 discussed?

89 MR. BROCKMAN: Well the difference is that would be a  
90 contract, if you will, contracted 12 month ratchet whereas  
91 opposed to where you're actually measuring the demand  
92 and then ratcheting it. You don't set a contract for it. It's  
93 whatever it is, and even in the sense of where there's  
94 contracted demand, I don't know what happens if the

1 industrials go over that amount. I assume they have to  
2 pay.

3 MS. HENLEY ANDREWS, Q.C.: That's right.

4 MR. BROCKMAN: So one's contracted for, one's actually  
5 measured at a meter.

6 MS. HENLEY ANDREWS, Q.C.: Now in this particular  
7 evidence which you had filed in 1992, you were objecting  
8 to the demand ratchet saying it caused a mismatch between  
9 the revenues Newfoundland Power receives from its  
10 demand metered customers who were not on ratchets and  
11 the revenues they would have to forward to Hydro each  
12 month.

13 MR. BROCKMAN: That's correct, if there were a demand  
14 charge, a non-ratcheted demand charge to Newfoundland  
15 Power.

16 MS. HENLEY ANDREWS, Q.C.: And if their demand  
17 metered customers were not on ratchets.

18 MR. BROCKMAN: Right.

19 MS. HENLEY ANDREWS, Q.C.: One of the things that it  
20 appears that you were recommending if you look at page 26  
21 is to move away from the 12 month ratchet to monthly  
22 demands?

23 MR. BROCKMAN: Yes.

24 MS. HENLEY ANDREWS, Q.C.: Without any floor on  
25 demand billing. Am I correct that the result of that would  
26 be to smooth out the volatility for Newfoundland Power in  
27 terms of revenue?

28 MR. BROCKMAN: Well, it wouldn't smooth out revenue,  
29 it would smooth out costs.

30 MS. HENLEY ANDREWS, Q.C.: Yeah, costs, okay.

31 MR. BROCKMAN: Actually, it wouldn't ... you say if you  
32 remove the floor then it wouldn't smooth anything, you  
33 know, it would be what it was, whatever it was in every  
34 month would be what the bill was.

35 MS. HENLEY ANDREWS, Q.C.: But then Hydro would be  
36 taking more of the risk.

37 MR. BROCKMAN: Right.

38 MS. HENLEY ANDREWS, Q.C.: So that what you  
39 recommended at the time would be something that would  
40 decrease the risk for Newfoundland Power but increase the  
41 risk for Hydro from a revenue volatility perspective.

42 MR. BROCKMAN: Insofar as it wasn't recovered through  
43 the RSP.

44 MS. HENLEY ANDREWS, Q.C.: And am I correct that the  
45 only explanation that you have for the change in your

46 opinion today compared to the evidence that you gave at  
47 both the 1990 and 1992 rate hearings is related to whether  
48 or not Newfoundland Power forecasts increases in demand.

49 MR. BROCKMAN: No, it's two things. It's that plus the  
50 volatility that they would see under the current ... it really  
51 depends on the question of whether if they were to put in  
52 a demand charge would we modify the RSP. If we didn't  
53 modify the RSP then Newfoundland Power would also see  
54 more volatility, so it's those two things. It's the lack of  
55 demand growth for NP plus the extra volatility in NP's  
56 earnings.

57 MS. HENLEY ANDREWS, Q.C.: But you would agree with  
58 me and I think you did just a few moments ago, that the  
59 issue of revenue volatility can be dealt with to one degree  
60 or another in terms of the design.

61 MR. BROCKMAN: If we change something else then I  
62 think you're right, that it could be dealt with. If we change  
63 the RSP or change the way things are working in the RSP,  
64 then yes, we can deal with the revenue volatility.

65 MS. HENLEY ANDREWS, Q.C.: And clearly from your  
66 evidence at the time of the 1992 rate hearing, the fact that  
67 the issue of ratchets was, or different forms of ratchets was  
68 being discussed is an indication that the issue of volatility  
69 was being dealt with, at least discussed at that time?

70 MR. BROCKMAN: Yes.

71 MS. HENLEY ANDREWS, Q.C.: Mr. Brockman, I presume  
72 that you are familiar with the Newfoundland Power  
73 generation credit?

74 MR. BROCKMAN: Yes, in general.

75 MS. HENLEY ANDREWS, Q.C.: Okay, and I presume that  
76 you are aware that Newfoundland Power gets a reduction  
77 in its billed peak and in the peak that's used for the purpose  
78 of CP factors and also for load factor for all of the  
79 generation which it makes available to Newfoundland  
80 Hydro to meet peak demands?

81 MR. BROCKMAN: Yes.

82 MS. HENLEY ANDREWS, Q.C.: Do you agree that that is  
83 something that is very difficult to isolate in looking at the  
84 cost of service studies?

85 MR. BROCKMAN: No, I don't think it's difficult. I mean  
86 the demand in the cost of service study is reduced by the  
87 amount of generation that Newfoundland Power makes  
88 available, and that's not difficult to see.

89 MS. HENLEY ANDREWS, Q.C.: The dollar value of the  
90 credit is difficult to see looking at the current cost of  
91 service study, wouldn't you agree?

92 MR. BROCKMAN: Not necessarily. I believe the cost of

1 service study reports the, what we call the unit cost in cost  
2 of service study parlance which is the unit demand energy  
3 and customer related costs by class, so it's a simple matter  
4 to multiply that number times the amount of generation, so  
5 I mean it's not a recorded number right up there but it's not  
6 difficult to see either for someone who knows what they're  
7 looking for.

8 MS. HENLEY ANDREWS, Q.C.: That being the point, isn't  
9 it, whether somebody knows what they're looking for and  
10 knows how to go about making the calculations that you've  
11 just described?

12 MR. BROCKMAN: Well, I wouldn't recommend that any  
13 layperson do much poking around in a cost of service  
14 study anyway, but ... because they may not know what  
15 they're looking at, but I don't think it's hidden in any way,  
16 if that's the implication.

17 MS. HENLEY ANDREWS, Q.C.: And nor is it readily  
18 available?

19 MR. BROCKMAN: No, I think it is readily available to an  
20 expert.

21 MS. HENLEY ANDREWS, Q.C.: In order to determine what  
22 the amount is, don't you have to re-run the study using the  
23 other, using the actual demand numbers?

24 MR. BROCKMAN: In order to ... I'm trying to think  
25 whether there might be some secondary effects that  
26 wouldn't be picked up by just multiplying that unit demand  
27 cost by the amount of generation. It's possible there are  
28 some minor, and I don't know how minor they are, but I ...

29 MS. HENLEY ANDREWS, Q.C.: It also affects  
30 transmission demand costs, wouldn't you agree?

31 MR. BROCKMAN: Yes, I mean but I ... you can get close,  
32 whether you get it exactly because of all, you know, other  
33 little things, you may be right, there may not be a way to  
34 get it exactly without re-running it.

35 MS. HENLEY ANDREWS, Q.C.: And would you agree that  
36 taking a generation credit approach where the amount of  
37 the available peaking capacity is deducted from  
38 Newfoundland Power's actual peak, whether or not it's  
39 used, means that Newfoundland Power gets the full benefit  
40 of the generation credit, of the generation which it has  
41 made available?

42 MR. BROCKMAN: Yes, I think they get the full benefit.

43 MS. HENLEY ANDREWS, Q.C.: I'd like you to take a look  
44 at **NP-133**, and I realize, Mr. Chairman, that it's on the  
45 screen, but it's easier for me to work from the hard copy on  
46 this one. And you can see from page 1 of 4 that question  
47 (a) is to provide the detailed calculations of the  
48 interruptible rate credit provided to participating

49 industrials?

50 MR. BROCKMAN: Yes.

51 MS. HENLEY ANDREWS, Q.C.: And if you look at page 2  
52 of 4, you can see at line 6 to 7 that converting the annual  
53 estimate to a monthly rate ...

54 MR. BROCKMAN: Yes.

55 MS. HENLEY ANDREWS, Q.C.: ... it would be 14.1 dollars  
56 per kilowatt?

57 MR. BROCKMAN: Correct.

58 MS. HENLEY ANDREWS, Q.C.: But that if you look down  
59 at lines 20 to 21, the demand credit that is actually offered  
60 is \$7.05 per kilowatt?

61 MR. BROCKMAN: Right, negotiated, some negotiated  
62 demand credit.

63 MS. HENLEY ANDREWS, Q.C.: Yeah, which is half of the  
64 value.

65 MR. BROCKMAN: It's half of the marginal cost value.

66 MS. HENLEY ANDREWS, Q.C.: So for its credit, the  
67 industrial customers are not getting the full value of the  
68 energy, of the demand that they are making available?

69 MR. BROCKMAN: Well, no, I don't think you can phrase  
70 it that way given the way you phrased your last question,  
71 because your last question was did Newfoundland Power  
72 get full credit for an embedded, from an embedded rate, and  
73 the answer was yes, but here we're talking about a marginal  
74 rate and they're not getting all of the marginal cost savings  
75 but then again, neither is Newfoundland Power. They're  
76 getting all of the embedded savings, so I think the two are  
77 apples and oranges.

78 MS. HENLEY ANDREWS, Q.C.: So you, and so you agree  
79 that the methodology for compensating Newfoundland  
80 Power is significantly different than the methodology  
81 utilized for compensating the industrial customers?

82 MR. BROCKMAN: Yes, one is based on an embedded cost  
83 of service study and the other one is based on a marginal  
84 cost of service study, plus a negotiation.

85 MS. HENLEY ANDREWS, Q.C.: Are you aware that at the  
86 time that the negotiation took place rates charged by  
87 Newfoundland and Labrador Hydro to the industrial  
88 customers were not regulated?

89 MR. BROCKMAN: I've never been completely sure of how  
90 the rates were set at that time because I wasn't privy to that,  
91 but I would accept that subject to check. I know they  
92 weren't regulated by this Board, or I don't believe they  
93 were.

94 MS. HENLEY ANDREWS, Q.C.: Mr. Chairman, that would

1 be a good place to break.

2 MR. NOSEWORTHY, CHAIRMAN: Okay, thank you, and  
3 we'll ... thank you, Ms. Henley Andrews. Thank you, Mr.  
4 Brockman. We'll break then for, until 9:30 tomorrow  
5 morning. Thank you.

6 *(hearing adjourned to December 4, 2001)*