

1 (9:30 a.m.)

2 MR. NOSEWORTHY, CHAIRMAN: Thank you, good
3 morning. Before we get started, counsel, are there any
4 preliminary matters this morning?

5 MR. KENNEDY: Yes, Chair. I believe that Newfoundland
6 Power is reporting on some undertakings.

7 MR. NOSEWORTHY, CHAIRMAN: Okay, thank you. Ms.
8 Greene. Good morning, Ms. Greene.

9 MS. GREENE, Q.C.: Good morning.

10 MR. ALTEEN: She's Hydro. (*laughter*)

11 MR. NOSEWORTHY, CHAIRMAN: I have you in my mind
12 this morning that ... I had her in my mind this morning, that
13 Newfoundland Hydro had some undertakings from
14 yesterday. That was my focus. I apologize.

15 MR. ALTEEN: No penalty, no (inaudible).

16 MR. NOSEWORTHY, CHAIRMAN: Mr. Alteen.

17 MR. ALTEEN: Mr. Chairman, two, I think it was two
18 Fridays ago when John Brown, who was a witness for
19 Newfoundland Power, was on the stand, he gave an
20 undertaking to Ms. Greene in relation to references in the
21 Board's 1995 report on rural service. He was relying upon
22 when he scoped the size of the rural deficit. The 1995
23 report is the response to RFI CA-2, I guess, and I've filed
24 Mr. Brown's response to Ms. Greene's undertaking with the
25 secretary today, and I guess all we really need to do is mark
26 it.

27 MR. KENNEDY: Yes. U-NP No. 1.

28 **EXHIBIT U-NP NO. 1 ENTERED IN EVIDENCE**

29 MR. ALTEEN: Thank you.

30 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.
31 Alteen. No other items, counsel?

32 MR. KENNEDY: No. I believe Hydro is going to be
33 reporting on undertakings potentially on the break, I
34 believe, this morning.

35 MS. GREENE, Q.C.: Yes, or depending on where we are
36 with cross-examination. Perhaps I'll be at re-direct.

37 MR. NOSEWORTHY, CHAIRMAN: Okay.

38 MS. GREENE, Q.C.: I'll do it then.

39 MR. NOSEWORTHY, CHAIRMAN: Thank you, Ms.
40 Greene. Good morning, Mr. Roberts. How are you?

41 MR. ROBERTS: Good morning.

42 MR. NOSEWORTHY, CHAIRMAN: Good morning, Mr.
43 Kennedy.

44 MR. KENNEDY: Good morning, Chair.

45 MR. NOSEWORTHY, CHAIRMAN: I wonder could you
46 proceed with your cross-examination of Mr. Roberts,
47 please?

48 MR. KENNEDY: Thank you, Chair, Commissioners. Good
49 morning, Mr. Roberts.

50 MR. ROBERTS: Good morning.

51 MR. KENNEDY: Mr. Roberts, at some point in your
52 testimony, I think yesterday, you, there were some
53 questions concerning the payment of the dividend in 2002.

54 MR. ROBERTS: Yes.

55 MR. KENNEDY: And if I was gathering correctly, I think it
56 was your testimony that the actual request, and you can
57 correct me if I'm wrong here, but the actual request made by
58 Government to Hydro for payment of dividends in 2002
59 was, and I think the number you stated was \$104 million.

60 MR. ROBERTS: I believe it's approximately \$104 million.

61 MR. KENNEDY: Okay. And then Hydro's procedure, if
62 you will, in making that payment of \$104 million, is to first
63 deduct from that \$104 million the, what's referred to as the
64 dividend and is actually the re-call sales of electricity.

65 MR. ROBERTS: That's correct. The flow through of the
66 net re-call revenue comes off the 104. Then the balance is
67 determined to be from Hydro.

68 MR. KENNEDY: So first of all is that step, is that
69 predetermined by Government or is that a decision of
70 Hydro corporate as to how the \$104 million first gets netted
71 down to a dividend?

72 MR. ROBERTS: Government set the total of what their
73 requirement was of 104, I think it's 104.5, and they were
74 advised that of that amount approximately, I think at that
75 point it may have been \$26 million, would be coming from
76 the re-call flow through and the balance will be coming from
77 accumulated retained earnings in Hydro.

78 MR. KENNEDY: Is there, as far as you're aware then, is
79 there some magic to the figure of \$104.5 million? It just
80 seems like an odd number. It's ... or is that determined
81 solely by Government then?

82 MR. ROBERTS: That's determined by Government and
83 they've provided us as to what they require from Hydro in
84 their fiscal year ending March 31st, 2002.

85 MR. KENNEDY: Okay. And then by convention, I guess,
86 the first thing to get paid is the re-call energy.

87 MR. ROBERTS: That's correct. The re-call, is 100 percent
88 pay-out of the net re-call revenue, and as I mentioned, that
89 amount will fluctuate depending on what the sales are in

1 Labrador to our Labrador interconnected customers.

2 MR. KENNEDY: And I believe some of the testimony was
3 that the re-call revenue net was a little bit higher than was
4 originally anticipated.

5 MR. ROBERTS: Yes, it was.

6 MR. KENNEDY: And so then correspondingly the net of
7 that calculation, being the dividend payment from Hydro,
8 dropped slightly.

9 MR. ROBERTS: That's correct.

10 MR. KENNEDY: I wonder if we could just have a quick
11 look at **IC-197**, Mr. O'Rielly? Perhaps fortunate for Mr.
12 Roberts, Chair, my laptop decided to be rather
13 uncooperative last night, so sometimes I'm going to be
14 referring to exhibits and it might be the first time I've seen
15 them in a couple of, in a day as well, but having relied on
16 electronic forums entirely. If we could look at page two of
17 two, Mr. Roberts. This was an exhibit that I have referred
18 to when cross-examining a previous witness, Mr. Roberts,
19 and I'm not sure if you were present during that, but it was,
20 I believe, a question I had of Mr. Hall, I think, may have
21 been Ms. McShane, concerning the actual payment of the
22 dividend from Hydro, and as you recall I believe as well I
23 was having some difficulty in reconciling the retained
24 earnings between the financial statements of Hydro and
25 this IC-197.

26 MR. ROBERTS: That was in relationship to, I think it was
27 this IC-197 and I believe a DBRS report.

28 MR. KENNEDY: Okay. I don't think that we need to delve
29 into the actual different between the retained earnings
30 figures between the two documents for the purposes of the
31 point that I'd like to just explore with you here this morning,
32 but pursuant to this IC-197, and just focusing on the year
33 2001, 2002, the estimate figure, the retained earnings figure
34 for 2001 is stated to be \$528,984,000, correct?

35 MR. ROBERTS: That's correct.

36 MR. KENNEDY: And that then that's split between the
37 retained earnings, sorry, the, less the CF(L)Co. retained
38 earnings of 234 million 582?

39 MR. ROBERTS: Yes.

40 MR. KENNEDY: And then adjusted for non-regulated
41 activity, 25 million 035.

42 MR. ROBERTS: Yes.

43 MR. KENNEDY: And then you get a net of the Utility only
44 retained earnings of two sixty-nine three sixty-seven.

45 MR. ROBERTS: Yes.

46 MR. KENNEDY: Okay. And when it says Utility only

47 retained earnings, am I assuming correctly when I assume
48 that that means the regulated portion of Hydro?

49 MR. ROBERTS: That is the calculated regulated retained
50 earnings of Hydro including the revenue or the net revenue
51 from IOCC.

52 MR. KENNEDY: Okay. So there's another small
53 adjustment ...

54 MR. ROBERTS: There's ...

55 MR. KENNEDY: ... to make for the IOCC ...

56 MR. ROBERTS: If you wanted to try to get to a pure
57 regulated retained earnings, what would have to happen is
58 that you'd have to look at the IOCC and remove the profit
59 and adjust also for dividends because it is part of net
60 operating income and 75 percent of that would still be paid
61 to the province as well.

62 MR. KENNEDY: Okay. And the adjustment for the non-
63 regulated activity of, in the case of 2001, \$25,035,000, that's
64 the re-call revenue.

65 MR. ROBERTS: That's adjusting out the re-call.

66 MR. KENNEDY: Alright. And then we see that going from
67 2001 to 2002 the Utility only retained earnings dropped
68 from \$269 million to \$208 million.

69 MR. ROBERTS: That's correct.

70 MR. KENNEDY: And I take it that that's a result of two
71 things, one, first a net off of the actual dividend that's
72 expected to be paid from those retained earnings in 2002
73 plus any additional extra retained earnings earned during
74 the intervening period up to the end of 2002.

75 MR. ROBERTS: Yes. It would include the net income for
76 the year, less the dividends paid.

77 MR. KENNEDY: Okay. And in questioning, I believe it
78 was Mr. Hall, I think it was established that insofar as the,
79 for instance the bond rating agencies would be concerned,
80 that when they look to investing in Hydro, they look to
81 Hydro as an entire corporate body and all of its holdings
82 and all of its subsidiaries.

83 MR. ROBERTS: That's correct.

84 MR. KENNEDY: And that for the purposes of that same
85 bonding company, the, where the dividend comes from
86 insofar as Hydro splitting it between regulated and non-
87 regulated portions of the retained earnings, if you will, is
88 irrelevant to a bonding agency or to a lender of the
89 Company.

90 MR. ROBERTS: I don't know if I'd quite agree with that. I
91 know in the discussions that we had with DBRS and the
92 presentation in, I think, the spring of this year or early

1 summer, they were certainly advised of the components of
2 the dividend and were advised of our dividend policy that
3 requires us to pay out 100 percent of the net re-call revenue
4 and 75 percent of net operating income. They were also
5 advised that the most current information that we had from
6 Government, that there would be a dividend payment
7 requested of us by the Government's year end, March 31st,
8 2002, that would be in excess of 75 percent of net operating
9 income for that particular year, so they were certainly aware
10 of it, and what they disclosed in their individual report or
11 what they advise potential bond holders, we have no
12 control over.

13 MR. KENNEDY: Okay. No, fair enough. I guess the
14 question I have is clearly Hydro would, just from a
15 hypothetical perspective, have the ability to pay this
16 requested dividend of \$104 million net of the re-call energy
17 dividend or pay-out of \$70 million approximately, 68, I think
18 it is now, that they would have, that Hydro would have, at
19 least theoretically, the discretion to be able to pay that
20 dividend, a portion of it out of the retained earnings
21 achieved from the regulated portion of its business and a
22 portion of it achieved from the non-regulated portions of its
23 business?

24 MR. ROBERTS: At this point the only significant amount
25 there for non-regulated is the re-call revenue and that's just
26 a timing issue. For instance, just if I may use an example,
27 the \$25,035,000 that you see there at the end of December
28 2001 would be paid to the province by March 31st of the
29 next year, because we have the timing differences to when
30 the province requires the payments and when we actually
31 record them.

32 MR. KENNEDY: Uh hum.

33 MR. ROBERTS: So that \$25 million would be paid to the
34 province by March 31st of 2002. The amount that you see
35 in there for 2002 would be paid by March 31st of 2003, so
36 you have a lag with the province at any point in time.

37 MR. KENNEDY: Okay. So, but that's as far as the re-call
38 payment?

39 MR. ROBERTS: But I guess it's not, it's a policy of Hydro's
40 Board of Directors that has set this policy based on
41 direction by Government, that they require 100 percent of
42 the net re-call revenue.

43 MR. KENNEDY: Uh hum.

44 MR. ROBERTS: So that is part of the policy, so that's not
45 an option. That's mandatory. So whatever is left over after
46 that's taken off the total requirement by the province, will
47 represent the dividend that will be coming out of the
48 regulated earnings of Newfoundland and Labrador Hydro.

49 MR. KENNEDY: Okay. And it might be my pure ignorance

50 now of high finance in a large company such as your own.
51 I guess from a layperson's perspective, in paying out this
52 \$104 million you've got three potential sources of money.
53 One is the re-call money and it's Hydro's policy, as you just
54 indicated, as determined by the Board of Directors under
55 direction of Government, that that get paid out 100 percent.

56 MR. ROBERTS: Yes.

57 MR. KENNEDY: And that's the \$25 million that we see in
58 2001.

59 MR. ROBERTS: That would be paid, yes.

60 MR. KENNEDY: Okay. And so then there's a net then of
61 the overall request for payment of \$104 million, which
62 brings us down to something in the order of, well that
63 would be \$80 million. And so then Hydro has to determine
64 where this \$80 million dividend is going to come from, and
65 then there's two, from a layman's perspective, there's two
66 other sources of this, where this \$80 million would come
67 from. One would be from the Utility only retained earnings
68 and one would be from the CF(L)Co. retained earnings.

69 (9:45 a.m.)

70 MR. ROBERTS: No. The CF(L)Co., the situation with
71 CF(L)Co. is that any dividends received by Hydro from its
72 shareholding in CF(L)Co. are kept in Hydro. They are used
73 to pay the interest costs on the debt associated with
74 CF(L)Co. \$1 million is retained each year to be applied
75 against the principal of the debt associated with the
76 acquisition of CF(L)Co. and the balance is to be paid to the
77 province as well, so the only thing that's allowed to be kept
78 in the case of CF(L)Co. is the interest cost which must be
79 paid on the debt plus \$1 million to reduce the principal.
80 The balance of the funds received from CF(L)Co. via
81 dividends also flows through to the province in any
82 particular year.

83 MR. KENNEDY: So in effect then when, if I'm gathering
84 correctly then, you're saying that the retained earnings in
85 CF(L)Co., at least that line that I see there, 234 million 582
86 for 2001 ...

87 MR. ROBERTS: That's an accounting recording of the
88 equity associated with CF(L)Co.

89 MR. KENNEDY: But so is the Utility only retained
90 earnings, isn't it? It's an accounting number?

91 MR. ROBERTS: Yes, yes.

92 MR. KENNEDY: There's not actually \$269 million sitting in
93 your bank account.

94 MR. ROBERTS: I wish it was.

95 MR. KENNEDY: And in actual fact the pay-out of these 60
96 or \$70 million from the regulated retained earnings causes

1 Hydro to increase its debt.

2 MR. ROBERTS: Yes.

3 MR. KENNEDY: So why wouldn't the same apply to the
4 CF(L)Co. retained earnings, the 234 million 582? What am
5 I missing there?

6 MR. ROBERTS: There is no cash associated with that
7 either. The only way that could be turned into cash would
8 be to liquidate its investment in CF(L)Co.

9 MR. KENNEDY: Or borrow, wouldn't it?

10 MR. ROBERTS: CF(L)Co. can't.

11 MR. KENNEDY: No, but Hydro could.

12 MR. ROBERTS: Hydro, I guess, could borrow. Whether or
13 not it could borrow on its investment in CF(L)Co., I really
14 don't know, but all I can tell you is what our current policy
15 is, is that all funds received from CF(L)Co. via dividends are
16 accumulated, we deduct the interest cost and we maintain
17 \$1 million for principal repayments and the balance is
18 flowed through to the province. I should also point out
19 that this is an accounting item. Of that \$234 million, that's
20 following, and I don't want to try to get into technical terms
21 on accounting, but it's referred to as equity accounting, so
22 that if Churchill made \$20 million for the year and we own
23 66 percent of the company, we will literally record as our
24 equity portion. That doesn't necessarily mean that we've
25 got paid that amount, so that build up in retained earnings
26 is the equity portion associated with the CF(L)Co. net of
27 the costs associated with it.

28 MR. KENNEDY: So if I'm gathering correctly then, Hydro
29 doesn't have the discretion to make a portion of its
30 payment in any one given year to Government out of the
31 CF(L)Co. retained earnings.

32 MR. ROBERTS: Not in my opinion, we don't.

33 MR. KENNEDY: And this is based on your understanding
34 of a policy of Hydro itself.

35 MR. ROBERTS: The policies set by the Board are, as I
36 outlined, that it will pay the flow through of the net
37 dividend income received from Churchill Falls, plus it will
38 pay 75 percent of the net operating income of Hydro plus
39 100 percent of re-call revenue to the province.

40 MR. KENNEDY: And we know that Government has in
41 effect countermanded the 75 percent dividend policy on the
42 retained earnings.

43 MR. ROBERTS: Hydro's Board of Directors approved that
44 policy of 75 percent of net operating income.

45 MR. KENNEDY: Okay. The other topic I wanted to ask
46 some questions about, Mr. Roberts, refers to the deferral of
47 the rate hearing costs.

48 MR. ROBERTS: Yes.

49 MR. KENNEDY: And I think it's Hydro's position, if I'm
50 gathering correctly, that it proposes that those hearing
51 costs be amortized over a period of two years, correct?

52 MR. ROBERTS: That's correct.

53 MR. KENNEDY: And that those two years would be 2002
54 and 2003.

55 MR. ROBERTS: Yes, it would.

56 MR. KENNEDY: And that's on the rationale that Hydro
57 intends to be back before this Board in 2003 with another
58 rate application which would potentially impact its rates for
59 2004.

60 MR. ROBERTS: That's correct. 2004 would be the test
61 year.

62 MR. KENNEDY: Okay. And you'll agree with me, will you,
63 that the hearing costs themselves are incremental in nature.

64 MR. ROBERTS: Yes.

65 MR. KENNEDY: They're not costs that would otherwise
66 avoided, that could otherwise be avoided.

67 MR. ROBERTS: That's correct.

68 MR. KENNEDY: You'll agree with me, won't you, well, I
69 think it's a stated fact, that this is the first application that
70 Hydro has made to the Board for a rate increase since 1992?

71 MR. ROBERTS: Yes.

72 MR. KENNEDY: And that, will you agree with me that this
73 has been a fairly thorough review of Hydro's internal
74 financing and operational issues.

75 MR. ROBERTS: There is no doubt about that.

76 MR. KENNEDY: And that much of that goes, much of its
77 review and analysis of Hydro's operations and finances
78 dates back to a period, in some instances beginning in
79 1992?

80 MR. ROBERTS: We have certainly filed information
81 reflecting '92 to date. There may be other information that's
82 filed going back past 1992.

83 MR. KENNEDY: Well, for instance, your hydrological
84 records go back 30 years, but ...

85 MR. ROBERTS: And I also mention, the vein that I was
86 using it was, as an example, yesterday the Consumer
87 Advocate had me back to the 1985 rate hearing when the
88 Rate Stabilization Plan was first introduced, so I fully
89 acknowledge that most of the emphasis has been between
90 '92 and 2002, but there has also been other items been
91 raised from even years prior to 1992.

1 MR. KENNEDY: For instance, the schedule that we have
2 up in front of us right now, **IC-197**, the request for
3 information and the subsequent reply was for the period
4 1992 through to the test year of 2002.

5 MR. ROBERTS: Yes, and that's fairly normal from my
6 experience in the regulatory environment and I have been
7 before this Board starting in 1995 (*sic*) for ... I think this is
8 my fourth or fifth hearing.

9 MS. GREENE, Q.C.: I think he meant '85.

10 MR. ROBERTS: 1985. We have always started on the
11 point of when we last appeared before the Board and came
12 forward to the presentation or the hearing that we're
13 involved in now.

14 MR. KENNEDY: And so you'll agree with me then that
15 many of the issues that we have been dealing with and are
16 likely to deal with until the completion of this hearing relate
17 to operational decisions and issues of Hydro during the
18 period '92, '93, '94 and so on, right up through to today.

19 MR. ROBERTS: There has been a lot of historical
20 information provided. The question is, is how it will be
21 used in determining 2002 forward. I look at it from the
22 perspective of some of this information, you know, just use
23 one particular aspect that I have direct familiarity with, is
24 that annually Hydro has been subjected to an audit by
25 auditors appointed by the Public Utilities Board, so issues,
26 if they were there, were being raised and provided to the
27 parties of these annual reviews that are conducted on
28 Newfoundland and Labrador Hydro, and I also understand
29 they're done on Newfoundland and Labrador (*sic*) Power,
30 so some of these things have certainly been brought to
31 people's attention, just haven't been sitting here for ten
32 years waiting to be addressed.

33 MR. KENNEDY: No, no, and I appreciate that and I'm not
34 trying to imply anything other than that, but clearly this
35 information of Hydro that you just alluded to, the review
36 conducted by the Board's financial advisor, the annual
37 review, that that, and that's information that Hydro is being
38 freely forthcoming with and being provided to the Board.
39 Clearly though you recognize that the parties involved in
40 the hearing, for instance, for this application weren't around
41 during that period of time in 1992 to date and therefore this
42 is their first opportunity to do a thorough review of those
43 documents that Hydro has been filing during the
44 intervening period.

45 MR. ROBERTS: I'll acknowledge that one.

46 MR. KENNEDY: In Hydro's case we're expected to be back
47 in 2003, would you agree with me that because of the
48 ground that's being covered in this application, that it's
49 reasonable to expect that the 2003 application may not be
50 as broad or general in scope as this one?

51 MR. ROBERTS: I certainly hope so from a personal
52 perspective that it will be a lot less.

53 MR. KENNEDY: So would you agree with me then that it
54 would be reasonable to consider that the cost of this
55 hearing, being somewhat of an educational process for the
56 panel and for the parties, are extraordinary in that regard?

57 MR. ROBERTS: I would suggest that they are certainly
58 higher than a normal rate hearing, if you're back, say, every
59 three or four.

60 MR. KENNEDY: And that some of the information, for
61 instance, that is being gained in this hearing, both again by
62 the panel and by the intervenors, would be of benefit to the
63 parties in 2003, if in fact Hydro does come forward with an
64 application?

65 MR. ROBERTS: Provided the parties are still here.

66 MR. KENNEDY: Yes. And have memories of ...

67 MR. ROBERTS: Yes.

68 MR. KENNEDY: ... fond memories of 2001.

69 MR. ROBERTS: I guess the question being is, are you
70 going to use the information here or will it be asked again.

71 MR. KENNEDY: Exactly. But presume ...

72 MR. ROBERTS: For that we don't have any control over
73 and if the information is asked, then we'll gladly try to
74 provide it.

75 MR. KENNEDY: And so presumably, for instance, the
76 questions that I was just asking you about the retained
77 earnings pay-out by Hydro and whether that's available to
78 be paid from the non-regulated portion of Hydro and your
79 explanation of why in fact that can't be achieved, is not a
80 question hopefully that I would ask again in 2003, if in fact
81 I was here, correct?

82 MS. GREENE, Q.C.: Can we have an undertaking about
83 that, I wonder? (*laughter*) And can we have an
84 undertaking it will not be different counsel? (*laughter*)

85 UNIDENTIFIED SPEAKER: That's the undertaking you
86 want (phonetic).

87 MR. KENNEDY: Yeah. So, Mr. Roberts, I guess the point
88 you can probably surmise that I'm getting at is some of the
89 expenses related to this hearing are both backward looking
90 related, that this application has involved a review of the
91 issues that have transpired over the period of time since
92 1992, and as well educational in scope will benefit the panel
93 and the intervenors and whatever parties and solicitors are
94 involved in subsequent hearings in those subsequent
95 hearings.

96 MR. ROBERTS: I agree.

1 MR. KENNEDY: And so wouldn't you agree with me then
2 that it's reasonable to suggest that the hearing costs
3 themselves for 2001 be amortized over a greater period than
4 the suggested two-year period?

5 MR. ROBERTS: That's certainly one option. What Hydro
6 looked at was the impact that it would have going towards
7 the future, like I personally don't think there's any doubt
8 we're going to be back in 2003 unless there's really a
9 fortuitous event out there that will result in a significant
10 windfall to Hydro. What we were looking at is if you went
11 three years, if you went five years, you are now going to
12 impact the projected rate base for 2004, so what we were
13 doing in this particular case was trying to narrow the gap
14 to 2002 and 2003 when we do come back in 2003 for 2004.
15 I have no idea at that point how far that particular hearing
16 would carry us out.

17 MR. KENNEDY: Well now you haven't closed off your
18 books for 2001 yet, have you?

19 MR. ROBERTS: No.

20 MR. KENNEDY: So you could book some of the hearing
21 costs in 2001, couldn't you?

22 MR. ROBERTS: I would certainly hope that from an
23 accounting perspective that we would be able to have
24 enough information to accrue all of these costs in 2001 to
25 the extent that we can. We recognize that these were
26 estimates that we were trying to put forward to the Board
27 for approval to defer and of course it would be on the
28 understanding that these numbers would try to be
29 confirmed to actual as close as we could prior to the Board
30 making its order.

31 (10:00 a.m.)

32 MR. KENNEDY: So if I'm gathering correctly though, that
33 there's nothing to prevent in, just leaving aside the issue of
34 using 2004 as one of your amortization years for the
35 deferral of the hearing costs, that there's nothing to prevent
36 Hydro from absorbing some, if not all, of the hearing costs
37 in 2001.

38 MR. ROBERTS: Hydro could absorb them all. For a
39 deferral basis, we do require approval of the Board in which
40 to do it because under the generally accepted accounting
41 principles there is no basis to defer these costs. The only
42 way we would be able to defer them would be a regulatory
43 order authorizing us to defer these costs and recover these
44 costs in future rates.

45 MR. KENNEDY: Would you be able to, Mr. Roberts,
46 provide an update of your Schedule 1A as filed on October
47 31, 2001, with the hearing costs amortized over a four-year
48 period instead of a two-year period and what impact that
49 would have on your revenue requirement?

50 MR. ROBERTS: We could. I have some qualification now
51 to what I'm saying. If you just wanted us to deal with that
52 and ignore the impact on interest and re-running through
53 all the hoops and ... and that could be done relatively
54 quickly, I believe, if you just want to say here's what it
55 would be, because you're only taking, you're taking that \$2
56 million and you wanted it over four years.

57 MR. KENNEDY: Yes, but I guess there's an impact there
58 on the interest as well, is it not?

59 MR. ROBERTS: There'd be an impact on, to the interest,
60 depending what would happen and spinning back through
61 what the rates would be because you have to get sort of
62 cost of service and allocate between Newfoundland Power
63 and the industrial customers, the rates into Labrador. It's
64 not a very simple process in which to do it.

65 MR. KENNEDY: Okay. So that's a simple request that
66 involves a lot of work.

67 MR. ROBERTS: Yes, it does.

68 MR. KENNEDY: That's what you're telling me.

69 MR. ROBERTS: But if you want to ballpark the amount ...

70 MR. KENNEDY: Yeah, that's fine.

71 MR. ROBERTS: If you're looking at it, you're talking \$2
72 million over four years.

73 MR. KENNEDY: So just split it ...

74 MR. ROBERTS: So it'd be a half million dollars, so the
75 revenue, the total revenue requirement would be altered by
76 a half million dollars in 2002, and what that would translate
77 down into the rates, depends on the split between the
78 various customers.

79 MS. GREENE, Q.C.: I wonder if counsel could indicate
80 whether the answer that Mr. Roberts just gave is
81 satisfactory.

82 MR. KENNEDY: Yes, that's satisfactory. Yes, thank you.
83 Mr. Roberts, on to another topic. I have a lot of topics,
84 none of them particularly long, so ...

85 MR. ROBERTS: Okay.

86 MR. KENNEDY: On **page six of your pre-filed testimony**,
87 at line eight, or line six, "What is Hydro's projected long-
88 term debt for 2001, 2002?" And, "Schedule 10 of my
89 evidence provides specific details on Hydro's long-term
90 debt for those two years." And then you go on to provide
91 some information about Hydro's borrowing strategy being
92 one of short-term promissory notes and long-term
93 debentures, and that "Pursuant to Section 33 of *The Hydro*
94 *Corporation Act* our short-term debt as prescribed by
95 Order-in-Council may not exceed \$300 million." And then
96 you go on describe how, well, it's Hydro's practice to

1 borrow from the \$300 million and then it allows you some
2 financing flexibility because you can then take out long-
3 term debt when it's perhaps the best time to do it as
4 opposed to being forced to go to the market ...

5 MR. ROBERTS: That's correct.

6 MR. KENNEDY: ... to borrow long-term debt.

7 MR. ROBERTS: Yes.

8 MR. KENNEDY: And that would be a normal or typical
9 financing mechanism for a corporation, size and complexity
10 of Hydro.

11 MR. ROBERTS: Any large corporation will be monitoring
12 its mix of short and long-term and trying to use whatever
13 advice it can probably obtain to determine where the market
14 is looking towards the future, in trying to find that optimum
15 time to switch from short-term to long-term and lock in that
16 particular rate.

17 MR. KENNEDY: Anecdotally did you note that the United
18 States Treasury has stopped issuing ...

19 MR. ROBERTS: 30-year ...

20 MR. KENNEDY: ... long-term debt? It's ...

21 MR. ROBERTS: It stopped ...

22 MR. KENNEDY: ... no longer issuing a 30-year bond.

23 MR. ROBERTS: 30-year debt, that's correct.

24 MR. KENNEDY: And I understand that, and I believe
25 there's been some expert testimony on it, that that's based
26 on the rationale that at his point in time it makes more sense
27 for them to borrow on short-term money as opposed to the
28 long-term bond issues.

29 MR. ROBERTS: That could be correct. I'm not sure for a
30 reason as to why. I am aware that they did stop issuing 30-
31 year bonds.

32 MR. KENNEDY: Okay. And were you here when Dr.
33 Kalymon testified? Portions of it, I believe.

34 MR. ROBERTS: That was for the consumer, yes.

35 MR. KENNEDY: Yes. And Dr. Kalymon provided some
36 testimony at the beginning of his testimony in which he
37 provided an update to some of the figures that were
38 included in his pre-filed evidence.

39 MR. ROBERTS: Yes.

40 MR. KENNEDY: And it was noted by Dr. Kalymon that
41 there's been a dramatic change in the market rates for short
42 and long-term debt, and I believe he used significant or
43 dramatic effect on short-term money and a, certainly a
44 corresponding change in the long-term money since even
45 he filed his report in earlier 2001.

46 MR. ROBERTS: I believe he did indicate there was a fairly
47 significant drop in short-term rates but I think in the long-
48 term rates it was like 50 to 75 basis points, when he looked
49 at it, which I think was November 9th.

50 MR. KENNEDY: Right. Can you tell me when the Order-in-
51 Council limiting Hydro to a \$300 million cap was instituted?

52 MR. ROBERTS: No, I can't. It has been there for some time
53 but the actual date, I wouldn't have that information.

54 MR. KENNEDY: You've been involved with Hydro in the
55 position, as position of Controller for how long?

56 MR. ROBERTS: I've been in my position since 1985, and
57 the reason why I wouldn't have in-depth familiarity with it
58 is that there is a separate treasury function within Hydro,
59 so there is an actual Treasurer for the organization with the
60 appropriate staff in place who does all this work.

61 MR. KENNEDY: Okay. So as far as you're aware though,
62 the \$300 million cap, that's been present since your
63 involvement as Controller with Hydro?

64 MR. ROBERTS: I believe it's been there ever since, it may
65 go back to 1985, I'm not sure, but it has been ... it's not a
66 recent addition, if you're referring to the last five years or
67 so, to the best of my knowledge.

68 MR. KENNEDY: Okay. At page seven and then going on
69 to page eight of your pre-filed testimony, you provide some
70 discussions concerning the calculation of the interest
71 charge associated with the Rate Stabilization Program.

72 MR. ROBERTS: Yes.

73 MR. KENNEDY: And as I understand it right now, the
74 current interest charge associated with the Rate
75 Stabilization Account, or Program, is the embedded cost of
76 debt, correct?

77 MR. ROBERTS: That's correct.

78 MR. KENNEDY: And pursuant to your Schedule 9, I
79 believe it is, the embedded cost of debt was calculated to
80 be 8.345 percent at the time. I think that might have been
81 revised since then.

82 MR. ROBERTS: Yes. That was in the initial filing, 8.345.

83 MR. KENNEDY: And that pursuant to Hydro's application,
84 it's recommending that it move to a weighted average cost
85 of capital for calculating the interest that accumulates on
86 the Rate Stabilization Program balance.

87 MR. ROBERTS: Yes, with the adaption of the rate base
88 methodology that comes with it.

89 MR. KENNEDY: And again, pursuant to the original filings
90 under Schedule 8, that weighted average cost of capital
91 works out to 7.399 percent.

- 1 MR. ROBERTS: That's correct.
- 2 MR. KENNEDY: Now, just so we're clear, the weighted
3 average cost of capital of 7.399 percent as originally filed is
4 lower than your embedded cost of debt because your
5 proposed rate of return on your equity is only at three
6 percent, correct?
- 7 MR. ROBERTS: Correct.
- 8 MR. KENNEDY: If in two years' time Hydro were to take an
9 application seeking a, what it considers to be a more
10 appropriate rate of return of, say, 11 percent, if, depending
11 on what the market conditions are at the time, the weighted
12 average cost of capital will in fact be higher than your
13 embedded cost of debt potentially, correct?
- 14 MR. ROBERTS: It could potentially be there but it could
15 also still be less. It's depending on what the embedded
16 cost ...
- 17 MR. KENNEDY: Capital structure is and ...
- 18 MR. ROBERTS: Capital structure, what the embedded cost
19 of debt is.
- 20 MR. KENNEDY: What your market rates are for ...
- 21 MR. ROBERTS: There's all kinds of variables that could
22 impact it.
- 23 MR. KENNEDY: There's a host of issues involved, wheels
24 within wheels on that one.
- 25 MR. ROBERTS: No doubt that there are other factors that
26 will have an impact as to what it will actually be in two or
27 three years' time.
- 28 MR. KENNEDY: Sure. Now, I believe it's the case as well
29 that the, and I believe this is noted in your pre-filed
30 testimony as well, that the assets associated with the rural
31 rate, the rural part of and isolated parts of Hydro's
32 operations, are treated differently for the purposes of
33 calculating a rate of return on those.
- 34 MR. ROBERTS: That's correct.
- 35 MR. KENNEDY: And that instead of being included in
36 your overall rate base and being titled to a weighted
37 average cost of capital for the rate base, it's actually
38 assessed the weighted average cost of your debt. Is that
39 correct?
- 40 MR. ROBERTS: That's correct.
- 41 MR. KENNEDY: And you calculate that at Schedule 7 of
42 your pre-filed testimony to be 6.941 percent.
- 43 MR. ROBERTS: That's correct.
- 44 MR. KENNEDY: And that's probably changed as well as
45 your borrowings fluctuate.
- 46 MR. ROBERTS: Yes, I think that's changed slightly since
47 the update for October.
- 48 MR. KENNEDY: And could you just explain to us again
49 what the rationale is for why the isolated assets receive a
50 different treatment than the rest of your asset base?
- 51 MR. ROBERTS: In at least the '92 hearing and I think the
52 hearing prior to that, the issue of earning an interest margin
53 arose on Hydro rural assets because of the fact that these
54 assets were forming part of the rural deficit, and what the
55 Board decided is that Hydro shouldn't make a profit on
56 assets that were contributing to a deficit, so you shouldn't
57 be inflating the deficit higher by earning a profit on assets
58 that are associated with that deficit.
- 59 MR. KENNEDY: Okay. So there was a rationale for why
60 the isolated assets should be treated separately and it was
61 associated with the fact that there was a deficit associated
62 with operating those isolated assets.
- 63 MR. ROBERTS: That's correct, and that was addressed in
64 two hearings by the Board.
- 65 MR. KENNEDY: Sure, okay. Now the Rate Stabilization
66 Program, been much discussion on that and I don't know if
67 I'm going to over-simplify it, but is it fair to say that one of
68 the principal objectives of the Rate Stabilization Program is
69 to provide both rate stability for the ratepayers and as well
70 revenue stability for Hydro?
- 71 MR. ROBERTS: It certainly provides stability to customers
72 and it does contribute to some stability to Hydro.
- 73 MR. KENNEDY: It insulates Hydro from being subject to
74 variations in load and errors in forecast, if you will, on its
75 hydrology, for instance, and thermal production.
- 76 MR. ROBERTS: I wouldn't go so far as to say errors in
77 hydrology, but it does account for the variances in
78 hydrology for which we have no control over the water and
79 whether or not it's going to rain or it's going to be dry, but
80 it does provide Hydro with some protection relative to the
81 hydrology, fuel price, and in the case of load. It doesn't
82 pick up and adjust for efficiency either in either respect.
- 83 MR. KENNEDY: Now, Mr. Fitzgerald asked you some
84 questions, I believe, on hypotheticals about whether if in
85 fact there was a positive balance in the Rate Stabilization
86 Program account, whether there would be an accounting by
87 Hydro of any interest earned, and you indicated, well, it's
88 not exactly interest earned, it would just be less interest
89 paid and that that would be accounted for, less interest
90 paid by Hydro overall by virtue of a positive account in the
91 RSP.
- 92 MR. ROBERTS: In the case of the RSP, the RSP is treated
93 as a self-financing asset, so we add interest or we credit
94 interest, depending on the balance in the plan, so the intent

1 is that we are always indifferent so that if we have funds
2 from a customer that we owe them to, we will give them the
3 interest. If they owe us money, we will charge them the
4 interest, and so we are held indifferent from it.

5 MR. KENNEDY: There was, and you may be able to help
6 me here, there was an exhibit that we looked at, I believe it
7 was yesterday, showing interest calculating, calculated
8 based on your short-term borrowings of 4 1/2 percent. Do
9 you recall looking at an exhibit?

10 MR. ROBERTS: Yes.

11 MR. KENNEDY: And I'm wondering whether ... let me put
12 it this way, when was it that the RSP account first started
13 accumulating what you would call a significant deficit?

14 MR. ROBERTS: I only have in my evidence the balances
15 in the plan from '92 up to 2002 but you're really starting to
16 only see the plan start to increase basically starting in '96
17 and starting to come forward, and that's when you're
18 starting to hit extremely high prices in fuel and you may
19 also be experiencing some below average water years as
20 well which would impact this plan.

21 MR. KENNEDY: So according to ... and that's Schedule 14
22 of your ...

23 MR. ROBERTS: That's correct.

24 MR. KENNEDY: ... pre-filed testimony. And according to
25 that Schedule 14, there was in fact a positive balance in the
26 Rate Stabilization Plan in 1994.

27 MR. ROBERTS: Yes.

28 MR. KENNEDY: That would be year end 1994, I take it, or
29 ...

30 MR. ROBERTS: Yes. That would be calendar year end
31 December 31.

32 MR. KENNEDY: Okay. But by the year end 1995, that
33 positive balance is switched over to a deficit of \$12.9
34 million in total.

35 MR. ROBERTS: Yes.

36 MR. KENNEDY: Okay. And then it's been continuing to
37 grow and rather rapidly for the period 1995 through to 1998,
38 and then it backed off a bit and now, according to Hydro's
39 application, you're forecasting that the Rate Stabilization
40 Program is, unless otherwise adjusted, likely to grow again.

41 MR. ROBERTS: That's correct.

42 *(10:15 a.m.)*

43 MR. KENNEDY: Now, when the Rate Stabilization
44 Account started to climb in that period in 1995 to 1996, and
45 in fact you were, I guess again from a layperson's
46 perspective, booking revenue, if you will, but it being

47 uncollected because you had yet to claw back that portion
48 of the revenue associated with the RSP. Would this have
49 placed pressure on Hydro to increase its borrowings?
50 Does Hydro need to increase its borrowings because of the
51 RSP account climbing, the deficit?

52 MR. ROBERTS: The borrowings would happen
53 automatically from the point of view that if you buy a
54 shipment of fuel and it's costing you \$20 million to buy the
55 shipment of fuel, well, shortly after the fuel is received,
56 within the payment terms and arrange ... the fuel is paid for.
57 As the fuel is consumed and this receivable is created, then
58 we will start setting this amount up and adding interest to
59 that that's removing the other side of the payment of the
60 interest that was associated on the initial purchase, so it's
61 a timing factor of ... you'd have a liability over here and you
62 have a receivable over here and you're incurring interest on
63 both and you're holding yourself equal because it will be
64 paid.

65 MR. KENNEDY: And because of the way the Rate
66 Stabilization Program operates, it's the case, isn't it, that all
67 else being equal the fuel purchases, for instance, by Hydro
68 and its borrowings in order to achieve those fuel purchases
69 are short-term in nature?

70 MR. ROBERTS: It initially starts at short-term but I guess
71 Hydro just runs a promissory note balance, and as we
72 discussed earlier, this \$300 million amount, and that
73 includes purchase of fuel, it would include capital, it would
74 include paying salaries, whatever. Revenue flows in and
75 costs come out and here's what's happening on that float,
76 and then when you reach an optimum time that you want to
77 convert some of that short-term to long-term, then an
78 amount of that promissory notes are converted but it's not
79 traceable back to specific items.

80 MR. KENNEDY: But, and it is the case that the overall
81 interest payment by Hydro is the overall interest payment
82 by Hydro. It's going to form the revenue requirement
83 regardless.

84 MR. ROBERTS: Yes.

85 MR. KENNEDY: But that whatever interest you associate
86 with the RSP gets booked into the RSP and therefore a
87 portion of the interest goes to the RSP and a portion of it
88 remains in your current account, if you will.

89 MR. ROBERTS: That's correct.

90 MR. KENNEDY: And so if we put less interest associated
91 with the RSP, it would decrease the RSP balance in effect
92 but it's still not going to impact Hydro overall because it
93 just means more interest in the current year.

94 MR. ROBERTS: Well, we have to charge the RSP what the
95 embedded cost of debt is.

1 MR. KENNEDY: Well, let's not make that presumption just
2 yet, but I'll give you an opportunity to make that
3 presumption in a moment. It is the ... I just want to
4 establish first that if Hydro pays \$1 in interest, a portion of
5 that is associated with interest accumulated on the RSP
6 account and then the remaining portion is just the interest
7 that Hydro pays and would form part of its revenue
8 requirement for a given year, it's current year, and I take it
9 that's probably a gross over-simplification of your interest
10 dynamics.

11 MR. ROBERTS: I'll accept what you're saying and see
12 where it leads me.

13 MR. KENNEDY: Okay. And so if we associated a lower
14 interest with the deficit accumulated in the Rate
15 Stabilization Program, it would help provide some, it would
16 help alleviate, if you will, the amount of the deficit in the
17 Rate Stabilization Program, would it not, because you'd be
18 booking less interest into the RSP account itself?

19 MR. ROBERTS: Yes, but we still have to pay the interest
20 costs on the other side.

21 MR. KENNEDY: Absolutely. And so you would still have
22 to pay the interest and it would still form part of Hydro's
23 revenue requirement.

24 MR. ROBERTS: Yes.

25 MR. KENNEDY: Okay.

26 MR. ROBERTS: But at the end of the day it's still going to
27 be paid, either through an RSP adjustment or through a
28 change in your base rate and the mill rate.

29 MR. KENNEDY: Right. But if you were to associate a
30 lower interest with the RSP account, your RSP account
31 deficit would not be as high as you're stating it to be as of
32 a given moment in time. For instance, your 2001 forecast,
33 which I appreciate was well prior to many of these dramatic
34 events in the fall that had an impact on the price of oil and
35 the Canadian dollar and your hydrology is changed and so
36 on and so on, but at the point you were filing this your
37 forecast for 2001 was an RSP account deficit of \$87.4
38 million.

39 MR. ROBERTS: That's correct.

40 MR. KENNEDY: And a portion of that \$87.4 million would
41 be the interest accumulated that Hydro has associated to
42 that Rate Stabilization Account, the principal amount.

43 MR. ROBERTS: Yes, but the biggest impact on that plan is
44 not interest, it's the components of water and fuel.

45 MR. KENNEDY: I appreciate that and it's probably orders
46 of magnitude in light of the fact that the interest is, well,
47 either six percent or seven percent or eight percent.

48 MR. ROBERTS: Yes.

49 MR. KENNEDY: But nonetheless if we're attempting to live
50 within an existing cap of \$50 million and trying to avoid
51 increasing that cap, this would be one mechanism, would
52 it not, to, from an accounting perspective, to keep the
53 deficit in the Rate Stabilization Program below that cap,
54 whatever it may be. It would provide some relief to the
55 Rate Stabilization Program by associating a lower interest
56 payment.

57 MR. ROBERTS: It will reduce that balance that's owing,
58 but it increases the rates on the other side, so ...

59 MR. KENNEDY: I understand that.

60 MR. ROBERTS: ... I'm not so sure that you really gain
61 anything except for complexity, and in today's environment
62 of being regulated on a return on rate base, it becomes, I
63 think, a little bit more complex now where you are in a
64 situation where both the Rate Stabilization Plan is financed
65 with debt and equity, so ...

66 MR. KENNEDY: Well, let's just go there for a second. The
67 Rate Stabilization Program had its deficits start to
68 accumulate in 1996 really, and that prior to 1995 there was
69 no deficit in the RSP program, correct?

70 MR. ROBERTS: If you go back into history to '86 and come
71 forward, there have been reversals in both directions.

72 MR. KENNEDY: Okay.

73 MR. ROBERTS: So from the point of view of staying in a
74 position where money is owing to Hydro, you're starting to
75 see it in '95. '96 was growing, '97 was, growing some more
76 in '98, '99 is gone down, 2000 is basically flat in comparison
77 to '99, and 2001 is expected to increase.

78 MR. KENNEDY: And just so I'm clear, Hydro's financing,
79 and I appreciate that it's a float or a drawdown on your
80 promissory note, is not associated with a specific asset, but
81 that the deficit being accumulated in the Rate Stabilization
82 Program needs to be financed by Hydro through debt.

83 MR. ROBERTS: It could be short (inaudible) as well as
84 long. That's why the embedded cost of debt was used.

85 MR. KENNEDY: And you use ... and you initially use
86 short-term borrowings to accomplish that objective and it's
87 when your short-term borrowings get to a certain point in
88 the overall \$300 million cap that the Government has set
89 that Hydro would time to go to the market in seeking long
90 money.

91 MR. ROBERTS: Yes, and I guess I can only go back and
92 say is that some of this balance in the plan is, depending
93 on your point in time of when you pick, some of it already
94 in short, some of it's already in long at that point, so there's
95 really no mechanism in which to say how much of that plan

1 is in short versus long, because it's just ...

2 MR. KENNEDY: Well we ...

3 MR. ROBERTS: ... a float of piece of debt ...

4 MR. KENNEDY: We do know that of the money that's
5 there now, the borrowings to finance it would have all
6 taken place post 1995, correct?

7 MR. ROBERTS: No. Hydro's done borrowing since 1995.

8 MR. KENNEDY: But, yes, since 1995.

9 MR. ROBERTS: We've done two in 2001 as an example.

10 MR. KENNEDY: Yes. I'll leave that. Mr. Roberts, there
11 was reference to an incentive program for Hydro's
12 executives being introduced on a pilot basis.

13 MR. ROBERTS: Yes.

14 MR. KENNEDY: Are you a participant in that?

15 MR. ROBERTS: Yes.

16 MR. KENNEDY: Is it your department that keeps track of
17 the operation of that pilot incentive program?

18 MR. ROBERTS: That would fall underneath the
19 responsibility of Human Resources. They administer all
20 pay plans for the organization.

21 MR. KENNEDY: Can you give us some idea of the flavour
22 of that incentive program insofar as it applies to you in
23 your position in carrying out your duties as Controller?
24 What's your incentive? How is it measured, the
25 efficiencies, if you will?

26 MR. ROBERTS: I'm just trying to go from memory now. It's
27 not something that I have in the back of my mind. I have
28 departmental objectives as well as participation in
29 divisional objectives and corporate objectives, so targets
30 have been established for those objectives and the
31 remuneration that could possibly be obtained is
32 determinable on whether or not there is a movement from
33 that objective.

34 MR. KENNEDY: In the department objectives, can you
35 give us some idea of what kinds of objectives that you
36 would be aiming for as part of that department?

37 MR. ROBERTS: Objectives can vary by the department,
38 but, for instance, one of the ones that I would have as an
39 objective is the continuation of training to area offices' staff
40 related to our new JD Edwards system, so I would make a
41 commitment that I want to have "X" number of visits to
42 those particular areas to train staff in those areas, so that,
43 you know, would be a type of an objective that will be set
44 on me and I attain that and I can exceed it or whatever the
45 case may be, then the remuneration will be accordingly.

46 MR. KENNEDY: Would there be or are there any
47 objectives related to the financial operation of Hydro that
48 you'd participate in? In other words ...

49 MR. ROBERTS: I share in the corporate.

50 MR. KENNEDY: That's the overall corporate objective.

51 MR. ROBERTS: Yes, because I contribute to that.

52 MR. KENNEDY: At the department level though, do you
53 have any ...

54 MR. ROBERTS: At the department level, the objective is
55 based on my budget as to whether or not I can achieve my
56 budget, can I do better than my budget. That's the
57 objective that would be in my particular case related to my
58 share of that budget, but I also share in the responsibility
59 related to the corporate as well.

60 MR. KENNEDY: Sure, okay. So just to make clear, there
61 are financial objectives which you have the ability to ...

62 MR. ROBERTS: I have the ability to control ...

63 MR. KENNEDY: ... play a role in achieving.

64 MR. ROBERTS: ... control and to participate ...

65 MR. KENNEDY: A direct role.

66 MR. ROBERTS: Yes.

67 MR. KENNEDY: Okay.

68 MR. ROBERTS: I have both.

69 MR. KENNEDY: Yes, so directly to your own department
70 and indirectly to ...

71 MR. ROBERTS: Indirectly ...

72 MR. KENNEDY: ... the overall corporate objectives.

73 MR. ROBERTS: ... contribute to the corporation as a
74 whole.

75 *(10:30 a.m.)*

76 MR. KENNEDY: I understand that Hydro has implemented
77 some, an FTE Program in 2001. Are you aware of that?

78 MR. ROBERTS: It hasn't quite implemented an FTE
79 System. At this point all that has been calculated is a full-
80 time equivalent based on the actual results for a particular
81 month. We do not have a system in place yet, to enable to
82 do our budget and our forecast on that basis. We only
83 have part of the requirement for it. And if I may, for a
84 permanent employee such as myself, it's relatively easy to
85 determine a full-time equivalent. The difficulty comes up,
86 it's in the budgeting for hourly wages and how many hours
87 are within those dollars and trying to get that information
88 recorded some place so that you can report and track. The
89 actuals are relatively easy to obtain because it is history

1 and it's a routine that's written against your payroll system
2 saying here are the results, how many FTEs come out of it.

3 MR. KENNEDY: So would the tracking of the FTEs going
4 forward be a responsibility of you as Controller?

5 MR. ROBERTS: Responsibility, I will have responsibility
6 for my area. Reporting would be provided by Human
7 Resources by division and I would have the responsibility
8 to account for my particular area on forward through to the
9 Vice-President of Finance because of the functions of the
10 various divisions.

11 MR. KENNEDY: Okay. So, but it wouldn't fall to you as
12 Controller of the Company to be tracking FTEs for the
13 entire Hydro Corporation.

14 MR. ROBERTS: I may be involved in having the system
15 developed ...

16 MR. KENNEDY: Okay.

17 MR. ROBERTS: ... but the actual responsibility for control
18 of that, my responsibility may be to be having the system
19 in place. I may even end up generating the reports yet but
20 that's yet to be resolved, but the actual accounting for that
21 would fall back to the responsibility of the individual
22 business unit managers in each division.

23 MR. KENNEDY: So does the JD Edwards system allow for
24 the tracking of the FTEs or is this another effort that Hydro
25 has to make in order to ...

26 MR. ROBERTS: I really can't answer that one yet. There
27 are a lot of things that are in JD Edwards that, from my
28 perspective, we can utilize and we are endeavouring to
29 utilize as much as we can as quickly as we can do the
30 investigation and see if it's doing what we require.

31 MR. KENNEDY: Okay. In **Grant Thornton's Report, I**
32 **believe it's their 2001 report**, and take it out because I will
33 be referring to it in a bit more detail for some other topics,
34 so if you wanted to get it handy. Okay. There was noted
35 in the Grant Thornton Report that Hydro has struck a new
36 division of, which is the IS&T Department, that would have
37 been struck in 2000.

38 MR. ROBERTS: It's not a separate division.

39 MR. KENNEDY: Okay.

40 MR. ROBERTS: It's the new department that combines our
41 Telecontrol and what we refer to as MIS, which was our
42 Management Information Systems Departments into one,
43 and it's now called IS&T, Information Systems and
44 Telecontrol.

45 MR. KENNEDY: Okay.

46 MR. ROBERTS: So it is a new department that falls
47 underneath the Vice-President of Production.

48 MR. KENNEDY: Would the establishment of a new
49 department by Hydro have an impact on how the costs
50 associated with, say, a given employee with Hydro that
51 worked in one department at one point and now works with
52 the IS&T Department, would that have an impact on the
53 tracking of costs from year to year?

54 MR. ROBERTS: Looking back at history, when you're
55 comparing, if you don't know that that change has taken
56 place, you may find that costs in a particular division have
57 gone up or down and I think there are some examples of
58 that because I think if you go back far enough into some of
59 these reports, the old Management Information Systems
60 used to be in Finance and then it got moved, so, and I think
61 Mr. Brushett through the Grant Thornton Reports has
62 indicated at times that there has been some of these
63 organizational changes that have taken place, and what we
64 have endeavoured to do is that, because of the old system,
65 but even with our new system, we're able to re-state so that
66 you can have a comparative basis on a go-forward basis so
67 that you can literally go in and take all these costs in those
68 particular centres and reclassify the history so that you can
69 do on a comparative on a go-forward basis.

70 MR. KENNEDY: Okay. So Grant Thornton has noted, for
71 instance, that there's been a number of code of account
72 changes made in the year 2000 which affected the way
73 certain costs were tracked for materials and supplies, for
74 instance.

75 MR. ROBERTS: Yes, there was a change in the way that we
76 reported costs commencing in 2000, and that was directly
77 related to the way that items were coming out of inventory
78 and being recorded to these costs.

79 MR. KENNEDY: But if you look at the 2001 report at page
80 29, the second last paragraph commences with the word
81 "increases." "Increases noted in the lubricants, gasses and
82 chemicals account in the Human Resources and Legal
83 Divisions for 2001 and 2002 are due to the account code
84 restructuring introduced in the spring of 2000. All
85 inventory and non-inventory items that fall under the
86 object code gasses, lubricants and chemicals are now
87 recorded to the lubricants, gasses and chemicals account."
88 And I ...

89 MR. ROBERTS: Yes.

90 MR. KENNEDY: That's one for the accountants obviously.
91 The distinction fails me but this would be an example of
92 some sort of change in your coding of accounts, that it has
93 an impact on which department gets associated with a
94 cost?

95 MR. ROBERTS: No, it doesn't affect the department. Just
96 it affected where the accounts were being reported.

97 MR. KENNEDY: Okay.

1 MR. ROBERTS: So they're still correct within the
2 department except now instead of being down in lubricants,
3 gasses and chemicals down in miscellaneous, now it's up
4 into materials maintenance.

5 MR. KENNEDY: Okay. There was one oddity at the
6 bottom of that paragraph in addition to the code
7 restructuring, roof repairs scheduled for 2001 and 2002, to
8 Hydro Place that account for another portion of the
9 increase in Human Resources and Legal Division, and I
10 don't know if there's any significance to the fact that the
11 Legal Division needed a new roof, but ...

12 MR. ROBERTS: If I may, the Human Resources and Legal
13 Division have responsibility for Materials Management and
14 within Materials Management they have responsibility for
15 Hydro Place.

16 MR. KENNEDY: So they may not have been necessarily at
17 fault for why there needed to be a new roof, just ...

18 MR. ROBERTS: That's right.

19 MR. KENNEDY: ... associated with the cost of it.

20 MS. GREENE, Q.C.: I need a new (inaudible).

21 MR. KENNEDY: And there's been a number of questions
22 to some of the witnesses concerning the tracking of some
23 of these costs, as you're aware, Mr. Roberts, and, for
24 instance, if we could look at **RH-1**, Mr. O'Rielly. It was an
25 exhibit that was passed out. As I understand it, the RH-1
26 was the original production of the net operating expenses
27 and in the comparison of 2001 to 2002 but then when there
28 was an attempt to try to compare these figures to 2001, the
29 evidence of the Hydro witness was, well, they're not
30 comparable, apples to apples, because there's been a
31 number of code of account changes, and so then there was
32 a filed **RH-2**, and I wonder if we could just go to that, Mr.
33 O'Rielly. And this was an attempt to do a reconciliation of
34 some of the code of account changes ...

35 MR. ROBERTS: That's correct.

36 MR. KENNEDY: ... that impacted those figures?

37 MR. ROBERTS: Yes.

38 MR. KENNEDY: And if I'm gathering correctly from RH-2,
39 the impact of those code of account changes, just so we're
40 clear, it's not additional expense, it's just the reallocation of
41 expense.

42 MR. ROBERTS: Just a different method of where they are
43 being reported rather than down to the other accounts.

44 MR. KENNEDY: And that the amount of the reallocation
45 was \$1.4 million.

46 MR. ROBERTS: That's correct.

47 MR. KENNEDY: And so from that perspective the impact
48 of \$1.4 million was 17 percent of the total balance for that
49 particular expense item under that line. It's a fairly
50 significant change that this change in code of accounts
51 had on the expenses associated with system equipment
52 maintenance, for instance, agreed?

53 MR. ROBERTS: Oh, yes.

54 MR. KENNEDY: Yeah.

55 MR. ROBERTS: Certainly increase ...

56 MR. KENNEDY: And similarly **DWR-1**, given a similar
57 analysis for the TRO ...

58 MR. ROBERTS: That's correct.

59 MR. KENNEDY: I don't think that's ... **DWR-5**, I'm sorry,
60 Mr. O'Rielly. And that in this case the code of account
61 change to the TRO system equipment maintenance was
62 \$1.76 million.

63 MR. ROBERTS: Yes.

64 MR. KENNEDY: And that was 20 percent of the overall
65 balance of the actual account. So these code of account
66 changes may not be just minor or insignificant in nature but
67 could have a dramatic impact on the total costs associated
68 with a particular department. And you'll agree with me then
69 that it makes it very ...

70 MR. ROBERTS: If I may ...

71 MR. KENNEDY: Yes, yeah.

72 MR. ROBERTS: ... it didn't change the total cost by the
73 division or maybe not even by their department, it just
74 changes to where they were disclosed by that department.

75 MR. KENNEDY: Absolutely.

76 MR. ROBERTS: So ...

77 MR. KENNEDY: But it makes it exceedingly difficult, you'll
78 agree, to compare the 2001 TRO system equipment
79 maintenance to the 2000 unless you're aware of this change
80 that's been made to the code of accounts.

81 MR. ROBERTS: Yes.

82 MR. KENNEDY: Okay. I'm wondering from a process sort
83 of oriented perspective, process for the application itself,
84 wonder if there's a method that could be employed by
85 Hydro that would, from this perspective, from tracking
86 costs from year to year so that those comparisons can be
87 easily made, whether it's appropriate for Hydro to keep
88 some sort of base year and then following which any
89 changes to the code of accounts that would impact on the
90 allocation of costs from within different departments could
91 be ignored for at least the purposes of looking at what the
92 overall costs are for a full department. Is that possible?

1 MR. ROBERTS: I guess my comment would be is that this
2 is not a normal item that we have done. This was driven by
3 the situation of, with the implementation of our new
4 systems. We were finding in the case of property
5 maintenance, we had items in our inventory that were used
6 both for maintenance in a particular operating plant as well
7 as on our property, i.e., our buildings and grounds and
8 things like that. The problem that we ran into is that the
9 inventory system is coded to go to one account. The only
10 other alternative was that every time a transaction and a
11 piece of plywood, as an example, came out, somebody had
12 to keep overriding the system and spending that manual
13 effort to change the account code, so the simplest way was
14 for us to go the way that the system was designed and
15 move these things to Materials Management and put them
16 into Materials Maintenance in those particular sections.
17 The availability to a business unit manager who has
18 responsibility for these items doesn't change what he has
19 as control to do this because of the fact that he will raise
20 work orders to track these costs. So from a control
21 perspective there is nothing lost. What comes up in this
22 particular case is that the report that's produced didn't re-
23 state or estimate what the re-statement would be for '97 ...
24 well, '97 wasn't affected ... '99 or 2000. With hindsight, that
25 could have been done, but I think the point is you have to
26 stop somewhere ...

27 MR. KENNEDY: I appreciate that.

28 MR. ROBERTS: ... and we can't keep looking back and
29 saying what if, because the longer it goes the harder it
30 becomes, so you have to adopt the change and if you can
31 re-state to make it comparable, that's fine; if you can't, but
32 you got to cut the cord.

33 *(10:45 a.m.)*

34 MR. KENNEDY: And your own professional opinion,
35 what's a reasonable period of time in which you would
36 consider to be a review period for doing a year-to-year
37 comparison, a three-year period, a five-year period?

38 MR. ROBERTS: I'm not sure I follow what you mean by
39 doing a review.

40 MR. KENNEDY: Well, put it this way, if I wanted to
41 compare 2002, well say that Hydro does come back in 2003
42 and you're looking at the expenses and you're looking at
43 2002's expenses and you want to compare them to previous
44 years, would a, from your professional position, would a
45 looking back three-year period be appropriate, a five-year
46 period, for a company such as Hydro?

47 MR. ROBERTS: I don't think there's a magic rule as to what
48 it would be. I think it's a judgement call in all cases as to
49 how far back history will help you. It may be used as a
50 guideline. Back two or three years ... once you start

51 moving outside of the two or three years, you're getting
52 stale data. It's the same thing as moving forward, trying to
53 guess out past one or two years ...

54 MR. KENNEDY: Looking back in 1992 provides little
55 assistance, for instance, to everybody potentially.

56 MR. ROBERTS: It gives you some information but how
57 valuable that is to you ...

58 MR. KENNEDY: Sure. But what I'm ... when Hydro is there
59 in 2003 and one were to look back at 2002 expenses and
60 compare them to, try to compare them to 2001 and 2000 and
61 1999, for instance ...

62 MR. ROBERTS: I wouldn't be going back. I wouldn't be
63 going back past 2001 because, as I say, you're getting old
64 information.

65 MR. KENNEDY: But that's only one-year comparison then,
66 2001 to 2002.

67 MR. ROBERTS: Well, you would have 2001, 2002. You
68 would have 2003 and ...

69 MR. KENNEDY: Wait a minute.

70 MR. ROBERTS: ... (inaudible) 2004 ...

71 MR. KENNEDY: The 2003 ...

72 MR. ROBERTS: ... is the test year.

73 MR. KENNEDY: Okay. The 2003 would be an estimate. So
74 if I wanted to compare ...

75 MR. ROBERTS: Depending on your point in time ...

76 MR. KENNEDY: If I wanted to compare ...

77 MR. ROBERTS: ... it may reflect some actuals as well as a
78 ...

79 MR. KENNEDY: There may be a pro forma ...

80 MR. ROBERTS: ... forecast for the balance of the year.

81 MR. KENNEDY: But if I wanted to review complete actuals
82 for completed financial years, I would have 2002, 2001, so
83 I'd only have one-year comparison, which would be two
84 dots on my graph, going to be a straight line but it's not
85 going to really show me a trend, is it?

86 MR. ROBERTS: Well, if you go back, 2000 will be
87 comparable to 2001.

88 MR. KENNEDY: Right, okay.

89 MR. ROBERTS: Okay. So ...

90 MR. KENNEDY: But are there code of account changes
91 being made by Hydro in 2001, for instance, that are going
92 ...

93 MR. ROBERTS: No.

1 MR. KENNEDY: ... to make it difficult for me to compare it
2 to 2000?

3 MR. ROBERTS: Not that I'm aware of.

4 MR. KENNEDY: So the department change of the IS&T,
5 for instance ...

6 MR. ROBERTS: Doesn't change the reporting.

7 MR. KENNEDY: Okay.

8 MR. ROBERTS: All the IS&T as a department is still intact,
9 so if you said to me you want to look at IS&T costs last
10 week, last month or two years from now, the way that the
11 accounts are structured in the business unit, that
12 information can still be hauled together no matter where it's
13 reporting and provided to you as a particular department.

14 MR. KENNEDY: Okay. So in 2003 there should not be any
15 difficulty in comparing 2002 to 2001 to 2000, insofar as code
16 of account restructuring is concerned.

17 MR. ROBERTS: As of this point in time there is no plans,
18 and believe me after going through this one, I'll be hard-
19 pressed to make another change, there is nothing planned
20 that would warrant a change from the way that we're
21 reporting right now, and we should be able to, if we're here
22 in 2003, go back to at least 2000 on these particular
23 accounts and compare the same things, and some of the
24 other accounts you can, would be able to go back longer.
25 It's just a function of what accounts were affected.

26 MR. KENNEDY: Okay.

27 MR. ROBERTS: Like, for instance, if I may, the travel
28 account, it's still travel. It hasn't been changed.

29 MR. KENNEDY: Yeah.

30 MR. ROBERTS: And it's unfortunate that these were there
31 but they were done for an efficiency reason of having to,
32 do you re-code 50,000 part items every time you take an
33 item out of inventory or do you leave the system intact and
34 let it flow through, because you do have a (inaudible)
35 system that is able to still be able to track the costs for you
36 if you so desire.

37 MR. KENNEDY: And if circumstances changed and Hydro
38 decided that for its own purposes of efficiency, operational
39 or otherwise, that it needed to make a code of account
40 change from some point subsequent to this date, that, if I'm
41 gathering you correctly, it wouldn't be an undue burden to
42 place on Hydro to ensure that it was able to track the
43 changes so that in 2003 it would still be, parties would still
44 be able to make comparisons from 2002 to 2001 and 2000.

45 MR. ROBERTS: As long as there is a cut point, that you
46 don't keep doing this forever, what if.

47 MR. KENNEDY: So, and that's why I was asking you
48 about the periods of time which you would consider in
49 your professional opinion to be a reasonable amount of
50 time to do those year-over-year comparisons, three years,
51 five years. Where would you want ...

52 MR. ROBERTS: That's what I say, it's difficult to be that
53 precise. It's really a function of the costs that you're
54 looking at and what it really means.

55 MR. KENNEDY: What, the costs it's associated with.

56 MR. ROBERTS: Yes.

57 MR. KENNEDY: Okay. Chair, that's probably an
58 appropriate time to break. I'm just about to start another
59 topic and I don't think I'd get through it in six minutes, so
60 ...

61 MR. NOSEWORTHY, CHAIRMAN: Thank you. We'll
62 reconvene at 10 after.

63 (break)

64 (11:10)

65 MR. NOSEWORTHY, CHAIRMAN: Thank you, very
66 much. Mr. Kennedy, do you still have some questions on
67 your cross-examination?

68 MR. KENNEDY: Yes, Chair. It's just a couple of more topic
69 areas, Mr. Roberts. The first thing I wanted to just cover
70 with you is the issue of professional fees. And I think a
71 good place to start there is the Grant Thornton 2000 report,
72 Mr. O'Rielly, and specifically, page 21. Page 21. Actually,
73 if you can flip back to just page 20 first. The last paragraph
74 on page 20, Grant Thornton noted that the professional
75 services expense category has exhibited a significant
76 upward trend over the past four years, 64 percent increase
77 from 1996 to 2000, and then over on page 21 is the list of
78 expenses for during 2000, and I realize that you're not
79 directly responsible for the budget perspective for
80 professional fees, outside of your own department, that is?

81 MR. ROBERTS: That's correct.

82 MR. KENNEDY: But you'd acknowledge, would you, that
83 a 64 percent increase in professional fees from 1996 to the
84 year 2000 would require some scrutiny and raise some
85 questions as to the costs associated in this particular
86 budget item?

87 MR. ROBERTS: Yes.

88 MR. KENNEDY: And would you agree with me that in the
89 case of the professional fees that many of the items in, for
90 instance, this year 2000 are discretionary in nature? In
91 other words, they're one offs, they're projects that were
92 completed in the year 2000 but won't be repeated in 2001,
93 for instance?

94 MR. ROBERTS: Some of those projects are in that category

1 but there are some ...

2 MR. KENNEDY: Some are ongoing ones?

3 MR. ROBERTS: Some are ongoing. As an example, the
4 second one on the page, the audit services.

5 MR. KENNEDY: Right. Or the annual report fees?

6 MR. ROBERTS: Will continue on. You'll find the same
7 thing in production when you're dealing with the monthly
8 consulting services at Holyrood, but there will be some that
9 will come up one year that won't be there the next year, but
10 they may be replaced by something else.

11 MR. KENNEDY: The Hydro strategic planning initiative,
12 for instance, may be a discretionary item in that it's not
13 likely to be repeated again in 2001?

14 MR. ROBERTS: That's correct.

15 MR. KENNEDY: And the TRO proposal for a management
16 environmental system of \$28,000 or a proposal for an
17 environmental audit system of \$28,700 are discretionary
18 items in the sense that they're not likely to be repeated in
19 2001?

20 MR. ROBERTS: Similar costs may not be repeated in 2001,
21 but as a result of those you may trigger additional costs in
22 the environmental area. It may not be a professional
23 service, though.

24 MR. KENNEDY: Right. Can you tell me, you, as the
25 Controller of Hydro, do you feel that there are adequate
26 budgetary controls in place to ensure that the professional
27 fees are kept under control and that any unnecessary costs
28 are being voided in this particular expense item?

29 MR. ROBERTS: In my opinion, based on the review
30 process that we have in place, then it is justifying these
31 particular costs as they come up through the ranks within
32 the various divisions, and then eventually to the
33 management committee during their review in June of each
34 year. Management still reserves that final decision, even
35 though those reviews have been done in the individual
36 divisions up to and including the vice-president level.
37 Management still reserves and does exercise that right to
38 question the level of cost there and whether or not there is
39 still a possibility that some items can be shifted from one
40 year to a next, the same as it would do with just about any
41 costs that's within a particular budget.

42 MR. KENNEDY: And so within these expenses there
43 would be issues as to, for instance, whether to complete a
44 project in a particular year as opposed to postponing it for
45 another year, or whether a study could be done by internal
46 resources as opposed to being hired by outside
47 consultants, that they're issues that need to be determined
48 in ...

49 MR. ROBERTS: Most of those issues would be determined
50 well before the management committee, would be back to
51 the business unit level of saying do we have the internal
52 resources to do this, do we have the expertise in the house
53 to do it, and if we don't and if it's still required then we have
54 no other choice but to go outside.

55 MR. KENNEDY: So would you, as a controller, have any
56 involvement in scrutinizing these costs and determining
57 their appropriateness or providing indications to
58 management that this particular budget item has seen a
59 fairly significant increase in the period 1996 to 2000?

60 MR. ROBERTS: I have access to all this information at
61 every single business unit level. In the presentations that
62 are done to the management committee for budget reviews
63 the budget reviewing information shows, first of all, the
64 corporation as a whole, which is very similar to what you're
65 seeing in my revenue requirement of looking at
66 professional services for the Company in total. And we
67 would provide commentary saying, as an example, that if
68 professional services went up \$1 million, here's the
69 contributing factors that we could determine caused that,
70 so at that very high level of report it's done to the
71 management committee to get their attention towards the
72 issues that we have identified. Once that is done ... and
73 that presentation could be anywhere from an hour to two
74 hours, could be half an hour, depending on the issues that
75 are being raised in our high level summary that we would
76 provide. The management committee then will review each
77 division by itself and avail of that opportunity to have the
78 vice-president justify as to why these particular costs are
79 to be recorded for this particular year.

80 MR. KENNEDY: So is that a top down initiative? In other
81 words, do you, as controller, track the expense item and
82 when you note a significant increase year over year or over
83 a period of years initiate a cautionary note, if you will, to
84 management about that?

85 MR. ROBERTS: Well, the reporting would provide some
86 history, going back at the previous year or maybe two
87 years, plus your budget, so that information is what we
88 would be advising management on and they would have
89 that report. We would just add a commentary to it, based
90 on our findings at a high level, as to here are some of the
91 contributing factors to this particular increase in cost for
92 this year.

93 MR. KENNEDY: I guess what I'm trying to get at, is do
94 you, as a controller, troll around the finances of Hydro and
95 try to pick out areas which may be of concern to
96 management in that the increase is significant year over
97 year, over a period of years?

98 MR. ROBERTS: Do I raise issues, yes.

1 MR. KENNEDY: Yes, okay.

2 MR. ROBERTS: I do.

3 MR. KENNEDY: And would this be an example of an issue
4 that you may raise as Controller that the professional fees
5 of Hydro have increased significantly as noted by Grant
6 Thornton during that period?

7 MR. ROBERTS: Well, I may be raising it in a different vein.
8 I may be raising it from the point of view of, to management
9 saying, for your information, included in this year's cost is
10 this project that you should be aware of, and I may express
11 my own opinion to management committee, which I will do,
12 as to whether or not, you know, if I have an opinion on it
13 whether or not I think, in my mind, there may be an option
14 or an alternative to delay or whatever.

15 MR. KENNEDY: So is there ...

16 MR. ROBERTS: So I'm not restricted in my comments, to
17 date.

18 MR. KENNEDY: No, fair enough. Is there a report, specific
19 report that you issue on an annual basis of your analysis
20 of Hydro's expenses ...

21 MR. ROBERTS: No.

22 MR. KENNEDY: ... in trying to earmark areas that may bear
23 more scrutiny?

24 MR. ROBERTS: In the information that we would provide
25 to management, in June of each year, would be the various
26 budget reports that they would look at and we would
27 provide a high level commentary looking at the corporate
28 numbers in total. For instance, if professional services had
29 increased by \$1 million we would highlight up front in that
30 commentary, what contributed to that particular increase.

31 MR. KENNEDY: I'd just like to move on to just another
32 topic, and assistance would be Schedule 1-A filed October
33 31, 2001, Mr. O'Rielly, and the line that I'm interested in is
34 line 39, Mr. Roberts, which is the interest expense line in
35 your revenue requirement.

36 MR. ROBERTS: Yes.

37 MR. KENNEDY: And when you look at the variance for
38 2002 between the as filed and these revised figures as per
39 October 31 the lone item of interest is the largest number of
40 them all, if you will, on the variance from between what was
41 filed originally and what's being filed as of October 31, and
42 the footnote 27 provides the explanation of that, and the
43 net of one ... the stated figure of \$1,763,000 is actually a net
44 of a number of things?

45 MR. ROBERTS: That's correct.

46 MR. KENNEDY: And one of them is the decrease mainly
47 due to lower interest rates, \$2,280,000?

48 MR. ROBERTS: Yes.

49 MR. KENNEDY: Could you, first, just give me an
50 explanation of and sort of a general view of why the
51 interest rate is lower by \$2,288,000?

52 MR. ROBERTS: Our treasury department, in redoing the
53 2001 and the 2002, used more current information on
54 interest rates, and based on those new rates, combined
55 with changes in cash flow arising from a more up-to-date
56 situation in 2001 resulted in that decrease in interest
57 expense.

58 MR. KENNEDY: So it's a combination of lower interest
59 and, presumably, improved cash flow?

60 MR. ROBERTS: There's a change in the cash flow and
61 there's a change in interest rates, and there was also a
62 decision made that in the original application we were
63 going to have a total long-term debt issue of a total of \$300
64 million. In the revised we are going with \$250 million long-
65 term and keeping an extra ... shouldn't say an extra.
66 Keeping part of the \$50 million that was originally planned
67 to go long-term as short.

68 MR. KENNEDY: Okay.

69 MR. ROBERTS: So that has also contributed to the
70 reduction in the interest rate.

71 MR. KENNEDY: And that decision, I take it, is borne in
72 part by the lower interest rates on short-term money?

73 MR. ROBERTS: That was all items that were considered by
74 our treasury department when they were redoing their
75 interest drawn and their financing proposed for 2002.

76 MR. KENNEDY: Just to follow-up then with a question in
77 one of the earlier areas that I covered regarding the \$300
78 million cap on the Hydro short-term borrows.

79 MR. ROBERTS: Yes.

80 MR. KENNEDY: Is there, as far as you're aware, been any
81 initiative either taken or contemplated by Hydro to increase
82 that cap to request government to increase the \$300 million
83 cap on short-term borrows?

84 MR. ROBERTS: I'm not aware of any request to increase
85 the cap.

86 MR. KENNEDY: Okay. As a controller of the Company
87 would you, if that cap was increased from 300 million to
88 some greater figures, would that provide Hydro with
89 greater flexibility on its short-term borrowings than it
90 presently has?

91 MR. ROBERTS: I guess it's an area that's difficult for me to
92 answer because I'm not involved in the day-to-day
93 operations, and the planning and the information that's
94 done through treasury looking at future market conditions,

1 future interest rates, where's our current cash position ...

2 MR. KENNEDY: That would be a question for Mr. Osmond, perhaps?

3

4 MR. ROBERTS: You can put it to Mr. Osmond because the

5 treasury reports to him the same as I do.

6 MR. KENNEDY: Alright, we'll get Mr. Osmond to answer

7 that one. I'm wondering though if you could ... in response

8 to **NP-81** Hydro provided some detailed calculations on the

9 interest rate projects for 2001 and 2002?

10 MR. ROBERTS: Yes.

11 MR. KENNEDY: I'm wondering if this **NP-81** could be

12 revised to reflect the new interest as per your October 31,

13 2001 filing?

14 MR. ROBERTS: Yes, it can.

15 MR. KENNEDY: Okay. I wonder if I could have that

16 undertaking, counsel for Hydro?

17 MS. GREENE, Q.C.: Yes. That won't be available today.

18 MR. KENNEDY: No, that's fine. I understand.

19 MS. GREENE, Q.C.: If there's questions Mr. Osmond could

20 respond to them.

21 MR. KENNEDY: Okay, that's fine. Thank you. Similarly,

22 **NP-87**, Hydro, in response to a question, provided details

23 of the calculation of its interest expense for 2002,

24 identifying the long-term debt by issuing the applicable

25 short-term debt?

26 MR. ROBERTS: Yes.

27 MR. KENNEDY: And this is a particularly difficult

28 document to look at in electronic form. It's almost like a big

29 blur. The hard copy is marginally better as the numbers are

30 rather small, but could you in turn provide a revised

31 calculation of the interest expense tying into the total of

32 \$9,821,000 at line 39 of that Schedule 1-A, the calculation

33 pursuant to **NP-87**?

34 MR. ROBERTS: So you want **NP-87** revised ...

35 MR. KENNEDY: Revised.

36 MR. ROBERTS: ... to reflect. I don't see any difficulty in

37 providing that.

38 MR. KENNEDY: Okay. If we could get that, as well,

39 Counsel?

40 MS. GREENE, Q.C.: Uh hum.

41 MR. KENNEDY: Thank you. Just while we're on interest,

42 Mr. Roberts, there's been some questions referencing this

43 regulated interest coverage calculation and that's, as I

44 understand it, one of the calculations is tied to the cost of

45 service?

46 MR. ROBERTS: That's correct.

47 MR. KENNEDY: Will you agree with me though that that

48 regulated interest coverage calculation is a product of how

49 Hydro used to be regulated on interest coverage?

50 MR. ROBERTS: That's correct.

51 MR. KENNEDY: And that going forward that really the

52 only relevant interest coverage calculation is the one that

53 the bond rating agencies use themselves? Is that fair to

54 say?

55 MR. ROBERTS: No. I still think Hydro, as a corporation,

56 will still calculate and continue to calculate an interest

57 coverage. It does not report this regulated interest

58 coverage except to the Public Utilities Board, but it does

59 calculate a corporate interest coverage, and I see absolutely

60 no reason why we wouldn't continue to do that. From a

61 regulatory perspective, the calculation of a regulated

62 interest coverage is ...

63 MR. KENNEDY: It's no longer relevant?

64 MR. ROBERTS: It's not relevant. It's something that could

65 be done if the Board so decided that it would like to have

66 it, but it's not a requirement. The key now is that return on

67 rate base because that's really what controls the situation.

68 MR. KENNEDY: I have a couple of questions, Mr. Roberts,

69 on non-regulated expenses, and Ms. Butler reviewed some

70 of these items with you. I have though a couple of other

71 questions. One relates to Hydro's corporate

72 communications plan. I wonder if we could turn to **NP-286**,

73 Mr. O'Rielly?

74 MR. ROBERTS: \$75,000.

75 (11:30)

76 MR. KENNEDY: And the question was in reference to

77 page 135 in the report of Grant Thornton, LLP, on

78 Newfoundland and Labrador Hydro's 2001 rate hearing. "In

79 your opinion, should the communication plan advertising

80 of \$75,000 be a regulated cost or is the nature of the plan

81 one of corporate promotion, and therefore, should be

82 chargeable to non-regulated accounts." And the reply by

83 Hydro was "It is our understanding," which I'm just curious

84 why, any idea why it would be phrased "It is our

85 understanding" seeing how it's Hydro's communication

86 plan that's ...

87 MS. GREENE, Q.C.: It's not actually a reply of Hydro.

88 MR. KENNEDY: Oh, I beg your pardon. This was a

89 reference to Grant Thornton?

90 MS. GREENE, Q.C.: Yes.

1 MR. KENNEDY: I'm sorry. Right, okay, so that's where I
2 got turned around, but the reply then by Grant Thornton
3 was that the purpose of the communication plan is to
4 strengthen Hydro's corporate image with their external and
5 internal stakeholders, effectively communicate internally
6 and externally, enhance employee effectiveness and build
7 closer relationships with communities and their customers,
8 and then ... so that's correct. In Grant Thornton it says, "In
9 our opinion, the nature of the communication plan is one of
10 corporate promotion and should be considered a non-
11 regulated expense." As the controller responsible for
12 tracking regulated versus non-regulated expenses, Mr.
13 Roberts, I'm wondering if you agree with that position and
14 whether you would agree that the corporate communication
15 plan should be treated as a non-regulated expense?

16 MR. ROBERTS: I guess the issue is whether or not you
17 consider changing our relationships with our customers to
18 be an enhancement of corporate image or if it's designed
19 towards and awareness of who Hydro is and what it does,
20 so I guess I'm looking at it from the point of view, and I
21 know I'm not answering your question directly, I look at it,
22 from my perspective, the final decision is going to be made
23 by this Board on this \$75,000 item. Through the whole
24 strategic planning process in Hydro it has been identified
25 that communications, even among our own employees, do
26 need improvement, and employees have expressed that to
27 the corporation. This cost of \$75,000 is to provide some
28 assistance from a consultant in how we can change that
29 and also recognize that Hydro has to increase its level of
30 understanding with some of its various customers relative
31 to the communities in which we serve as to what Hydro is,
32 what it does, and fully understand that issue.

33 MR. KENNEDY: Okay. You'll agree with ...

34 MR. ROBERTS: So it's not to be sponsoring the six o'clock
35 news or the seven o'clock NTV news, or whatever the case
36 may be. It's an awareness primarily aimed towards our own
37 employees understanding more about the organization and
38 how it works and also to enhance our relationship with our
39 customers too.

40 MR. KENNEDY: Okay, so clearly it doesn't deal directly
41 with safety?

42 MR. ROBERTS: Safety will probably be part of it.

43 MR. KENNEDY: Indirectly?

44 MR. ROBERTS: I guess at this point, until the study is
45 done, and I don't know what the results are going to be, but
46 safety in the communication plan that will be developed out
47 of this. Safety would certainly be one of the aspects of it,
48 are we doing the right things in the right times and
49 communication and the word there.

50 MR. KENNEDY: For instance, in your advertising

51 expenditures, the Hydro advertising, there's an RFI which
52 provides a rather lengthy list of ...

53 MR. ROBERTS: 188 pages.

54 MR. KENNEDY: Of every advertising place by Hydro, and
55 was there any attempt to go through that in electronic form
56 to determine what advertising was, corporate priming, if
57 you will, versus what advertising was for safety or
58 reliability or the provision of electricity?

59 MR. ROBERTS: Historically in Hydro we have not
60 advertised. The majority of those costs in that are to deal
61 with planned outages, notices of things happening along
62 that lines, advertising for staff. It has not been a pure
63 advertising, in my mind. There may be the odd cost in
64 there for putting a notice in the paper saying this is safety
65 week, the same as most other companies would do, and
66 here is the power commitment or whatever the safety
67 message is for that particular year, but the majority of those
68 costs would be directly related to operations.

69 MR. KENNEDY: Okay, but if I'm gathering correctly,
70 there's no ... and I think this has been established, a written
71 policy in place that would guide you, as a controller, in
72 making a determination on an expense by expense item, like,
73 for instance, the communications plan item of \$75,000 to
74 determine whether it should be booked as a non-regulated
75 versus a regulated expense?

76 MR. ROBERTS: There's no written policy. The incurrence
77 of that cost would go through the still budget proposal,
78 operating budget scenario and would go to management,
79 and the decision, unless so ordered by the Board, or unless
80 Hydro internally itself decides that we feel this is not a
81 regulated cost, then it would just go through the same as
82 any other cost.

83 MR. KENNEDY: And that's done on a discretionary basis
84 just applying your own unwritten rules about what should
85 be treated as a regulated versus a non-regulated expense?

86 MR. ROBERTS: I think some of these are sort of like
87 straightforward issues ...

88 MR. KENNEDY: Some of them speak for themselves?

89 MR. ROBERTS: The grey issues would be discussed,
90 either within a division or raised to management.

91 MR. KENNEDY: Just one further question on the non-
92 regulated expenses. This is an item that shows up annually
93 in Grant Thornton's annual reports, Mr. Roberts, and I
94 wonder if I could just get your comment on it. It's a small
95 item, but one that seems to be going unaddressed by
96 Hydro, and if you turn to Grant Thornton's 2000 report, Mr.
97 O'Rielly, on page 22? It's in the paragraph just before
98 equipment rentals, and it's "Similar to our 1999 findings we
99 noted during our review of the travel accounts that

1 management travel include several payments for spousal
2 travel costs. While these items are accepted practice by
3 Hydro, we believe that it's not prudent to include
4 expenditures of this nature in the revenue requirement."
5 And that was noted again at 2001, so it's an expense that
6 was booked by Hydro as a regulated expense in 1999 and
7 then again in 2000 and again in 2001 despite these
8 comments by Grant Thornton, so I'm wondering if you
9 could provide an explanation as to why the Grant Thornton
10 recommendation is being ignored in this regard?

11 MR. ROBERTS: We don't budget specifically for this
12 particular type of cost, but we, as a corporation, recognize
13 that it may happen and it probably does, as you can see
14 from this report, and we haven't adjusted the revenue
15 requirement by that amount.

16 MR. KENNEDY: But can you tell me why, despite Grant
17 Thornton's comments in 1999, 2000 and 2001, there hasn't
18 been an adjustment made by Hydro to ensure that spousal
19 travel costs are not part of the revenue requirement?

20 MR. ROBERTS: All I can tell you at this point is that we
21 haven't made an effort to identify those costs and eliminate
22 them.

23 MR. KENNEDY: The last item I have, Mr. Roberts, is just
24 a very brief one concerning the contingency fund. You
25 received some questions from counsel about the use by
26 Hydro of the contingency fund, and there was a question
27 concerning what its original purpose was, and for your
28 assistance I've gotten an excerpt from a Board decision **PU-**
29 **31**, 2000, 2001. And if I gathered correctly, Mr. Roberts,
30 you seemed to be, at the time, a bit unclear as to what the
31 direction was by the Board concerning the use of the
32 contingency fund, or is that an unfair statement? And I
33 guess I'm drawing to your attention now **PU-31**, and I'm
34 wondering ... and at paragraph 7 of **PU-31** the direction of
35 the Board was, "As part of its quarterly capital expenditure
36 reports to the Board in 2001 the Applicant will provide an
37 itemized listing of the amounts allocated to the contingency
38 fund, including a description of the projects, the amount
39 spent on each project, any future commitments and the
40 reasons why there was an exigency requiring the use of
41 funds." Does that improve your understanding of what the
42 purpose of the contingency fund was and under what
43 conditions it was to be used by Hydro?

44 MR. ROBERTS: That was my understanding of the
45 reporting mechanism that was put in place based on the
46 order that was obtained on the 2001 capital budget.

47 MR. KENNEDY: And that the contingency fund is to be
48 used for, not for purposes of discretionary projects, but to
49 be used for projects that are required to be used, that
50 would be implied by the exigency requiring the funds, the
51 conditions under which why these funds are being required

52 to be used?

53 MR. ROBERTS: Yes, and full reporting, as I understand it,
54 is being done to the Board for the items that are being used
55 there.

56 MR. KENNEDY: I have one more question, sorry, Mr.
57 Roberts. There was some testimony about the billing
58 relationship between Hydro and Newfoundland Power, and
59 this was on the lead lag analysis?

60 MR. ROBERTS: Yes.

61 MR. KENNEDY: And your counsel provided an indication
62 to the Board that there was, in fact, no written contract in
63 place between Hydro and Newfoundland Power at the
64 present time and that there's been a continuation of the
65 agreement between the two parties and there is an
66 undertaking outstanding regarding what that
67 understanding is. From a controller's perspective, this is a
68 client that Hydro bills a total of some \$270 million in the run
69 of a year?

70 MR. ROBERTS: Yes.

71 MR. KENNEDY: It's your one biggest customer?

72 MR. ROBERTS: Yes.

73 MR. KENNEDY: It constitutes 70 percent of your total
74 revenue?

75 MR. ROBERTS: Yes.

76 MR. KENNEDY: Would you, as a controller, consider it
77 appropriate to bill a customer of that size on a more
78 frequent basis than monthly?

79 MR. ROBERTS: Would I consider it? Consideration could
80 certainly be given, but it would have to be in consultation
81 with our customer as to what's required. The actual
82 invoicing to Newfoundland Power is not just one piece of
83 paper. There are multiple meter readings that have to be
84 obtained, calculations that have to be done in order to be
85 able to provide that information to ... provide that billing to
86 Newfoundland Power.

87 MR. KENNEDY: If the billing by Hydro to Newfoundland
88 Power was done on a more frequent basis it would decrease
89 the revenue lag, correct?

90 MR. ROBERTS: Depending on what the terms of payment
91 are as well. It's not just a simple matter of billing it.

92 MR. KENNEDY: If the payment terms were in lock step
93 with the billing terms?

94 MR. ROBERTS: It would have an impact on the revenue
95 lag.

96 MR. KENNEDY: And if it ...

1 MR. ROBERTS: If it could be increased.
2 MR. KENNEDY: ... decreased your revenue lag it would
3 decrease your working capital requirements, correct?
4 MR. ROBERTS: Yes.
5 MR. KENNEDY: And that would decrease your revenue
6 requirement?
7 MR. ROBERTS: Yes.
8 MR. KENNEDY: Those are all the questions I have, Chair.
9 Thank you, Mr. Roberts.
10 MR. ROBERTS: Thank you.

11 (11:45)

12 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.
13 Kennedy. Thank you, Mr. Roberts. We'll move now
14 directly to Hydro on redirect, Ms. Greene.

15 MS. GREENE, Q.C.: Thank you, Mr. Chair, and at this time
16 I will provide the list of undertakings from yesterday,
17 because I plan to take Mr. Roberts through those and
18 address them at this time.

19 MR. NOSEWORTHY, CHAIRMAN: Yes.

20 MS. GREENE, Q.C.: There were four undertakings provided
21 yesterday, and in the course of redirect we will be
22 addressing all four, so I do not plan to speak to them at this
23 time. Mr. Roberts, counsel for Newfoundland Power asked
24 yesterday with respect to the balances for inventory in
25 each of the months from December 2000 to present. Have
26 you had that prepared since yesterday?

27 MR. ROBERTS: Yes, I do.

28 MS. GREENE, Q.C.: And I have a copy of that to distribute
29 at this time, as well, and in terms of marking this, Mr.
30 Kennedy, would it be an undertaking or an exhibit? It is in
31 response to an undertaking to Ms. Butler.

32 MR. KENNEDY: We should perhaps label it then as an
33 undertaking so we can keep track of it, Counsel. That
34 would be **U-Hydro** number, I'm not sure. I'll wait for the
35 Board Secretary. That's **U-Hydro No. 25**, Counsel.

36 **EXHIBIT U-HYDRO NO. 25 ENTERED**

37 MS. GREENE, Q.C.: Mr. Roberts, could you just please
38 explain the schedule that's been distributed?

39 MR. ROBERTS: Yes. What we've done overnight is that
40 we've gone back through the financial records and
41 identified the supplies inventory balances starting in
42 December of 2000 and coming all the way forward and
43 including October of 2001. This represents only an 11
44 month average rather than a 13 month average, which is
45 what's being used in the calculation of the rate base, but as

46 you can see, based on the 11 months of results, using
47 actual information, the average is approximately \$20.8
48 million versus what we had used in the calculation, a rate
49 base of 21.1. It would not be unusual for Hydro over the
50 next couple of months to be increasing its inventory
51 slightly as a result of ensuring that adequate supplies are
52 on hand because of the winter season.

53 MS. GREENE, Q.C.: In your opinion, would it be necessary
54 to adjust the amount included in the 2002 forecast for
55 supplies inventory?

56 MR. ROBERTS: In my opinion, I wouldn't require any
57 further adjustment.

58 MS. GREENE, Q.C.: And that's because you expect the
59 balance to increase in the next two months, is that correct?

60 MR. ROBERTS: I would expect that the inventory will
61 change over the next couple of months.

62 MS. GREENE, Q.C.: The second area for questioning, Mr.
63 Roberts, concerns an undertaking, again, given to Ms.
64 Butler, and it related to the revised calculation of employee
65 future benefits for 2001 and 2002, and I have a schedule for
66 that to distribute at this time, as well.

67 MR. KENNEDY: Chair, that would be **U-Hydro No. 26**.

68 **EXHIBIT U-HYDRO NO. 26 ENTERED**

69 MR. NOSEWORTHY, CHAIRMAN: Thank you.

70 MS. GREENE, Q.C.: Mr. Roberts, now that everyone has a
71 copy of that could you just please briefly outline what is
72 shown on **U-Hydro No. 26**?

73 MR. ROBERTS: Yes. In an earlier RFI, based on the
74 original filing on a request from Newfoundland Power, we
75 had provided information on the components making up
76 the employee future benefits account that was recorded on
77 the balance sheet. In the revision for October 31 some of
78 these numbers were updated, as well as to make a
79 correction for interest, so on the schedule what we have
80 done is shown the individual year showing the as filed and
81 what the revised amounts now represent.

82 MS. GREENE, Q.C.: The third area for question on redirect,
83 Mr. Roberts, arises from an undertaking given to Mr.
84 Hutchings, and it related to the mill rate to the industrial
85 customers arising from the RSP adjustment. Now that the
86 September 30th balance is available have you had time
87 overnight to determine that?

88 MR. ROBERTS: Yes, we have.

89 MS. GREENE, Q.C.: And again, I have a schedule at this
90 time to distribute in response to that undertaking.

91 MR. KENNEDY: **U-Hydro No. 27**, chair.

EXHIBIT U-HYDRO NO. 27 ENTERED

1 MR. NOSEWORTHY, CHAIRMAN: Thank you.

2 MS. GREENE, Q.C.: Again, Mr. Roberts, would you please
3 explain what **U-Hydro No. 27** outlines?
4

5 MR. ROBERTS: The **U-27** outlines the status of the Rate
6 Stabilization Plan for the industrial customers as of the end
7 of September. Their balance and the calculations of mill
8 rate is based on the September balances rather than
9 December 31, which is what Newfoundland Power would
10 be. Their share of the plan, as of September the 30th, 2001
11 is approximately \$18.8 million. One third of that balance will
12 be recovered over the period commencing January the 1st,
13 2002, and based on the sales in gigawatt hours that
14 translates into a mill rate of 5.14 mils that will become
15 effective January the 1st of 2002.

16 MS. GREENE, Q.C.: The next question for you, Mr.
17 Roberts, arises from an undertaking provided to counsel,
18 Mr. Hutchings, for ... and it related to the payment terms
19 with Newfoundland Power. Can you please advise the
20 Board of what the practice has been with Newfoundland
21 Power for the payment of its invoices?

22 MR. ROBERTS: Yes. The practice with Newfoundland
23 Power is that their account is paid around the 20th of each
24 month.

25 MS. GREENE, Q.C.: I'd like now to turn to the 1985 PUB
26 report, which you will find under **CA-No. 6**, and you do
27 have to go to the hard copy for this. Yesterday, in
28 questions from the Consumer Advocate, Mr. Roberts, you
29 acknowledged that Hydro proposed the Rate Stabilization
30 Plan at the 1985 hearing, is that correct?

31 MR. ROBERTS: Yes, I did.

32 MS. GREENE, Q.C.: And I guess Mr. Browne asked you to
33 read certain references but he didn't ask you to read the
34 ones as to why Hydro was proposing it, and I'd like, for the
35 record, that we look at those. The first is at page 39 which
36 outlines what Hydro's submission on the Rate Stabilization
37 Plan was. I wonder, for the record, if you could read in the
38 first, well, certainly the first two sentences in the first
39 paragraph, please?

40 MR. ROBERTS: "Mr. Avery (phonetic) testified that Hydro
41 is proposing that a Rate Stabilization Plan be established to
42 replace the present water equalization provision. This plan
43 will help ensure that rates remain stable and certain over
44 the next two to three years. In addition, it will ensure that
45 consumers will benefit should favourable events result in
46 significant improvement in Hydro's financial position."

47 MS. GREENE, Q.C.: And then you see, Mr. Roberts, that
48 there is a description of what you also explained yesterday,
49 the water variation provision and the fuel cost variation

50 provision. Would it be correct to characterize those as
51 saying that they provided revenue stability to Hydro for
52 changes in water variation and fuel cost back when they
53 were in existence in 1985 and before?

54 MR. ROBERTS: Yes.

55 MS. GREENE, Q.C.: The next page I'd like to take you to is
56 page 42, and I'd ask you to read the first paragraph as
57 shown on page 42?

58 MR. ROBERTS: Commencing with Mr. Avery

59 MS. GREENE, Q.C.: Yes, that paragraph.

60 MR. ROBERTS: "Mr. Avery stated that overall Hydro
61 believes that the adoption of the proposed Rate
62 Stabilization Plan will stabilize rates to customers and
63 provide the certainty that has been missing over the past
64 few years."

65 MS. GREENE, Q.C.: And that was the Board's description
66 of Hydro's submission with respect to the RSP, and now I'd
67 like to turn to page 87, which is the Board's findings, and
68 here, if you could read the first paragraph on page 87,
69 please?

70 MR. ROBERTS: Yes. "The FAC varies from month to
71 month and is usually at its highest in the winter months."

72 MS. GREENE, Q.C.: If I could stop you there. What is the
73 FAC?

74 MR. ROBERTS: The FAC is the fuel adjustment charge.

75 MS. GREENE, Q.C.: And can you carry on, please?

76 MR. ROBERTS: Yes. "The elimination of the FAC will
77 mean that fuel costs will be reflected in higher basic rates
78 and will not vary from month to month between
79 adjustments made for the Rate Stabilization Plan and will
80 protect the consumers from the largest increase in the FAC
81 that occurred during the winter of 1984-1985."

82 MS. GREENE, Q.C.: To your knowledge, Mr. Roberts, have
83 there been public demonstrations with respect to the
84 electricity prices since 1985 as there were in '84 and '85?

85 MR. ROBERTS: No, there has not.

86 MS. GREENE, Q.C.: The last question that I have for you
87 arises from Mr. Kennedy's question on spousal travel, and
88 I wondered if you could advise the Board and the
89 (inaudible) as to the type of spousal travel that we're
90 talking about? For example, do members of the
91 management spouses travel to exotic locations such as the
92 Caribbean?

93 MR. ROBERTS: No, they do not. My information on this
94 is that at Christmas time it is customary for a member of the
95 management committee to attend a Christmas dinner

1 function in the area offices and the spouse of the particular
2 member of the management committee, or a designate of the
3 management committee, has taken their spouse with them.

4 MS. GREENE, Q.C.: And those Christmas functions, would
5 employees who live in the region who attend those
6 functions be attending those with their ... I was trying to
7 think of the diplomatic term for spouse ... spouse or
8 significant other.

9 MR. ROBERTS: Yes, they would.

10 MS. GREENE, Q.C.: Partner, thank you.

11 MR. ROBERTS: Yes, they would.

12 MS. GREENE, Q.C.: So that's the type of spousal travel, is
13 it?

14 MR. ROBERTS: Yes, it is.

15 MS. GREENE, Q.C.: Christmas parties or recognition
16 awards?

17 MR. ROBERTS: That's correct.

18 MS. GREENE, Q.C.: Thank you, Mr. Roberts. Those are all
19 my questions.

20 (12:00)

21 MR. NOSEWORTHY, CHAIRMAN: Thank you, very
22 much, Ms. Greene, Mr. Roberts. We'll move now to Board
23 questions and we'll begin with Commissioner Powell.

24 COMMISSIONER POWELL: It's hard to be politically
25 correct these days. Well, Mr. Roberts, thank you, very
26 much. You seem to have an understanding of the financial
27 where for all of Hydro.

28 MR. ROBERTS: Yes.

29 COMMISSIONER POWELL: I guess the same job for 17
30 years, there's certain things you pick up.

31 MR. ROBERTS: I certainly hope that I've been able to
32 provide some of the information that I accumulated over
33 the years to the Board and been of assistance in answering
34 some of the questions.

35 COMMISSIONER POWELL: Well, the area I want to get at,
36 I'm trying to ... new at the process, new to Hydro. I've been
37 asking the people in the other levels exactly what they do
38 and how it fits in. One of the things that have been
39 brought up, we talked quite a bit about the past number of
40 weeks is the JD Edwards system.

41 MR. ROBERTS: Yes.

42 COMMISSIONER POWELL: Could you sort of give me an
43 overview of exactly, in your perspective, what the JD
44 Edwards system is and what it does?

45 MR. ROBERTS: The JD Edwards is a financial system,
46 computerized system, and it is a fully integrated system,
47 and what I mean by integrated is that the very ... the
48 individual pieces of the system, such as the accounts
49 payable, enters directly through general ledger and also to
50 other systems that are all tied together, so there's one
51 source of information that can be spread among various
52 systems. And if I may just to maybe give you an idea of
53 what I'm referring to there when I say integrated, prior to
54 the implementation of the JD Edwards system we had a
55 financial reporting system and we had a maintenance
56 system. To get the information in the maintenance system
57 it had to be entered a second time, so that to maintain
58 maintenance records and work orders, there was a
59 duplication of effort in recording of cost. They would
60 record it through the financial systems report, the payment
61 by a supplier, and go through the cost expense categories
62 that we have, but to track these costs by an individual work
63 order or type of work required duplication of effort of
64 entering this information into another system in order to be
65 able to do it. The JD Edwards system has eliminated that
66 because of the fact that it is a fully integrated system and
67 it uses the ... it doesn't require an interface or anything to
68 be written for one system to talk to another, so within the
69 general ledgers in the JD Edwards system what we have is
70 a basic general ledger system, we have an accounts
71 payable system so we can pay our suppliers, we have an
72 inventory system, we have a purchasing system, we have
73 an accounts receivable system, we have a fixed asset
74 system and we have a job costing system that's used for
75 tracking of work orders on capital. So all of those systems
76 encompass the JD Edwards system, in addition, of course,
77 to payroll, so that there is one source of point of entry that
78 can go to multiple ledgers from the point of view of being
79 able to provide information to various business unit
80 managers.

81 COMMISSIONER POWELL: But JD Edwards is not an
82 accounting system dedicated just for utilities?

83 MR. ROBERTS: No, it is not.

84 COMMISSIONER POWELL: It's a ... so basically what
85 we're looking at is a Cadillac of the (inaudible) system, sort
86 of thing, in a sense of ... in terms of cost analysis and detail
87 and things?

88 MR. ROBERTS: I think it's a lot further advanced than the
89 (inaudible) as you referred to it.

90 COMMISSIONER POWELL: Okay.

91 MR. ROBERTS: I guess I might add, the other system that
92 I forgot to mention to you is that we also ... tying into the
93 JD Edwards suite and done by JD Edwards is the system to
94 look after our 35,000 rural customers, we refer to as our
95 utility customer information system, so the individual

1 billings for all those customers, prior to the implementation
2 of JD Edwards, used to be done outside by Newfoundland
3 Power utilizing a system that they had maintained for us.
4 Now everything is inhouse and it flows, as I mentioned, in
5 the integration. The information is recorded here and it's
6 flowing through and there's no additional work to get the
7 information.

8 COMMISSIONER POWELL: When did you start doing
9 your change over to JD Edwards?

10 MR. ROBERTS: The decision to go to JD Edwards was
11 made in late '97, and implementation started in 1998,
12 because of the fact that we were replacing all our systems
13 and adding new ones, and it took all of 1998 and 1999, and
14 coincidental with that was the Y2K issue, as well, so it was
15 doing two things at the same time.

16 COMMISSIONER POWELL: Okay, so who controls the
17 codes and the software, that's at your department or is that
18 the ...

19 MR. ROBERTS: I control the setting up and the creation of
20 new accounts within the general ledger system, so that if
21 somebody wants to open a new expenditure account it will
22 come to me, my department, and we will make that decision
23 as to whether or not, first off, it's required, because we may
24 already be able to be accommodate it in a fashion that we
25 already have. And if it is to be created we will determine
26 the specs on where it should be, because every time a new
27 account is created it may impact on your reporting as well.
28 So we're trying to centralize the changes to the system so
29 that the full ramifications can be seen of what that impact
30 would be.

31 COMMISSIONER POWELL: One of the schedules that Mr.
32 Kennedy had up, in professional fees he talked about
33 software for fixed assets?

34 MR. ROBERTS: Yes.

35 COMMISSIONER POWELL: Is that integrated now with
36 the JD Edwards system?

37 MR. ROBERTS: JD Edwards has a fixed asset module that
38 we are using which is fully integrated with the general
39 ledger, but it is exactly that, it's not a modelling tool.

40 COMMISSIONER POWELL: Okay.

41 MR. ROBERTS: So at this point it's not able to do
42 projections using five year plans or 20 years horizons. It
43 can calculate actuals with no difficulty and it can give you
44 your depreciation on actual assets over 20 years, or 50
45 years, or whatever you require. The difficulty is is that the
46 system was designed as a financial system, not a future
47 modelling system and using what ifs.

48 COMMISSIONER POWELL: Can you transfer data from

49 the JD Edwards to this software that we saw?

50 MR. ROBERTS: Yes, and we refer to it as (inaudible) and
51 an S base. This is a modelling system, and what we
52 actually have to do is we take the actual live fixed assets
53 out of JD Edwards and transfer it to this system, and in
54 there then we will input the capital budget proposals, as
55 presented, and do the calculation of future depreciation in
56 that model.

57 COMMISSIONER POWELL: There is also \$65,000 spent on
58 succession software. Does that sort of tie in with your
59 payroll department?

60 MR. ROBERTS: That is part of the human resources on
61 succession planning.

62 COMMISSIONER POWELL: But can the data be ... are
63 they tied in or is this a case of they've got to down and do
64 everything again?

65 MR. ROBERTS: I don't believe it's having to duplicate it.
66 It's an add on feature that supplements what's in JD
67 Edwards.

68 COMMISSIONER POWELL: Okay, so were these two
69 pieces of software bought in conjunction with the JD
70 Edwards or are these independent?

71 MR. ROBERTS: They are independent.

72 COMMISSIONER POWELL: Okay, so when you do up
73 your budgets and you have, I think, 150 business units,
74 they're all controlled through the JD Edwards system?

75 MR. ROBERTS: Yes. The setting up of the JD Edwards is
76 they use what they refer to as ledger types.

77 COMMISSIONER POWELL: Uh hum.

78 MR. ROBERTS: So you will use the same code structure
79 that you use for your actual expenditures.

80 COMMISSIONER POWELL: Yes.

81 MR. ROBERTS: So in our actual cost it will refer to ledger
82 type AA representing actuals. When we create a budget
83 we'll call it BA, representing budget. When we move from
84 budget to a forecast it's referred to as BF, so that in the
85 actual recording of the budgets the information that's
86 available for a business unit manager, the account codes
87 are there, he enters on a specific screen the monthly
88 information and there is a text file that's linked directly to
89 that screen for him to add additional text describing what's
90 happening. Once that is in the system that information is
91 available for an inquiry basis to just about anybody in the
92 organization who has the ability to inquire. We restrict the
93 ability of people to enter data for purposes of the budget
94 and restrict it to basically key people in these business unit
95 areas. And once they enter the data we remove their

1 security because it is a true online and an integrated
2 system, and if somebody goes in and either accidentally or
3 does anything else, it's changed automatically.

4 COMMISSIONER POWELL: Okay. That was my next
5 question. Because you did mention in testimony that
6 department heads and business units, they're responsible
7 to control their own expenditures and their budgets. Okay,
8 I can see, I can visualize now what happens. One of the
9 reasons why we were delayed getting the application was
10 that they ran into some problems entering data on the fixed
11 assets and things. Can you give me just a brief overview
12 what those problems were?

13 MR. ROBERTS: Part of the problem is, is that you're
14 dealing in calculating items. We're dealing with
15 approximately 35,000 individual fixed asset records, and to
16 move those records and ensure that they're balanced and
17 the calculations are doing the correct calculations in that
18 model is what takes a fair amount of time. In addition to
19 that, you also have anywhere from 150 to 200 capital
20 budget proposals for any particular year, and then you also
21 have the subsequent years, so that, for instance, when we
22 were looking at filing this application we needed the 2000
23 actuals, which really takes us to about mid February to
24 obtain because you're trying to get your year end audit
25 done and a sign off by external auditors that everybody is
26 happy with these particular numbers. So that information
27 had to be migrated over into the new system and make sure
28 that it balances, because, once again, you're relying on a
29 computer program to move this data and you want to
30 ensure that the checks and balances are entered to make
31 sure that the same data did actually arrive and it provided
32 the results, so that process had to happen. In addition to
33 that, once that was done, then we had to go through the
34 process of entering all the 2001 capital budget proposals,
35 because at that point we were still in a proposal stage
36 because you're talking early in January. They had to be
37 entered and balanced, and in doing that you were really
38 creating almost the same as a fixed asset, so you had to
39 enter the proposal, put a method of depreciation on it and
40 a service life and an end service date, so that had to be
41 done for the year 2001. Then you had to duplicate the
42 exercise and enter all of the 150 or 200 proposals for 2002
43 and do exactly the same thing. Once that data was in there
44 and it was balanced and it was reviewed to make sure that
45 you were using the right service life, end service date,
46 etcetera, then you would get the model to recalculate
47 depreciation, and the model would then calculate the
48 depreciation based on the actual assets that came over from
49 JD Edwards and it would then calculate the depreciation on
50 the 2001 proposals and the 2002 proposals and put them
51 together. You would also then, of course, arrive at, you
52 know, your total numbers that you would require for your
53 financial statements. So it's purely a function of, I guess,

54 trying to get your actuals resolved at year end because it's
55 always a tedious job trying to get all your accruals done
56 and everything recorded and reviews done, and then it's
57 purely a function of time and resources in which to do it.

58 COMMISSIONER POWELL: But you wouldn't have the
59 magnitude of problem in your application at 2004 ... 2003,
60 because the ...

61 MR. ROBERTS: Depending on how the application is
62 done. At this point the volume of work, we will still have to
63 copy over whatever the actuals happen to be at a point in
64 time and we'll still have to deal with the proposals. So for
65 instance, if we're coming back in 2003 for 2004, all the 2004
66 proposals for the test year will still have to be ...

67 COMMISSIONER POWELL: No, but all the data on your
68 fixed assets are in the system now. You still got to do the
69 modelling on various things, yes.

70 MR. ROBERTS: We still got to do the modelling.

71 COMMISSIONER POWELL: Yes, but it won't be quite as
72 difficult.

73 MR. ROBERTS: You would have more actuals added to it.
74 Instead of 35,000 records it now may be up to 36,000 or
75 whatever the number happens to be, and what we are
76 trying to do is to deal with the proposals from the point of
77 view of updating them so that we will, hopefully, be able to
78 save in the long run.

79 COMMISSIONER POWELL: During testimony it was
80 brought up that Abitibi, one of your large industrial
81 customers, have a JD Edwards system. Have you or any of
82 your staff had any contact with any of their staff on
83 looking at problems that they may have had or quirks about
84 the system to sort of sometimes get around Murphy or ...

85 MR. ROBERTS: There have been some discussions with
86 Abitibi, and I think also Wabush Mines and Labrador also
87 had JD Edwards. The bulk of those discussions had been
88 centred around the maintenance module rather than, I think,
89 on the financial ones.

90 COMMISSIONER POWELL: In NP-116, page 2 of 2, that's
91 a capital budget item. You're talking about replacing your
92 computer systems and going ... and one of the reasons
93 given that in 2002 Hydro will be initiating a One World pilot
94 in order to assess the technology and business
95 implications and moving to One World, and I'm led to
96 believe that One World is just an update of the JD Edwards
97 ...

98 MR. ROBERTS: It is the ...

99 COMMISSIONER POWELL: A replacement of?

100 MR. ROBERTS: It will replace the existing World software
101 that we're ... World Vision software that we're using now.

1 COMMISSIONER POWELL: Is that the name for the JD
2 Edwards?

3 MR. ROBERTS: Well, that's the name of the software. JD
4 Edwards is the name of the manufacturer and supplier, but
5 they refer to them like World Vision and then One World.

6 COMMISSIONER POWELL: Okay.

7 MR. ROBERTS: So the One World software is an updated
8 version of their software and using a lot more of the current
9 tools like you would see in other pieces of software and
10 using the ability to use web based client server technology.

11 COMMISSIONER POWELL: You look at this, used the
12 word "pilot" and that's what threw me. It sort of implies
13 that we're going to have a look at it, it might work out, we
14 might want to go to plan B.

15 MR. ROBERTS: The reason why we're saying a pilot is
16 because of the fact that we'll want to determine the extent
17 and the effort that it will take to do the movement of a
18 product, and we have also been assured by JD Edwards
19 that we can coexist, in other words. We can run both
20 systems because we're not going, as I refer to it, with the
21 big bang of moving everything as we did in the past. We
22 will gradually migrate the modules over to One World
23 Vision.

24 *(12:15)*

25 COMMISSIONER POWELL: But it's my understanding
26 from some of the evidence, that the present system support
27 is going to die sometime in 2005. Could you operate, I
28 mean, if you decided not to go to One World, could you
29 maintain your software yourself with your own inhouse
30 support?

31 MR. ROBERTS: We'd be able to maintain, I don't think we
32 would. I don't think we have that in depth knowledge of
33 that particular software.

34 COMMISSIONER POWELL: So you basically have to do
35 something between now and 2005?

36 MR. ROBERTS: We will have to move to the One World,
37 and one of the things we'll want to do is to take our time
38 and take a particular module, determine the extent and what
39 it does, and look at the time ...

40 COMMISSIONER POWELL: So the pilot is not to
41 determine if you will move to them, it's just how you're
42 going to move to them?

43 MR. ROBERTS: How we're going to move and what are the
44 ramifications of moving and how it will eventually fit
45 together.

46 COMMISSIONER POWELL: So the new hardware, the \$2
47 million that you're saying that you need for new computers,

48 is that just because you're going to need that capacity,
49 because you're going to be operating two fairly large pieces
50 of software at the same time and then you have a capacity
51 problem?

52 MR. ROBERTS: Well, the existing lease on both of those
53 AS 400s is coming up for renewal. It's not coming up for
54 renewal, it expires in, I believe it is 2002. I'm just trying to
55 get my dates straight now, so we have that issue to deal
56 with, anyway. In addition, we've had JD Edwards now up
57 and running since ... in various forms since 1998. There is
58 other software that we've added to the system but it is non
59 JD Edwards related. We've expanded the availability of this
60 information to all of our various locations, and of course, it
61 is having an impact on the capacity, as well. Historically,
62 prior to this system information could only be provided in
63 a paper copy form. Now there is online access to individual
64 accounts, as well as various reports, all of which both
65 require additional time and effort in that particular area.

66 COMMISSIONER POWELL: Also in the Section D he talks
67 about the increased capacity, he talks about allowing
68 Hydro to provide a web base for client server interface to
69 computer application. Is this significant in terms of cost of
70 the new software, what you have?

71 MR. ROBERTS: I can't answer. That's getting outside of
72 an area that I don't really have much responsibility for,
73 except from the point of view of providing my opinion as to
74 what we require.

75 COMMISSIONER POWELL: So who gives the ... who will
76 give the decision on the cost effectiveness of the software
77 in terms of the additional cost?

78 MR. ROBERTS: The IS & T department would put together
79 a proposal for presentation to an IT government's
80 committee relative to this and then that would flow through
81 to the management committee.

82 COMMISSIONER POWELL: So we're looking at
83 somewhere, the capital budget is \$500,000 some odd for
84 software, so I would presume that would be the ... so Mr.
85 Osmond probably could give me some more updates on
86 those numbers?

87 MR. ROBERTS: If you so desire he can do that for you.

88 COMMISSIONER POWELL: Yeah. One of the other
89 questions ... we got this lovely piece of software now
90 giving all the data and we got these numbers and we got all
91 these cost centres. Then these numbers, I know it's not
92 your responsibility, but it's the same numbers, it's just
93 rearranged in a different way. They're used to produce the
94 cost of service study. Is there any layer in the JD Edwards
95 system that would produce that automatically or is all this
96 data exported out to another piece of software to do the
97 cost of service model?

1 MR. ROBERTS: The cost of service model is just that, is a
2 separate model. What it does do is there is a program
3 written which will extract this information out of JD
4 Edwards into that particular model.

5 COMMISSIONER POWELL: Okay.

6 MR. ROBERTS: And it will take actual, of course, to do an
7 actual cost of service. It will also take the budget or the
8 forecast or whatever we have created.

9 COMMISSIONER POWELL: Yeah, so who puts the bell on
10 the cat to make sure the same ... I mean, your department is
11 responsible for the primary data, all the costs that goes
12 through the system. When this gets exported what's the
13 mechanism in place to guarantee that that department are
14 using the same live numbers and the same allocations?
15 They're just ...

16 MR. ROBERTS: There is a balancing routine between the
17 staff and rates that run the cost of service and my staff to
18 ensure that the same numbers are being used.

19 COMMISSIONER POWELL: Okay.

20 MR. ROBERTS: And you can actually, if I may, you can
21 actually take some of the information, even in this hearing,
22 and balance that off to what's in my revenue requirement.

23 COMMISSIONER POWELL: So when we get in doing a
24 cost of service study we should be able to do some
25 correlation back to your revenue requirement cost and
26 breakdowns that you provided?

27 MR. ROBERTS: It may be very limited and maybe one page
28 or two pages. After that then you start getting the various
29 methodologies in the cost of service allocating these costs
30 based on function and classification.

31 COMMISSIONER POWELL: Yes.

32 MR. ROBERTS: So you can at a point in time see that the
33 total cost of my revenue requirement is into the cost of
34 service, and I think that's normally in the first one or two
35 pages of the cost of service. You can literally trace the
36 numbers through it, because I have done it.

37 COMMISSIONER POWELL: No, I'm just thinking you get
38 transmission, there'll be come down to the point, I'm sure,
39 in the cost of service, whether that should be allocated to
40 an industrial customer as it versus the Newfoundland
41 Power, and got to make sure the total amount that you're
42 dealing with is the total amount and the allocation is the
43 cost of service (inaudible).

44 MR. ROBERTS: You will be able to trace the total cost on
45 an expense category into the cost of service. Then after
46 that it starts getting into the functionalization and the
47 allocation of these costs.

48 COMMISSIONER POWELL: Yes.

49 MR. ROBERTS: And the methodology that's in the cost of
50 service to take pieces of these expenditures and put to
51 transmission or to distribution or ...

52 COMMISSIONER POWELL: My concern was to make sure
53 that we're still dealing with the same cost. You assured me
54 of that, that shouldn't be a problem.

55 MR. ROBERTS: Yes, we are.

56 COMMISSIONER POWELL: Just a small point. When you
57 were talking the other day with, I think it was Mrs. Butler of
58 Newfoundland Power, and there was movement of items
59 from operating being capitalized, and the comment was that
60 if there was extra cost that went into the operating expense
61 but they proved to be capitalized and they were taken out
62 in the bottom end, and you made the comment that
63 wouldn't have any effect on the revenue requirements,
64 because being at the top, at the bottom. But that's not
65 necessarily 100 percent correct, is it?

66 MR. ROBERTS: In the case of overtime it is correct. If we
67 paid an individual \$20, the cost there, that's the \$20 that
68 would flow through.

69 COMMISSIONER POWELL: Yes, but once the cost gets
70 identified as capital, it comes out the end, but then that
71 would affect the depreciation charges at the top because it
72 increases capital, would it not?

73 MR. ROBERTS: No. Because within the capital budget
74 proposal there has been budgeted by the expenditures in
75 there. It didn't differentiate between salaries or overtime or
76 other related costs. It said here is an estimate of the labour
77 costs that would be associated with it. It doesn't
78 necessarily mean that it's going to change the total cost of
79 the project.

80 COMMISSIONER POWELL: No, but if you got \$1 million
81 in operating costs that you get capitalized, it reduces your
82 direct operating costs, but then when you do your model
83 of depreciation then you have to increase that?

84 MR. ROBERTS: If these are costs that are charged through
85 to a work order and were budgeted, yes, eventually these
86 allocations of some of those non-construction departments
87 form part of fixed assets which will form part of capital and
88 depreciation.

89 COMMISSIONER POWELL: I just wanted to make sure I
90 understood the process a bit. Another item that came up
91 was the amortization of the cost of the hearing and the
92 application recommending that that be spread over the year
93 2002, 2003, but one of the other issues that has been talked
94 about quite a bit since we started was the efforts to get
95 Hydro treated more as an investor owned utility, and
96 there's been a lot of discussions on that, so when I looked

1 at your, I think, interest coverage method of returning
2 revenue for the loss a number of years, and you look at, I
3 think ...

4 MR. ROBERTS: NP-2?

5 COMMISSIONER POWELL: Yeah, when you looked at
6 that and the base set in G was 1.08, but except for one year
7 Hydro has always been able to achieve that and exceed it.
8 If an investor owned utility was before the Board and they
9 were given targets and ranges within targets, if they were
10 to exceed that they would be required to rebate that back to
11 their customers, so my question to you is why should we
12 look at allowing you to defer costs from one year to
13 another year, when even if it had to be included, that it still
14 would put you over your margin requirements? I mean,
15 that would seem to me not treating you like an investor
16 owned utility where if the emphasis is on treat you like an
17 investor owned utility?

18 MR. ROBERTS: I guess I just add some general comments
19 for you in that respect. When you look at this regulated
20 coverage and what was created in 1992 the coverage was
21 set towards our utility customers only. The Board didn't
22 set what we could earn on our industrial customers, as an
23 example. It only created what it could do for Newfoundland
24 Power. Hydro was still free to earn a different margin on its
25 industrial customers. It also had, back in 1992, IOC, which
26 is also impacting on these particular numbers. To move
27 forward, the Board does have the right, we've asked for
28 approval to defer these costs. It is the change in legislation
29 that's now requiring us to be fully rate regulated, and
30 circumstances will now change on a go forward basis
31 dealing with what may have been done in the past versus
32 what will come forward in towards the future. The \$2
33 million request to defer those costs in 2001, as I mentioned,
34 until you do the analysis we may still be below 108, but
35 there is no cap established to say that we have to refund or
36 to do anything with earnings in excess of 108. It was a
37 target designed and placed there, but it wasn't to deal with,
38 as I say, putting a cap on it. It was just targeted to aim. As
39 a matter of fact, if memory services me correctly, there were
40 certain things done that are in ... like, as an example, reduce
41 the price of fuel, because I think we had something higher
42 than \$12.50 in the rates, and it was a rule of thumb that \$1
43 million, you know, \$1 in a barrel and we were burning
44 roughly 3 million barrels of oil would change by X number
45 of dollars, but it was designed back in, from my memory,
46 and participating in that hearing, that it was lead to believe
47 that we could achieve 108 based on the changes that the
48 Board had recommended that we implement, but they never
49 set a cap.

50 COMMISSIONER POWELL: Mr. Chair, I got one other
51 subject but it's going to take longer than a couple of
52 minutes. You may want to have lunch and get that after.

53 MR. NOSEWORTHY, CHAIRMAN: Thank you,
54 Commissioner Powell. Thank you, Mr. Roberts. It sounds
55 like a discussion among two people who know their subject
56 matter around accounting quite a bit. I'll have to rely on the
57 transcript a little bit more closely, I think, on some of that
58 discussion. Yes, Mr. Alteen.

59 MR. ALTEEN: Mr. Chairman, for this afternoon is ... are we
60 to take it that the Board will be an hour or an hour and a
61 half or a half hour? I'm worried more about Mr. Osmond is
62 the only thing.

63 MR. NOSEWORTHY, CHAIRMAN: I was just going to
64 address that matter, actually. I think from my pole of the
65 Board, the Board will be very quick following Commissioner
66 Powell's line of questioning on his next subject matter. I
67 think we have few questions between us, so quite likely,
68 depending on then the questions arising we could indeed
69 be concluded with Mr. Roberts earlier on in the afternoon.
70 I will advise that the panel would like to conclude at 3:45
71 this afternoon as opposed to 4:00, and beyond that I'll just
72 have to rely on Ms. Greene to indicate whether she would
73 wish to bring Mr. Osmond forward?

74 MS. GREENE, Q.C.: Thank you, Mr. Chair. We would like
75 to start with Mr. Osmond as long as it's a reasonable period
76 of time, because Mr. Osmond will be continuing on
77 Monday so we won't have a break in a period of time other
78 than the weekend, so as long as it's a reasonable period of
79 time, say 2:30, 3:00, yes. I don't see the point putting him
80 on if it's 3:30 and we have to break 3:45, but we're prepared
81 to start, depending on the time available.

82 MR. NOSEWORTHY, CHAIRMAN: Okay.

83 MR. ALTEEN: We can be ready in all events. We had
84 intended to start with the RSP, and there's ... to bring Mr.
85 Osmond through that. That would probably be best
86 deferred to Monday morning, given the length of it. While
87 we've attempted to make it simple it's never that simple.

88 COMMISSIONER SAUNDERS: It's a subject for early in
89 the week?

90 MR. ALTEEN: I would have thought so, so we'll have
91 enough short snappers to take us to the conclusion of this
92 afternoon.

93 MR. NOSEWORTHY, CHAIRMAN: Okay, and I guess
94 based, again, on questions arising, we'll just have to see
95 where we are.

96 MR. ALTEEN: That's fine, Mr. Chairman. I was just trying
97 to assess.

98 MR. NOSEWORTHY, CHAIRMAN: Thank you. We'll
99 reconvene at 2:00.

100 (break)

1 (2:00 p.m.)

2 MR. NOSEWORTHY, CHAIRMAN: Thank you. Good
3 afternoon, are there any preliminary matters before we
4 begin?

5 MR. KENNEDY: I don't think so, Chair. I'm presuming that
6 undertakings were taken care of earlier, so ...

7 MR. NOSEWORTHY, CHAIRMAN: Thank you very much,
8 well we'll proceed with Commissioner Powell's questioning
9 of Mr. Roberts, please.

10 COMMISSIONER POWELL: Thank you. Good afternoon.

11 MR. ROBERTS: Good afternoon.

12 COMMISSIONER POWELL: There's only one other area
13 that I want to get at and it's on depreciation since your
14 responsible for that. Just a couple of things from this
15 morning that I just want to get your views on. You may not
16 be able to answer it but when we were talking about the
17 new accounting system, you had mentioned that prior to
18 the JD Edwards, that Newfoundland Power did the billing
19 for your retail customers?

20 MR. ROBERTS: Yes, Newfoundland Power had a customer
21 billing system that I think was originally their own and
22 which they progressed to and developed a more enhanced,
23 and a completely different version, but they maintained that
24 old one for us and we ran the billings for our rural
25 customers on that old system.

26 COMMISSIONER POWELL: Okay.

27 MR. ROBERTS: And the system was never enhanced to
28 the level of being able to provide the features that
29 Newfoundland Power have in its system or what we now
30 have in our new system.

31 COMMISSIONER POWELL: So was there any exploration
32 of developing their new system to handle your existing
33 retail customers or ...

34 MR. ROBERTS: I think back some time when we were
35 looking at switching the suite of products that we had,
36 which consisted of various types of products, one of the
37 areas that we were trying to gain some integration with was
38 the accounts receivable package for the customer billings
39 because JD Edwards actually has two accounts receivable.
40 One just deals with the normal type things, and then this
41 one is dealing with what's called the utility customer
42 information system, but they have that type of a system
43 also available for water and gas, so we were able to avail of
44 what they were developing in the utility side which will
45 integrate completely with our system, with what we had
46 acquired.

47 COMMISSIONER POWELL: From a cost benefit point of
48 view, was there any significant difference in cost with your

49 fellows doing it inhouse as opposed to what
50 Newfoundland Power was charging you?

51 MR. ROBERTS: At the time that the decision was made to
52 change?

53 COMMISSIONER POWELL: Well, right now you have a
54 certain cost factor to be able to perform those billings and
55 the process, as opposed to what you were paying
56 Newfoundland Power prior to this.

57 MR. ROBERTS: I'm just trying to recollect in my memory,
58 going back in time when Hydro was looking at doing
59 something with this particular system. There were
60 discussions with Newfoundland Power as to what could or
61 could not be provided and I'm trying to go from memory.
62 There may have been some cost developed during a
63 proposal maybe from Newfoundland Power versus what it
64 would cost to go on our own, and where we would go from
65 there. This is back in maybe '96 or '97.

66 COMMISSIONER POWELL: So you don't know off the top
67 of your head right now whether it costed you more to
68 service a customer from an administration point of view
69 than it did prior to the switch over?

70 MR. ROBERTS: I can't answer that one for you.

71 COMMISSIONER POWELL: Another item that came up,
72 Legal Counsel had made a comment to you in relationship
73 to your billing with Newfoundland Power, and he made the
74 comment, I think it was why don't you bill more often, and
75 you had said that it wasn't that simple, it was a fairly
76 complex detailed process to do it. The thought that
77 crossed my mind was rather than bill more often, why not
78 bill less but have an arrangement with Newfoundland
79 Power, similar to what Newfoundland Power has with their
80 customers, have an equal payment plan and do an annual
81 adjustment, because when you look at the total revenue
82 billed on an annualized basis to Newfoundland Power, it
83 hasn't changed dramatically over the last number of years,
84 so it would seem like you would save more time internally.

85 MR. ROBERTS: It hasn't been explored. I guess one of the
86 things that does come to mind is that in equal billing there
87 is an interest cost.

88 COMMISSIONER POWELL: But this would all work itself
89 through the system, if you were getting, if they were
90 paying you on a weekly basis, say as opposed to a
91 monthly basis, the numbers get crunched through anyway,
92 and whatever the interest cost is there, and what you save
93 on one will offset the other.

94 MR. ROBERTS: Undoubtedly our interest cost is different
95 than Newfoundland Power's, so there's going to be
96 somebody that's not going to be (inaudible) the same.

97 COMMISSIONER POWELL: Yeah, okay, without getting

1 into the discussion, their your largest customer, and what
2 costs you more, they're going to pay and what you save,
3 they're going to get the benefit of it in theory anyway, so
4 it's just a comment, something maybe you should look at.
5 The other area I wanted to get into, you're responsible, you
6 said once in your evidence, (inaudible) recent depreciation
7 study and the implication of it in this application. That's
8 what your evidence is going to cover, so I had some notes,
9 since depreciation, I think, is the fourth largest item on your
10 revenue requirement, and unless I missed it, I haven't heard
11 too many people comment on it, but it seems to be there's
12 some significant changes. Page 11 of your evidence ... and
13 I'm just going to do this in the way I had notes when I was
14 reading your evidence, and hopefully we'll cover all the
15 issues. This is talking about two ways of, about salvage
16 costs of assets, but line 13, it says, and it's the last part of
17 it, to estimate net salvage cost in inflated terms ... what
18 does inflated mean there? I know what inflation is, but
19 what ...

20 MR. ROBERTS: I think it's inflating the actual cost if you
21 were able to determine what the decommissioning costs are
22 and how using a rate of inflation to project out to what it
23 would be in the future at the time of the decommission.

24 COMMISSIONER POWELL: What kind of a rate would
25 you use? I mean what ...

26 MR. ROBERTS: Hydro uses an inflation factor in various
27 calculations now, and I'm not sure who is the provider of it,
28 did it come from our economic analysis department, so that
29 would provide us with an inflation factor based on, I think,
30 CPI or something like that.

31 COMMISSIONER POWELL: So that could be a floating
32 rate in terms of ...

33 MR. ROBERTS: Just speaking from memory of what I've
34 seen in the last couple of weeks on an inflation factor for
35 another purpose, in the coming five years, I think the rate
36 varies from 1.6 percent up to about 1.8 percent.

37 COMMISSIONER POWELL: So that factor that was used
38 to increase the cost of an asset, would that be included
39 within the cost of capital assets, or would that be shown as
40 a separate schedule when you do ...

41 MR. ROBERTS: No, the use of the inflation factor is
42 projecting what the salvage costs are going to be out into
43 the future, if I'm reading from the same item that you are or
44 ...

45 COMMISSIONER POWELL: But it says if properly
46 calculated there will be a surplus in accumulated
47 depreciation by the end of the asset's life that is equal to
48 the estimated net.

49 MR. ROBERTS: Pardon me, what is being recommended

50 here by the consultant, that if you know that this is going
51 to happen, you will alter the depreciation rate up so that it
52 will tie in, so at the end of the period the costs are taken
53 care of, as they mention there on line 9, the (inaudible)
54 percentage mark-up calculated based on (inaudible)
55 estimates, so that at the end of the life of the asset, there
56 would be sufficient funds in there then accumulated to
57 account for the salvage.

58 COMMISSIONER POWELL: So you're talking about
59 inflating the percentage. If you were using one percent, it
60 would be 1.2.

61 MR. ROBERTS: If it was 10 percent, maybe it's up to 11.6,
62 if that's sufficient enough to take care of the periods that
63 were involved.

64 COMMISSIONER POWELL: Okay, page 12, line 1, the 1998
65 study also recommended that an engineering condition
66 survey be conducted for those thermal generating plants
67 that are approaching the end of their presently estimated
68 service lives, so they recommended that ... what was the
69 intention of this recommendation?

70 MR. ROBERTS: The purpose behind it is that the assets
71 were ... excuse me ... nearing the end of their original
72 established service lives and the study was done to
73 determine whether or not their life would be extended, and
74 if so, to what period of time, so the result of the study and
75 what it looked at was the units at Holyrood and the gas
76 turbines, and based on that study that was done by our
77 internal engineering staff, their recommendations were that
78 these units would be able to sustain at least an additional
79 20 years, so what we would do is, if the Board approves
80 this recommendation, effective January the 1st, 2002, we
81 will extend the service life of the gas turbines and Unit No.
82 3 at Holyrood.

83 COMMISSIONER POWELL: This study was done by Keat
84 Peats, I think?

85 MR. ROBERTS: KPMG did the depreciation policy study.

86 COMMISSIONER POWELL: Yes.

87 MR. ROBERTS: I shouldn't say the depreciation policy ...
88 the depreciation study, and one of their recommendations
89 and one of the issues that we had discussed with them in
90 preparing for this depreciation report, was what do we do
91 with the assets that are getting close to the end of their
92 service life.

93 COMMISSIONER POWELL: They employed Akers
94 International to do their engineering for them?

95 MR. ROBERTS: They employed Akers in doing the
96 original assessment of their depreciation report.

97 COMMISSIONER POWELL: But I noticed when they, the

1 recommendation, the engineering condition survey, that
2 was done internally.

3 MR. ROBERTS: Yes, it was.

4 COMMISSIONER POWELL: Any reason why internally as
5 opposed to getting an outside independent view?

6 MR. ROBERTS: Yes, one of the factors in reviewing this
7 recommendation was that we felt we had the engineering
8 expertise and talent inhouse versus going outside and
9 probably spending another \$100,000 or \$150,000 to give us
10 the same answer that we felt our own engineering staff
11 could provide.

12 COMMISSIONER POWELL: So it was the cost.

13 MR. ROBERTS: It was looking at a cost of could we do the
14 work ourselves and with our own level of expertise, and we
15 felt we did have that expertise and that experience with the
16 items that were being addressed.

17 COMMISSIONER POWELL: So those inhouse costs, are
18 they shown anywhere, or are they just buried in ...

19 MR. ROBERTS: They're ... the engineer, Mr. Mallam, which
20 was the lead engineer on the condition survey, is an
21 engineer in the TRO engineering section, and he's a
22 permanent employee of Hydro and he was the lead
23 engineer. The other engineers were also permanent
24 employees, were senior engineers who had actually worked
25 on the construction of the some of these facilities, and of
26 course undoubtedly over time they had been in capital
27 work orders for additional changes that had to be made to
28 those facilities, so we availed of all of that talent and
29 experience in deciding that we would do the engineering
30 condition survey inhouse.

31 COMMISSIONER POWELL: So there was no budgeted or
32 costed items on this.

33 MR. ROBERTS: No, we had a ball park number, if I
34 remember correctly, as to what, I think KPMG or Akers had
35 said that it could possibly run us, depending on the level
36 of the study that you wanted to complete.

37 COMMISSIONER POWELL: I'll just check my notes here
38 to see where ... you make reference there on page 25, I think
39 ... (inaudible) but you only have 13 pages in your report, so
40 that can't be right.

41 MR. ROBERTS: There's another 14 pages of schedules that
42 are attached. I don't know if it was in one of the schedules.

43 (2:15 p.m.)

44 COMMISSIONER POWELL: Oh no, I've got the wrong ...
45 yeah, page 11, it's page 11, line 25. You said the
46 recommendations related to the accounting for the net
47 salvage value of utility assets will be implemented effective

48 January 1, 2002, if approved by the Board. Is that the PUB
49 Board or the Hydro board?

50 MR. ROBERTS: No, it's the Public Utilities Board.

51 COMMISSIONER POWELL: So the copy of that, those
52 recommendations and the study has been filed with the
53 Board?

54 MR. ROBERTS: Yes, it is. I believe they've been provided
55 underneath NP-55. Yes, it's NP-55.

56 COMMISSIONER POWELL: That's all my questions, Mr.
57 Chairman.

58 MR. NOSEWORTHY, CHAIRMAN: Thank you,
59 Commissioner Powell. Mr. Saunders please?

60 COMMISSIONER SAUNDERS: Thank you, Mr. Chair.
61 Just a couple of housekeeping items, Mr. Roberts, good
62 afternoon.

63 MR. ROBERTS: Good afternoon.

64 COMMISSIONER SAUNDERS: In answer to a question by
65 Board's counsel this morning in relation to the billing
66 situation with Newfoundland Power, I think his question,
67 it may have been in more than one part, but I thought one
68 part of the question was has it been considered, that is the
69 more frequent billing, and in your answer, I don't have a
70 note of you making any comment on that aspect of the
71 question, has it been considered between ...

72 MR. ROBERTS: I don't believe it has been considered.

73 COMMISSIONER SAUNDERS: Okay, fine, and the other
74 question I had was what's your role in relationship to the
75 preparation and monitoring of the capital budget of Hydro
76 outside of your own responsibility as a unit head?

77 MR. ROBERTS: I have, extremely rarely would I ever have
78 a capital budget proposal. Within the JD Edwards suite of
79 products that we have acquired, there is a module that's
80 referred to as job costs, and that's where we record all of
81 these capital budgets. In other words, we have proposals
82 at this stage. Once the approval is obtained a project
83 manager raises the most current estimate because
84 recognizing that the proposal may have been done six
85 months ago, and now he's getting ready, he has permission
86 to proceed. He will refine that estimate and forward that
87 capital budget work order for approval. Once that approval
88 is obtained, the original contribution provides my staff, and
89 my staff will then set up in this job cost system that budget
90 that's been approved for that capital work order. As things
91 evolve, that number, there will be a number assigned to it.
92 As costs are incurred, costs will be charged to that so that
93 at any point in time a project manager or one of my staff
94 can look at that particular work order online and see what
95 his actual costs are, what his forecasts are, and what his

1 budget is. So that information is available to anybody that
2 has online inquiry into this JD Edwards system. In addition
3 to that, monthly reports would be provided to the vice-
4 presidents of the capital that's involved in their areas, and
5 we also prepare a monthly financial report that comes out
6 of my particular department, and in that we would provide
7 a summarized version of capital and I think the criteria is all
8 capital projects \$10 million and above. There is also a small
9 section in the reports to Hydro's board of directors for their
10 various meetings throughout the year advising them as to
11 the current status of our capital program in total. I think
12 I've covered as much as I can remember for now.

13 COMMISSIONER SAUNDERS: Yeah, maybe you could
14 step back for a minute.

15 MR. ROBERTS: Sure.

16 COMMISSIONER SAUNDERS: What I'm concerned about
17 at this stage is, and I'll go back to some weeks ago when we
18 were talking about this matter, there was some debate with
19 respect to the difference between Hydro's budget estimate
20 and the actual numbers over the past ten years, I think,
21 going back to '91 or '92, and I think the evidence was that
22 there was a variance of somewhere around 15 percent. Do
23 you recall those numbers?

24 MR. ROBERTS: Yes, it's in, I think, the Grant Thornton
25 report.

26 COMMISSIONER SAUNDERS: Yes.

27 MR. ROBERTS: They made reference to it.

28 COMMISSIONER SAUNDERS: That's right, in the Grant
29 Thornton report.

30 MR. ROBERTS: Okay.

31 COMMISSIONER SAUNDERS: My question, I guess, is
32 what kind of testing is done to your knowledge with those
33 original, or with those estimates before they're finalized and
34 become a part of the capital budget document?

35 MR. ROBERTS: I guess I can only relay what I am aware
36 of. It's my understanding that before the final work order
37 is issued, the project manager that's responsible for that is
38 supposed to review these costs and take into account any
39 additional information that he may have before he submits
40 that capital budget for approval internally to Hydro once
41 the approvals have been granted by the Public Utilities
42 Board. So if he has more current information, then that
43 would be reflected in that particular capital work order
44 when he sends it forward for approval.

45 COMMISSIONER SAUNDERS: Uh hum.

46 MR. ROBERTS: And it would also make reference that here
47 is the amount that was approved in the capital budget so if
48 there is a change, an increase or a decrease, that would be

49 noted.

50 COMMISSIONER SAUNDERS: What's your feeling on the
51 variance that was determined by the Grant Thornton report
52 of 15 percent on average over the past ten years?

53 MR. ROBERTS: I guess I can qualify it this way. The
54 difficulty is in looking back in the past is that, and as I
55 mentioned earlier in my testimony, is that Hydro was
56 looking at the project in total, not specifically in one year
57 so that if the ... and a fair number of our projects involve
58 going over more than one year.

59 COMMISSIONER SAUNDERS: Yes.

60 MR. ROBERTS: So the emphasis is on the project as a
61 total, not so much that, you know, I spent \$50 in this year
62 and \$100 next year, did I get the project done on time and
63 on budget, and if I happen to not get all the costs incurred
64 in year one, but the work is still going and it's on time and
65 in budget, well the emphasis has been on completion of the
66 project, not so much the cash flow within the year.
67 Unfortunately now, or fortunately, I'm not sure which way
68 I want to paraphrase it right now, it is exactly that because
69 the Board is only approving the annual expenditures within
70 the year. I don't think you're approving a project.

71 COMMISSIONER SAUNDERS: Okay.

72 MR. ROBERTS: So it's caused some adjustment for people
73 to look at not only the total project but now there's an
74 emphasis on when it's happening within a project as well.

75 COMMISSIONER SAUNDERS: Thank you, Mr. Roberts,
76 Mr. Chair.

77 MR. NOSEWORTHY, CHAIRMAN: Thank you,
78 Commissioner Saunders. Commissioner Whalen please?

79 COMMISSIONER WHALEN: Yes, thank you. Good
80 afternoon, Mr. Roberts.

81 MR. ROBERTS: Good afternoon.

82 COMMISSIONER WHALEN: I just have a couple of
83 questions. One follow-up question from Commissioner
84 Powell's discussion with you on the JD Edwards system.
85 Is that system also used for CF(L)Co. reporting and
86 accounts receivable/payable?

87 MR. ROBERTS: Yes.

88 COMMISSIONER WHALEN: It is, so all of the work that
89 you do in your role as Controller for CF(L)Co, is also run
90 through the JD Edwards system?

91 MR. ROBERTS: Yes, within the JD Edwards system, the
92 only difference between the account codes of Hydro and
93 CF(L)Co. would be the first digit to identify the company.

94 COMMISSIONER WHALEN: Okay.

1 MR. ROBERTS: Other than that it's basically transparent.
2 They use the same job cost system, they use the same fixed
3 assets, they use the same maintenance, so everything is
4 identical to both companies.

5 COMMISSIONER WHALEN: Okay.

6 MR. ROBERTS: There may be some unique accounts for
7 Churchill Falls that would be applicable to Hydro but from
8 an expenditure perspective, salaries is salaries, and
9 everything just happens.

10 COMMISSIONER WHALEN: In respect then of the capital
11 budget purchases for hardware and software relating to the
12 JD Edwards system, do any of those capital costs get
13 allocated back to CF(L)Co.?

14 MR. ROBERTS: When the work order was initially raised
15 for the implementation and acquisition of the JD Edwards
16 system back in '97 or '98, CF(L)Co. has made a capital
17 contribution towards that, I think of approximately
18 somewhere between two and two and a half million dollars.

19 COMMISSIONER WHALEN: Okay.

20 MR. ROBERTS: And it was based on a ratio developed at
21 that time, so they have made a capital contribution towards
22 the cost of that project, and Hydro has the net cost in its
23 fixed assets.

24 COMMISSIONER WHALEN: So their capital contribution
25 was up front.

26 MR. ROBERTS: Yes, well they're paying for it over time to
27 us, but the amount was set up front when the project was
28 first raised.

29 COMMISSIONER WHALEN: Okay, so ...

30 MR. ROBERTS: They're paying us over a five year period.

31 COMMISSIONER WHALEN: The upgrades that you're
32 contemplating now, the new One World, Two World, One,
33 or whatever the new one is, are they going to be ...

34 MR. ROBERTS: They will have to share in the cost of that
35 as well.

36 COMMISSIONER WHALEN: Okay, okay, that was, I
37 guess, the ultimate aim of my question. I just have one
38 other question, and it deals with the rate base.

39 MR. ROBERTS: Yes.

40 COMMISSIONER WHALEN: And I understand you're
41 responsible for presenting the calculation for the rate base
42 but I have a question really just on the rate base
43 calculation. I think the rate base that you've got in your
44 filing is somewhere in the order of \$1.38 billion. I'm looking
45 at your Schedule 2, the average rate base for 2002. Actually
46 it's 1.37.

47 MR. ROBERTS: Yes, that's the original filing, that's now
48 been revised to \$1,367,000.

49 COMMISSIONER WHALEN: 367, yeah, 557, right?

50 MR. ROBERTS: Yes.

51 COMMISSIONER WHALEN: And I'm just looking at the,
52 well the capital assets in particular comprise the largest, the
53 majority of that, but my question really is dealing with, with
54 that rate base in terms of the how the Board is able to deal
55 with the components of the rate base and in particular, I
56 guess, the assets that were put in there and are still in there
57 from way way back, and how the Board can assure itself
58 that all of the components or assets that are in that rate
59 base are actually used and useful from the point of view of
60 our legislation, I guess.

61 MR. ROBERTS: I think there's two things. There has to be
62 some reliance on the company, and I think the additional
63 check that the Board does have is the use of Grant
64 Thornton in conducting an annual audit, whose test can
65 certainly be expanded to review the additions. I guess the
66 other thing too is that annually now the capital budget is
67 being approved by the Public Utilities Board, and they are
68 the only assets that are going into that capital asset
69 number forming the largest portion of rate base, so there is
70 an opportunity for the Board to question at that point
71 whether or not this is a, quote, "regulated or non-regulated
72 asset" to be included into rate base.

73 COMMISSIONER WHALEN: I guess though the Board
74 has only really been doing that since 1996, so in terms of
75 the capital budget.

76 MR. ROBERTS: Yes.

77 COMMISSIONER WHALEN: The capital budget items, so
78 our oversight there, I think is, I'm comfortable with that.
79 Has there been any independent valuation of the rate base
80 for Hydro?

81 MR. ROBERTS: No.

82 COMMISSIONER WHALEN: And my only other question
83 was trying to understand the role that Foster and
84 Associates would have played in calculation your rate
85 base. I know it's referenced in the report, but what would
86 they have actually ...

87 MR. ROBERTS: Foster and Associates were the ones, are
88 consultants that were retained both for the cost of service
89 and to provide us assistance in developing the rate base,
90 as questioned evolved, as to how we should treat things,
91 how we should do things. They provided that expertise to
92 us. As an example, like in the inventories, whether or not
93 it was a year end inventory versus a 13 month average, and
94 the reason why it was a 13 month average, so those types
95 of questions and assistance were provided to us by Foster

1 and Associates through Ms. McShane, and they did
2 review the information that we had put together and were
3 consulted in doing some of these aspects.

4 COMMISSIONER WHALEN: Okay, thank you, that's all I
5 have, Chair. Thank you, Mr. Roberts.

6 MR. ROBERTS: Thank you.

7 MR. NOSEWORTHY, CHAIRMAN: Thank you,
8 Commissioner Whalen. Good afternoon, Mr. Roberts.

9 MR. ROBERTS: Good afternoon.

10 (2:30 p.m.)

11 MR. NOSEWORTHY, CHAIRMAN: I appreciated your
12 testimony, sir, over the past couple of days. Thank you
13 very much. As a result of that I think I have to pay \$12.00
14 now to the PUB staff who are working over lunch and in
15 the evening on this particular hearing.

16 MR. ROBERTS: Well, that happens to be a provision that's
17 in our collective agreement and I don't think it's unique to
18 Hydro. I think a lot of the other utilities have a similar
19 provision that if employees are working beyond they get a
20 meal allowance.

21 MR. NOSEWORTHY, CHAIRMAN: I'm sure it's not. I just
22 have a couple of questions, Mr. Roberts. One, there's been
23 quite a bit of discussion around capitalized costs, I guess,
24 and I don't wish to belabour those but capitalized costs, I
25 understand there's some point in time they're capitalized
26 against the project, and that project is brought on stream
27 and then they're expensed.

28 MR. ROBERTS: Yes.

29 MR. NOSEWORTHY, CHAIRMAN: I think that's generally
30 the procedure, and I think you, in your discussion with Mr.
31 Hutchings yesterday on this point, Mr. Hutchings ... "but
32 from the ratepayers' point of view, obviously we shouldn't
33 be paying for projects until the time that they are required,
34 correct?". "Yes", and this is your response, "And I guess
35 all I'm trying to say is that the impact of the cash flow has
36 a significant impact on that ...", and you go on to say,
37 "And right now with the rate base methodology it's critical
38 to make sure that it is as close as possible to what it should
39 be, both from a ratepayer as well as for the company."

40 MR. ROBERTS: Yes.

41 MR. NOSEWORTHY, CHAIRMAN: And I guess my
42 question relates to at what point in time does a project get
43 brought on stream, what's the criteria, how do you make
44 that decision, and how is it handled internally from an
45 accounting point of view?

46 MR. ROBERTS: Well, the project manager in raising the
47 original capital budget proposals stipulate inservice dates.

48 MR. NOSEWORTHY, CHAIRMAN: Okay.

49 MR. ROBERTS: And they would also indicate in that
50 proposal as an example, if they're replacing an asset, which
51 assets they are replacing, so that's a side benefit to my staff
52 in looking at and recording these fixed assets, that we have
53 an indication of the assets that are being replaced, so that
54 we can start to develop is there a loss or a gain on the
55 disposal of these assets coming up, and make a provision
56 for it. As the work order is raised, of course, the time has
57 progressed and hopefully there is a more refinement of
58 current information, if it is available, and that may or may
59 not impact the service date, the inservice date, and I guess
60 what I was trying to say is that within 2002 if those
61 inservice dates change then they're not going to be in or
62 out of rate base, so if we don't get it in rate base on such
63 time as you come back and actually have a hearing and
64 include these assets in rate base, then really you're not
65 recovering costs on those things, they are partly coming
66 out of your profit.

67 MR. NOSEWORTHY, CHAIRMAN: Understood, yeah, so
68 the inservice dates as you refer to them, that's the date that
69 the asset or the project becomes operational or is available,
70 is used and useful based on ...

71 MR. ROBERTS: Is supposed to be used and useful, and
72 available for generation of revenue or provision of power.

73 MR. NOSEWORTHY, CHAIRMAN: So is there a definition
74 of that used and useful?

75 MR. ROBERTS: We do have a definition of an inservice
76 date, and as I mentioned, I think one is being available to
77 generate power, and I think there are two others that we use
78 as a definition of being in an inservice date.

79 MR. NOSEWORTHY, CHAIRMAN: So specific criteria.

80 MR. ROBERTS: Yes.

81 MR. NOSEWORTHY, CHAIRMAN: I see, okay. Thank
82 you, you had mentioned in relation to a discussion, I think,
83 with counsel this morning, the idea that there is a
84 performance, or an incentive, a management incentive
85 program in place at Hydro. I believe that's correct.

86 MR. ROBERTS: It's on a pilot basis, it commenced this
87 year.

88 MR. NOSEWORTHY, CHAIRMAN: I see, and you talked
89 about the, some of the requirements and some of the
90 responsibilities certainly that you have to meet specific
91 targets and objectives, and how are those targets and
92 objectives set for you? Who does that and how are they
93 actually promulgated in that sense?

94 MR. ROBERTS: Directly to my own department would be
95 between my Vice-President and myself as to these targets

1 that we would establish for the year, and I would agree to
2 those. Then as you move up, I would also be involved on
3 a divisional level that would affect myself as well as the
4 other three managers that report to the Vice-President of
5 Finance, and then the management committee would be
6 dictating the corporate-wide objectives that the senior
7 management would participate in.

8 MR. NOSEWORTHY, CHAIRMAN: So is it fair to say that
9 Mr. Osmond would set your targets, or would you have
10 input and they would be derived through discussion and
11 would they be based on management objectives that would
12 be set and therefore it would filter down and you would set
13 objectives to your staff as well?

14 MR. ROBERTS: It would filter down from the top coming
15 down, and then maybe ... it would start at the top and come
16 down as being the corporate objectives to divisional and
17 then to my particular department, and there may be some
18 objectives that I may have which are solely objectives
19 towards my department that may have a very negligible
20 impact on the corporation as a whole.

21 MR. NOSEWORTHY, CHAIRMAN: Right.

22 MR. ROBERTS: But it may be important in my particular
23 area, for instance, in assigning of staff and how we can get
24 things organized and done, or accomplished quicker or
25 faster, so the impact up to the corporate level may be very
26 small, but to me and my department it could mean a big gain
27 in how I do things.

28 MR. NOSEWORTHY, CHAIRMAN: This may be a
29 question best addressed to Mr. Osmond, and I'll certainly
30 do that, but I'm trying to understand other people's, other
31 employees' roles in this as well. You've gone through a
32 strategic planning exercise, so would these objectives and
33 that be set on the basis of an actual business plan and
34 filtered down through the organization?

35 MR. ROBERTS: The strategic planning process is still
36 ongoing and we're trying to progress and advance that
37 process in between this hearing and as time avails, and
38 recognizing that it's not just the people that are involved in
39 here, but other vice-presidents and senior managers in
40 Hydro, so we are endeavouring to progress them as best as
41 we can.

42 MR. NOSEWORTHY, CHAIRMAN: So the business
43 planning exercise is really not operationalized if you will
44 within Hydro at this point.

45 MR. ROBERTS: Not fully implemented and up and
46 running, but the objectives are being tied to where we see
47 the strategic planning going.

48 MR. NOSEWORTHY, CHAIRMAN: Okay, thank you. The
49 other, I made a note ... in the professional services there

50 was \$65,000 for career succession software. What would
51 that be best ... who would respond to that question?

52 MR. ROBERTS: You will have to put it to Mr. Osmond.

53 MR. NOSEWORTHY, CHAIRMAN: Okay.

54 MR. ROBERTS: It falls underneath the responsibility of
55 Ms. Greene, Human Resources and Legal Counsel.

56 MR. NOSEWORTHY, CHAIRMAN: Okay, I'll put Mr.
57 Osmond on notice for that question. That's fine, Mr.
58 Roberts, thank you very much. That's all the questions I
59 have.

60 MR. ROBERTS: Thank you.

61 MR. NOSEWORTHY, CHAIRMAN: We'll proceed now
62 directly to questions on matters arising, and I'll ask
63 Newfoundland Power if they would have any questions
64 please?

65 MS. BUTLER, Q.C.: Nothing arising, thank you, Mr.
66 Chairman.

67 MR. NOSEWORTHY, CHAIRMAN: Industrial Customers?

68 MR. HUTCHINGS: Just one point to clarify, Mr. Chair, Mr.
69 Roberts, both in response to Mr. Kennedy earlier today,
70 and again in response to Commissioner Whalen, in talking
71 about the supplies inventory I was led to believe today that
72 the number that's in the rate base, and it happens to be on
73 the screen in front of us, the \$21,095,000, was actually a 13
74 month rolling average, whereas I understood from our
75 discussion of yesterday that that was simply the December
76 31 balance. Can you clarify which it actually is?

77 MR. ROBERTS: The \$21,095,000 is a December 31st, 2000
78 number, and what we did do, is we did look back over the
79 year 2000 and see what that number was in relationship to
80 the 2105, and it was close enough that we just went with
81 that particular number.

82 MR. HUTCHINGS: Okay, because I was fairly certain that
83 I had heard you say to Mr. Kennedy in answer to a
84 question that ... or actually it was on redirect, that the 13
85 month average is used in the rate base, but that's not the
86 case?

87 MR. ROBERTS: Not in the case of the supplies inventory.
88 It's used in the case of the fuel inventory.

89 MR. HUTCHINGS: Yes, I understood that.

90 MR. ROBERTS: Where we do actually have a projection of
91 the Bunker C and the diesel fuel.

92 MR. HUTCHINGS: Okay, thank you. That's the only point
93 I had, Mr. Chair.

94 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.
95 Hutchings. Mr. Browne, do you have any questions?

- 1 MR. BROWNE, Q.C.: Yes, we have a few questions, Mr.
2 Roberts. Commissioner Whalen asked you concerning
3 CF(L)Co. and JD Edwards, and the costing of that. Have
4 you ever had a complaint from Hydro Quebec in reference
5 to any costing Hydro has allocated to CF(L)Co.?
- 6 MR. ROBERTS: I'm not aware of any complaint, but maybe
7 I can give you a little bit of history. Back in my time with
8 Hydro, and I started back in '83, and became Controller in
9 '85. In the earlier days the CF(L)Co. administrative fee
10 between CF(L)Co. and Hydro always formed part of the
11 budget. In the latter years the board of directors of
12 CF(L)Co. which would include representatives from Hydro
13 Quebec, wanted to have detailed information provided, and
14 specific approval, and what we have attached in **NP-11(b)**
15 is an exact sample of ... it's not a sample, it is an actuality of
16 what we provide to the CF(L)Co. board of directors for their
17 approval and consent, so they literally agree to what the
18 fee is. The Vice-President of Finance attends those
19 meetings and provides a financial report as well as is
20 prepared to address and answer any questions as to why
21 things are changing and what we have done in that respect,
22 so the amounts are reviewed and then the information is
23 provided and made available to the CF(L)Co. board of
24 directors for their consideration.
- 25 MR. BROWNE, Q.C.: So you've had no complaint then
26 from Hydro Quebec.
- 27 MR. ROBERTS: Not that I'm aware of.
- 28 MR. BROWNE, Q.C.: And that, of course, leads the
29 question, are you sure you're charging enough to
30 CF(L)Co.?
- 31 MR. ROBERTS: From my perspective, I think we're being
32 reasonable.
- 33 MS. GREENE, Q.C.: We are aware Hydro Quebec pays one
34 third through their share holdings.
- 35 MR. BROWNE, Q.C.: This morning you were asked
36 questions concerning the interest which has accumulated
37 in the Rate Stabilization Account over the years. You are
38 aware now, of course, that CA-216, and CA-217 were filed
39 yesterday.
- 40 MR. ROBERTS: Yes, I am.
- 41 MR. BROWNE, Q.C.: And these two documents give
42 specifics in reference to the interest that's accumulated
43 since the inception of the Rate Stabilization Plan. I don't
44 believe these are available electronically yet, are they, Mr.
45 O'Rielly? Maybe the witness can confirm those figures for
46 us.
- 47 MR. ROBERTS: CA-216 provided the year end balances of
48 the Rate Stabilization Plan since 1986, up to and including
49 September 2001, and CA-217 was the interest that's been
50 charged to the Rate Stabilization Plan either by year since
51 I believe 1986, and if I remember the number, I think it's a
52 total of about \$15.2 million.
- 53 MR. BROWNE, Q.C.: You must have prepared the
54 documents, did you?
- 55 MR. ROBERTS: My staff put it together so I have reviewed
56 it, and I do remember the numbers.
- 57 MR. BROWNE, Q.C.: Yes, I just wanted to point out that
58 these documents are there and are available. You were
59 asked a number of questions concerning JD Edwards, and
60 I mentioned this to counsel during lunch. Would it be
61 possible, since we've heard so much about JD Edwards, to
62 take a view for counsel and indeed the Board, to take a
63 view to see how JD Edwards operates. Is that possible?
- 64 MR. ROBERTS: I believe it can be arranged.
- 65 MS. GREENE, Q.C.: We may be able to arrange for it here
66 through this monitoring system, if that's the wish of the
67 Board.
- 68 MR. NOSEWORTHY, CHAIRMAN: I'd be interested in
69 that as well, I think, I don't know about my colleagues.
- 70 MR. BROWNE, Q.C.: I'm sure, in order to get a break, none
71 of us would be adverse to travelling to Hydro and taking a
72 look and ...
- 73 MS. GREENE, Q.C.: You can come to Hydro if ... you're
74 welcome at Hydro Place any time as well.
- 75 MR. BROWNE, Q.C.: And see if JD Edwards can make us
76 a coffee and give us a donut too.
- 77 MS. GREENE, Q.C.: We provide the coffee but no donuts.
- 78 MR. BROWNE, Q.C.: Okay.
- 79 MR. NOSEWORTHY, CHAIRMAN: We'll arrange for that.
- 80 MS. HENLEY ANDREWS: As long as it's not in the
81 revenue requirement.
- 82 MS. GREENE, Q.C.: No, no, everything like that goes in the
83 revenue requirement.
- 84 COMMISSIONER POWELL: Don't bring your spouse
85 *(laughter)*.
- 86 MS. GREENE, Q.C.: I don't think my spouse would be
87 interested, Mr. Powell.
- 88 *(2:45 p.m.)*
89
- 90 MR. FITZGERALD: Mr. Chair, I just have one question
91 arising. Mr. Roberts, it arises from a question put to you
92 by Commissioner Whalen. It relates to Foster and
93 Associates' assistance to Hydro in preparing the rate base

1 figures.

2 MR. ROBERTS: Yes.

3 MR. FITZGERALD: And that's in total, they assisted you
4 line-by-line with this?

5 MR. ROBERTS: They provided some basic guidance, as I
6 mentioned, like in the case of the inventory, because of the
7 volatility with the fuel, that we should be using a 13 month
8 average, so therefore you wouldn't end up with the highest
9 amount in the rate base. It should be based on the average
10 and you're taking out the situation where the inventory is
11 the highest at the end of December, so it would eliminate
12 that bias, so it was that type of advice that they provided
13 to us, and of course, with that advice we then prepared the
14 necessary information and the numbers. When the
15 numbers were done, of course, they were provided with
16 this information for their review and if they happened to
17 see something that wasn't right or something that seemed
18 strange in their opinion, then they would advise us
19 accordingly.

20 MR. FITZGERALD: Is there any intention to disclose any
21 of that correspondence with Foster and Associates on this
22 issue at this hearing?

23 MR. ROBERTS: No, and most of the correspondence
24 would be via the telephone call or photocopying or
25 electronically sending, as an example, this page of the rate
26 base to Foster and Associates, so there wasn't a formal
27 written request for information, it was by phone calls and
28 electronic mail.

29 MR. FITZGERALD: Would it be difficult to assemble the
30 communication?

31 MR. ROBERTS: I really don't know because most of the
32 information wasn't done by me, it would have been done by
33 the rates department or staff in my area.

34 MR. FITZGERALD: That's my questions.

35 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.
36 Browne, and thank you, Mr. Fitzgerald. Mr. Kennedy, do
37 you have any questions?

38 MR. KENNEDY: Just one question, Chair. Mr. Roberts,
39 there was some questions concerning, by Commissioner
40 Powell concerning the net salvage costs being added to the
41 accumulated depreciation of your prime assets, and I take
42 it this is, as I understand it correctly, so that on the theory
43 that at the end of the depreciation period the asset is no
44 longer useful and you will have built a provision in for
45 salvaging.

46 MR. ROBERTS: You will have built up a provision to cover
47 the cost of the salvage at that point in time.

48 MR. KENNEDY: Now in the case of, for instance, Units

49 No. 1 and 2 at the Holyrood station, the useful life of those
50 assets has been extended a significant number of years
51 beyond what was originally anticipated.

52 MR. ROBERTS: In the case of units one and two, they
53 were fully depreciated in 2001 so in the case of Units 1 and
54 2, all we are dealing with is additions to those particular
55 units and we treat it as a piece of equipment because the
56 plant is fully depreciated for Units 1 and 2.

57 MR. KENNEDY: Sure, what would happen though from an
58 accounting perspective if you had been adding a salvage
59 provision into the depreciation of Units No. 1 and 2, so that
60 now we would actually have a positive balance in the
61 account built in for that salvage, but we're not actually
62 going to salvage, so ...

63 MR. ROBERTS: If it had to have been done back in time,
64 what you would have now is sitting on the balance sheet
65 a liability to which the future payments could be charged.
66 In reality, if that had to have been done by the depreciation
67 expense going through the revenue requirement, the cost
68 would have been recovered each year the depreciation
69 expense was being recorded, so that the liability already
70 existed and funds had been received so that the payment
71 of those funds then wouldn't impact on the, the payment of
72 those costs would not impact on the current year's
73 operations.

74 MR. KENNEDY: Okay, that might be one I need to go
75 speak to Mr. Brushett about to see if I can get an
76 interpretation on that. So it's not the case then that by
77 depreciating the asset down faster than as it actually
78 happened to be the case, that you would, your depreciation
79 expense ...

80 MR. ROBERTS: Well what you would do is you would be
81 using a higher rate, like instead ... as I mentioned, instead
82 of using ten percent, if you had said, well, look, an extra
83 one percent would give me the value of those net salvage
84 costs ten years into the future, so by putting through the
85 11 percent, then you would accumulate a liability, very
86 similar to the employee future benefits.

87 MR. KENNEDY: Uh hum.

88 MR. ROBERTS: But you've got this recognition being
89 done.

90 MR. KENNEDY: Yeah, and on a straight line that implies
91 that you'd have ten years of useful life for that asset.

92 MR. ROBERTS: Well, whatever happens to be left on that
93 particular life.

94 MR. KENNEDY: And then at the end of the ten years
95 you've now got this asset fully depreciated down, plus a
96 provision built for salvage.

1 MR. ROBERTS: Plus I have the provision up here, that's
2 correct.

3 MR. KENNEDY: But if the asset actually ended up having
4 a 20 year life span, you now have built up a provision for
5 salvage premature to what you actually require, correct?

6 MR. ROBERTS: What would have to be done is that if you
7 were to do a revised condition survey, then one of the
8 things that would have to be done would also have to make
9 the review of this as well, so both would have to go on
10 parallel.

11 MR. KENNEDY: Okay, so from an accounting perspective,
12 that provision for the salvage would get taken care of
13 during the extended life of the asset.

14 MR. ROBERTS: That's correct, you would revise both.

15 MR. KENNEDY: That's all the questions I have, thank you,
16 Chair.

17 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.
18 Kennedy. Ms. Greene, any redirect?

19 MS. GREENE, Q.C.: I have no redirect for Mr. Roberts, but
20 I did have a comment in response to questions by yourself,
21 the Chair, to Mr. Roberts on the incentive plan. I just
22 wanted to point out that U-Hydro No. 12 contains a
23 description of the incentive plan and the corporate
24 objectives that were set at the top and then how it works
25 down to the divisional level, and there is a sample attached
26 to that, so that's U-Hydro No. 12 for the description of the
27 incentive plan and an example of how it works.

28 MR. NOSEWORTHY, CHAIRMAN: Thank you for that
29 information, Ms. Greene. Is that it?

30 MS. GREENE, Q.C.: Thank you, yes.

31 MR. NOSEWORTHY, CHAIRMAN: That concludes Mr.
32 Roberts' testimony?

33 MS. GREENE, Q.C.: Yes, thank you very much.

34 MR. NOSEWORTHY, CHAIRMAN: Thank you very much,
35 Mr. Roberts. Your testimony was very direct and clear I
36 thought, thank you.

37 MR. ROBERTS: Thank you.

38 MR. NOSEWORTHY, CHAIRMAN: I guess I'd be looking
39 for direction now. We had talked ... I would propose, if we
40 were going to begin with Mr. Osmond that we break and
41 allow Mr. Osmond to get prepared and probably come back
42 at 3:00 (*sic*). That would give us 45 minutes, but I'm totally
43 at your discretion on that.

44 MS. GREENE, Q.C.: And I guess Hydro is ...

45 MR. NOSEWORTHY, CHAIRMAN: I was understanding
46 that if there was 45 minutes or an hour left you'd like to

47 bring Mr. Osmond on and I was understanding that
48 Newfoundland Power would be prepared to begin for that
49 period of time. Is that still the case?

50 MS. GREENE, Q.C.: I guess we're agreeable whatever the
51 parties wish. Mr. Osmond is ready to start. We recognize
52 we have this break at quarter to three, and I don't know if
53 we would be back by 3:00. I guess that wouldn't be a
54 regular coffee break, would it, because ...

55 MR. NOSEWORTHY, CHAIRMAN: No, we would like to
56 finish at quarter to four this afternoon promptly.

57 MS. GREENE, Q.C.: So really whatever is agreeable to the
58 parties. If the Board wishes to start with Mr. Osmond, Mr.
59 Osmond is ready to start. If we determine with the coffee
60 break and leaving by quarter to 4:00 is only a half an hour,
61 it's almost not worthwhile, that is really up to the parties
62 and to the Board.

63 MR. NOSEWORTHY, CHAIRMAN: I could go around,
64 and I don't see ... personally I don't see the utility to some
65 degree in starting this afternoon with Mr. Osmond.

66 MS. BUTLER, Q.C.: Mr. Chairman, we're quite flexible
67 really. It's Friday and it's been a long week. I think we've
68 accomplished a lot quite frankly.

69 MR. NOSEWORTHY, CHAIRMAN: I think so, I think we'll
70 break now until 9:30 on Monday morning at which time Mr.
71 Osmond will take the stand hopefully. He looks ... I'm not
72 sure whether he looks relieved or upset, but anyway, Mr.
73 Osmond, we look forward to seeing you on Monday
74 morning.

75 *(hearing adjourned to November 19, 2001)*