

1 (9:40 a.m.)

2 MR. NOSEWORTHY, CHAIRMAN: Good morning.
3 Another glorious day. Hopefully it'll compensate a little bit
4 for what's in the news these days which is nothing very
5 good, I'm afraid. For those who've got money in the stock
6 market, you'd probably need two weeks of 40 degrees and
7 the sun splitting the rocks to even, and then perhaps it
8 wouldn't make up ... but it is a nice morning. Are there any
9 preliminary matters this morning before we begin? Okay.
10 Good morning, Mr. Browne. Good morning, Mr. Reeves.

11 MR. REEVES: Good morning, Chair.

12 MR. NOSEWORTHY, CHAIRMAN: If you would perhaps,
13 Mr. Browne, continue with your cross-examination, if
14 you're ready.

15 MR. BROWNE, Q.C.: Good morning, Mr. Chairman,
16 members of the Board. Good morning, Mr. Reeves.

17 MR. REEVES: Good morning.

18 MR. BROWNE, Q.C.: I want to go to, continue on with
19 what we've been doing. We just have a few more of these
20 committees, these working groups to go through, and then
21 I want to turn to **CA-190** which has specific references and
22 minutes. I'm not going to review them all but I'm going to
23 review some, so that's where we're headed. But in reference
24 to group, Working Group No. 14, and this is in the **Exhibit**
25 **201**, on page 44, down below it you'll see the date, May 5,
26 1999. There was a joint meter shop review. What was the
27 purpose of that review, Mr. Reeves, please?

28 MR. REEVES: It's on page 44?

29 MR. BROWNE, Q.C.: Yes, sir.

30 MR. REEVES: Yes, May 5th. The scope of the committee
31 was to review the meter shop operations of both utilities
32 with the objective of reducing costs to the ultimate
33 customer through the coordination of such activities.

34 MR. BROWNE, Q.C.: And if you look at the Steering
35 Committee's evaluation and the Working Group's
36 evaluation on the next page there's a reference to savings
37 of \$175,000 per year. The Steering Committee's evaluation
38 and the Working Group's recommendations seem to be the
39 same. What was the Working Group's recommendation,
40 sir?

41 MR. REEVES: Starting at 14.79?

42 MR. BROWNE, Q.C.: Yes, please.

43 MR. REEVES: While the management members of a team
44 could support the respective Option 3, their company
45 processing all meters, the group as a whole could only
46 support Option 6. Option 6 provided a savings of six
47 percent, approximately \$70,000 per year from the status quo

48 while either company operating one accredited (phonetic)
49 shop, the savings to the ultimate consumer are 28 percent,
50 approximately \$175,000.

51 MR. BROWNE, Q.C.: Now has this Working Group
52 recommendation been activated? Are we into the process
53 of saving the \$175,000?

54 MR. REEVES: We do not have a joint meter shop between
55 both utilities. We do our meters separately right now,
56 using a different method to do it.

57 MR. BROWNE, Q.C.: Well why do we have the
58 recommendation if it's not being followed?

59 MR. REEVES: Again, this is one of the committees that no
60 consensus could be achieved as to how we would proceed.

61 MR. BROWNE, Q.C.: And I see in **Draft No. 20** the report
62 on page 45. If you continue on there you'll, in your
63 binders, you'll see it, **Draft No. 20, C01, CA-201(A)**, page
64 45. I just want to make a quick reference to that, and that's
65 a further report of the (inaudible) dated January 4, 2001. Do
66 you have that there?

67 MR. REEVES: Yes, I do.

68 MR. BROWNE, Q.C.: And what's the last line in that
69 report?

70 MR. REEVES: "Since the Committee met, Newfoundland
71 Power has determined that using an outside contractor was
72 most cost-effective than attaining accreditation based on
73 the small number of meters which it has."

74 MR. BROWNE, Q.C.: So has Newfoundland Power
75 contracted out this work, do you know?

76 MR. REEVES: That's correct.

77 MR. BROWNE, Q.C.: They've contracted out meters, this
78 ...

79 MR. REEVES: That's correct, yes.

80 MR. BROWNE, Q.C.: And you haven't?

81 MR. REEVES: No, we have not. We have ... we did a
82 review of where we were with our meter shop and we found
83 it to be more cost-effective to have our shop accredited.

84 MR. BROWNE, Q.C.: How could one utility have
85 contracted it out and the other, alleging savings, and the
86 other utility, you claim it's not worthwhile to contract it out
87 despite the fact we have a report saying if both utilities
88 work together we could have \$175,000 per year in savings?

89 MR. REEVES: Both of our meter shops were different. For
90 instance, one of the things that I guess could be, could not
91 be agreed upon, I guess, by the Working Group as to
92 which utility should have the meter shop. The equipment
93 that we have in our meter shop is relatively new in

1 comparison to the Newfoundland Power equivalent and for
2 us to upgrade our test boards, which was required for
3 accreditation, was a small amount of dollars. I understand
4 that Newfoundland Power, if they had to upgrade their test
5 boards for accreditation, they would have had to spend a
6 lot more money, so I guess what they did, they compared
7 the upgrading of their test boards to contracting out and
8 where they had to spend more money, the contracting out
9 option was probably the preferred option for them. In
10 Hydro when we did a similar evaluation we found that it
11 was better for us to become accredited and therefore it
12 would be less costly than contracting out, from the
13 information that we have, from what our people conducted.

14 MR. BROWNE, Q.C.: And that's your explanation, sir, and
15 we'll note that, but we also note the recommendations. So
16 where's the savings here for the consumer? Have they
17 gotten anything out of this?

18 MR. REEVES: I would say that there has been savings. I'm
19 not able to quantify them to you right now but where we
20 are right now, like, it was only this year that we became
21 fully accredited and my intention, as we have an accredited
22 shop now, is to go to Newfoundland Power and to, which
23 I've already asked, to see if they, instead of contracting out
24 their meters, if they can have their meters tested in our
25 shop, but those discussions, the real discussions on that
26 particular thing has not been finalized yet.

27 *(9:45 a.m.)*

28 MR. BROWNE, Q.C.: So I guess it would depend on the
29 terms of the contract with Newfoundland Power.

30 MR. REEVES: Yes. What we would like to know is what
31 they would be paying for the contracting out per meter to
32 see if we could better that and that would be our goal.

33 MR. BROWNE, Q.C.: Well we had a joint committee
34 looking at this. I find it surprising that one utility would
35 jump the gun and go contracting out when this was under
36 discussion, there's a recommendation from a consultation
37 group that worked over a three-year period. Did you find
38 that surprising yourself?

39 MR. REEVES: There was a number of discussions, I guess,
40 that took place between ourselves, both utilities, and I
41 guess it really came down to where the meter shop should
42 be, and ...

43 MR. BROWNE, Q.C.: So it was a jurisdiction thing, was it?

44 MR. REEVES: If that's the word that you want to use.

45 MR. BROWNE, Q.C.: Newfoundland Power wanted it over
46 on their premises and you wanted it on yours. That's what
47 I refer to when I talk about jurisdiction. Is that what we are
48 squabbling about here now?

49 MR. REEVES: What could not be agreed on as to which
50 utility would have the meter shop, and I guess it was our
51 opinion that we had the most modern equipment that we
52 felt that the test facility should be with Hydro, and that's
53 what we were working towards.

54 MR. BROWNE, Q.C.: Working Group No. 15, the technical
55 training.

56 MR. REEVES: Are you back on the report 19?

57 MR. BROWNE, Q.C.: Yes, I'm sorry. I'm on the May 5 one
58 now, '99. What was the purpose of that Working Group
59 and what was the result, sir?

60 MR. REEVES: This group was for the two training sections
61 of both utilities to get together to see if we could, as it says
62 here ... well, probably I should read the scope as I've been
63 consistently doing. "Explore opportunities for cooperation
64 in the design, purchase and/or delivery of technical training
65 programs that meet the strategic business needs and
66 employee development priorities of both utilities, to review
67 and focus on three principal areas, training programs
68 offered by manufacturers of equipment used by both
69 companies, communications and information technology
70 training programs, trades and technology training including
71 skills upgrading."

72 MR. BROWNE, Q.C.: How would this be beneficial from a
73 cost-saving perspective, Mr. Reeves?

74 MR. REEVES: One thing that may happen in this particular
75 group, say if Newfoundland Power, for instance, were
76 bringing in a technical trainer on, say, a transformer or a
77 particular recloser or something, then one of the things that
78 we may be able to do is that they would advise us and then
79 if we had similar equipment and then we could participate
80 in the training program rather than having to bring in our
81 trainers separately, and therefore we would get it done
82 more effectively and the converse is true as well.

83 MR. BROWNE, Q.C.: And the Working Group made a
84 number of recommendations, one recommendation being
85 **15.80**. Can you read that recommendation and advise if
86 that has been implemented?

87 MR. REEVES: "That Newfoundland Power and
88 Newfoundland and Labrador Hydro share the physical
89 training space available at both companies but especially
90 those facilities in St. John's, Bishop's Falls and
91 Stephenville."

92 MR. BROWNE, Q.C.: Has that been done for training
93 purposes? Have you saw to it?

94 MR. REEVES: I'm not able to say that it has or it has not
95 been done.

96 MR. BROWNE, Q.C.: Who could say? You were on the

1 committee, you were Hydro's representative, you are giving
2 evidence here.

3 MR. REEVES: I could take it upon myself to determine if we
4 have used it ...

5 MR. BROWNE, Q.C.: Yes, that might be ...

6 MR. REEVES: ... if you would like for me to do that.

7 MR. BROWNE, Q.C.: And was there any qualification here
8 in terms of the savings which could be realized? Like in the
9 meters you quantified \$175,000, but in this particular
10 working group, was there a quantification of how much
11 money we're talking about here?

12 MR. REEVES: I remember those discussion, this particular
13 one as to how we would be able to determine, and my
14 recollection is that it would be very difficult to do that.
15 There may be some opportunities, two that come to mind.
16 Say, for instance, if we were going to go for outside space
17 for a training session and the other utility had adequate
18 space for that training, that may be a way. Like, the other
19 one is if we were able to coordinate, as I said a second ago,
20 on bringing in trainers. And my recollection from just
21 talking to, I guess, one of my staff, is that there was one
22 course that we held in the last little while, in the last year or
23 so, that I think we offered seats to Newfoundland Power's
24 personnel to attend as well.

25 MR. BROWNE, Q.C.: And did they?

26 MR. REEVES: I think they did but I stand ...

27 MR. BROWNE, Q.C.: Because the result of the Steering
28 Committee's evaluation, if you could read that out, the
29 second part of it on page 48, the last two lines there ...

30 MR. REEVES: "The Steering Committee is in agreement
31 that there is a savings in the issue of joint training and
32 using the other utility's facilities where practical."

33 MR. BROWNE, Q.C.: But we don't know if this has been
34 done minus the reference you just made.

35 MR. REEVES: No.

36 MR. BROWNE, Q.C.: You think there may have been
37 something there.

38 MR. REEVES: Yeah.

39 MR. BROWNE, Q.C.: The report, this particular draft, **Draft**
40 **No. 19**, has a number of conclusions and recommendations.
41 They're found on page 49, some of them, of the May 5,
42 1999, version. The overview of the process there, Section
43 A, "A summary of service enhancements," can you read
44 that into the record commencing there, the three paragraphs
45 that commence with that one?

46 MR. REEVES: "A summary of service enhancements"?

47 MR. BROWNE, Q.C.: Yes, sir.

48 MR. REEVES: "The service (*sic*) of service enhancements
49 and cost savings is provided in Section B below. These
50 will be achieved by greater cooperation. The structure of
51 the review did not, however, lend itself to recommend
52 changes which impacted negatively one or more parties."

53 MR. BROWNE, Q.C.: Now what does that mean, "The
54 structure of the review did not lend itself to recommend
55 changes which impacted negatively one or more parties"?
56 What does that mean?

57 MR. REEVES: I guess it goes back to, as I said a number of
58 times here, is that there was not unanimous consent
59 amongst the committees for different reasons. Also there
60 was a concern by the union representatives that if we were
61 able to coordinate, it may in effect cut down some of the
62 overtime that would be available to union personnel and
63 there was also concern that it may eventually end up
64 impacting on the staffing levels of both companies, and
65 that was, I think, generally held by both unions.

66 MR. BROWNE, Q.C.: And you are aware, both of you are
67 into a rate based system now?

68 MR. REEVES: Now we are, yes.

69 MR. BROWNE, Q.C.: Do you know how that works?

70 MR. REEVES: Personally?

71 MR. BROWNE, Q.C.: Yes.

72 MR. REEVES: I generally know how it works but I don't
73 know the intricacies of it, no.

74 MR. BROWNE, Q.C.: One party had to get rid of a facility
75 or cooperate with the other, would that facility come out of
76 their rate base or be sold?

77 MR. REEVES: That would be my understanding, yes.

78 MR. BROWNE, Q.C.: And the rate base determines, I
79 guess, their rate of return and their overall, the overall
80 profits that these companies, your companies would make.
81 Is that not true?

82 MR. REEVES: That's correct, yes.

83 MR. BROWNE, Q.C.: So given these facts, what hope is
84 there for cooperation, real cooperation?

85 MR. REEVES: Well I guess what we were trying to say
86 here is that the structure of this way that we attempted to
87 do it with the coordination of the unions at that time, it was
88 a, I guess both companies were trying to work much more
89 closely with the unions to bring in cost savings and more
90 reliabilities but really when we really got down to it, I guess
91 it got more difficult to achieve.

92 MR. BROWNE, Q.C.: The report on page 49, the Overview

1 of Process, the last paragraph you began ... you read the
2 first two paragraphs. The paragraph beginning, "It was
3 generally felt," can you read that into the record, please?

4 MR. REEVES: "It was generally felt that while there are not
5 a lot of areas of overlap, there are a few areas where a
6 different approach may result in lower cost. One such
7 example would be in the area of distribution, operation and
8 maintenance in the Springdale/Baie Verte area. A plan
9 could be developed to work towards a more streamlined
10 operation, say, over five years. This could result in
11 requiring fewer workers with associated cost savings. This
12 might involve a reduction in the total number of staff and
13 may involve doing work for each other at times. The
14 agreement such as this could not be reached given the
15 diversity of the group."

16 MR. BROWNE, Q.C.: When you ... it says, "A plan could
17 be developed to work towards a more streamlined operation
18 over, say, five years," has that plan been activated?

19 MR. REEVES: On this particular area there, no, it hasn't,
20 but I think some of what, where we can achieve some
21 efficiencies, would be addressed in the MOU that was
22 signed between both parties.

23 MR. BROWNE, Q.C.: Now this report, the last committee
24 meeting was in May 1999, and it appeared to lay dormant
25 for a while and then it reactivates on January 4, 2000, with
26 **Draft No. 20**, January 4, 2001. How did it come to be
27 dormant and how did it come to be reactivated?

28 MR. REEVES: The May 5th report was the last report that
29 the Steering Committee as a whole saw, all four members,
30 and was during that May meeting. Most of us will
31 remember that the fall of 1999, there was a big issue on the
32 go, which was Y2K. It sort of engulfed both utilities to
33 ensure that we were able to slide through the new year
34 without difficulties on our system, so that occupied a fair
35 bit of time, I guess, of myself and Mr. Evans. In addition to
36 that, Hydro was in negotiations with its union. That
37 started in the fall of '99 and continued up until probably late
38 to early, or late spring, early summer, and I also think there
39 was probably some re-election of business unit people, but
40 I don't have that information, but I'm not sure if it was then
41 or before that, but that also caused us some delays. So
42 what happened, after the Y2K and we got through our
43 negotiations, Mr. Evans and I, I guess, met on a number of
44 occasions to try to reactivate the process, and what we did
45 is that we both took the report that had been done to date,
46 which is Version 19, and we worked on it with the intent,
47 because, as you said a second ago, it was starting to
48 become a little bit stale, it's now a year old, things are
49 changing, so what we attempted to do was to update the
50 report to where we were then and to ask ourselves
51 questions so that when we would get back together with

52 the full Steering Committee, we could reactivate the process
53 and finalize this report, and that is what Version 20 is, is the
54 work ... the difference between 19 and 20 is the work of Mr.
55 Evans and I trying to get ready to reactivate the process.

56 MR. BROWNE, Q.C.: And is the process reactivated now?

57 MR. REEVES: No, it's not. As I think I've indicated before,
58 is that Mr. Evans left Newfoundland Power earlier this year,
59 has been replaced by Mr. Ludlow. I've mentioned to Mr.
60 Ludlow a couple of times, as we meet on a regular basis, as
61 was pointed out previously, that we would like to reactivate
62 the process. Starting, I guess, in May this year I sort of got
63 preoccupied with the process that we're going through now
64 and we have not reactivated the process.

65 MR. BROWNE, Q.C.: So when our friend, Mr. Brushett,
66 says in his report to the Board, and if you want to reference
67 that, you'll find it in the report of 2000. Is it 2000? 2000 ...
68 the **Annual Financial Review, 2000**, if you want to make
69 reference to that. Page 35, "The Joint Steering Committee
70 Coordination of Utilities." Have you got that there?

71 MR. REEVES: Yes, I do.

72 MR. BROWNE, Q.C.: Can you read that into the record?

73 MR. REEVES: The full two paragraphs?

74 MR. BROWNE, Q.C.: Yes, "The Joint Steering Committee"
75 ...

76 MR. REEVES: "This is a joint committee consisting of
77 union representatives from Hydro and Newfoundland
78 Power. The Committee was" ...

79 MS. BUTLER, Q.C.: I wonder can we wait until we get it on
80 our screen, sorry?

81 MR. REEVES: Oh, I'm sorry.

82 MR. O'RIELLY: Page 35?

83 MR. BROWNE, Q.C.: Page 35, Mr. O'Rielly, beginning with,
84 "This is a joint committee." Go back, yeah.

85 MR. REEVES: One more, I think. Keep going up. There it
86 is right there.

87 MR. BROWNE, Q.C.: Okay, "Joint steering committee."

88 MR. REEVES: Okay.

89 MR. BROWNE, Q.C.: Yes.

90 MR. REEVES: "This is a joint committee consisting of
91 union representatives from Hydro and Newfoundland
92 Power. The committee was established in early 1997 to
93 review potential opportunities for coordination that could
94 result in lowering the overall cost of providing electrical
95 service. The overall mandate of the Steering Committee is
96 to advise and make recommendations to the utilities based

1 on reviews that are carried out on their behalf. It was
2 indicated by management in 1999 that most of the review of
3 the Joint Steering Committee have been concluded (*sic*),
4 however, a" ...

5 MR. BROWNE, Q.C.: "Have been conducted," sir.

6 MR. REEVES: Sorry. I'm ... sorry.

7 MR. BROWNE, Q.C.: That's okay.

8 MR. REEVES: "Have been conducted, however, a report
9 was not finalized. According to an update provided by
10 management, there were several minor opportunities for a
11 change identified and implemented, however, towards the
12 end of the process there was little value added in finalizing
13 a written report."

14 MR. BROWNE, Q.C.: Where would Mr. Brushett get that
15 conclusion, "Towards the end of the process there was
16 little value added in finalizing a written report"?

17 (10:00 a.m.)

18 MR. REEVES: Well that's, I guess, what was given earlier
19 this year, which would have come from me. I'm the
20 representative which would have given this to our people
21 to give to the PUB auditors, and I guess what I meant by
22 that is that there has been a number of changes since 1999
23 and whether we should reactivate this process now
24 knowing that there was a general, at least four committees,
25 there was no consensus whether we should actually restart
26 this process or not, I don't know, and in my discussions
27 with Mr. Ludlow, this would be one of the things that I
28 would be talking about. Ideally, if there are not a lot of
29 changes to be made to report, it would be nice to have that
30 document finished, but whether there's any value added in
31 finishing that document now is the question.

32 MR. BROWNE, Q.C.: And we're into our fourth year now.
33 It started May 1997, it was finished May 2001, and I put to
34 you, Mr. Reeves, that even if one of the areas have been
35 implemented, the meter saving, say if that had been
36 implemented over a four-year period, we would have
37 savings in the, according to your numbers, of \$600,000
38 alone.

39 MR. REEVES: The way that we've done it now, I know that
40 we've had some efficiencies in our meter shop and I think
41 Newfoundland Power has had some in theirs. Whether
42 we've achieved exactly what would have been in the report,
43 I don't know, and at this point I can't quantify those.

44 MS. BUTLER, Q.C.: Mr. Chairman, I wonder if I just might
45 note for the record that the witness has indicated that
46 Newfoundland Power might have benefits from its meter
47 shop, to make it clear Newfoundland Power does not have
48 a meter shop. It's contracted out.

49 MR. REEVES: I'm sorry, I used the term incorrectly, meter
50 services. I understand you don't have a meter shop.

51 MR. BROWNE, Q.C.: There are other minutes, more
52 particular minutes, in reference to these meetings that you
53 attended, and some of these can be found in **CA-190**. I
54 don't intend to take you through each and every committee,
55 but if you can go to **CA-190** momentarily, I will bring you
56 through some of them. And for the record, what are these
57 minutes of, Mr. Reeves, please?

58 MR. REEVES: This is **CA-190**?

59 MR. BROWNE, Q.C.: Yes. **CA-190** has a number of
60 minutes attached, first begin with March 5, 1997.

61 MR. REEVES: And these are the minutes that we kept of
62 our Steering Committee meetings starting on March the 5th,
63 1997, and going to the last one which would be up to and
64 including May the 10th, 1999, which was meeting number
65 36.

66 MR. BROWNE, Q.C.: And these minutes, they were
67 particular to individual groups or are these the minutes that
68 you kept yourself?

69 MR. REEVES: This is the actual Steering Committee itself,
70 not the task groups.

71 MR. BROWNE, Q.C.: Sure.

72 MR. REEVES: And normally the way it worked is that the
73 host of the meeting would keep the minutes.

74 MR. BROWNE, Q.C.: Okay, that's fair. Can you go to the
75 minutes of April 9, 1997? Yesterday I'd asked you about
76 the two headquarters at Whitbourne, and here we get more
77 detail as to exactly what might be in Whitbourne, the
78 headquarters of Newfoundland Power and then down the
79 road the headquarters of Newfoundland Hydro, and you
80 find in Item 9 some particulars, indeed as these were in
81 1997. Can you read Item 9 into the record, sir?

82 MR. REEVES: This is April the 9th, 1997?

83 MR. BROWNE, Q.C.: This is the April 9, 1997, meeting.

84 MR. REEVES: And the meeting was held in Whitbourne?

85 MR. BROWNE, Q.C.: This meeting is the fourth meeting,
86 I believe.

87 MR. REEVES: That's right. It was held in Whitbourne.

88 MR. BROWNE, Q.C.: Yes, sir.

89 MR. REEVES: Yeah. And Item No. 9, on page two?

90 MR. BROWNE, Q.C.: Page two of that, sir.

91 MR. REEVES: "Following the meeting, Berkley Pinsent
92 conducted a tour of the Newfoundland Power Whitbourne
93 facility with headquarters approximately, which

1 headquarters approximately 20 persons to service
2 Newfoundland Power's 12,000 customers between New
3 Harbour and Trepassey. The group then visited the
4 Newfoundland and Labrador Hydro Whitbourne facility
5 which was staffed, which has a staff of approximately 40
6 and maintains transmission lines and thermal stations from
7 Sunnyside to Oxen Pond and the Burin Peninsula where
8 Rod Hefford provided a tour."

9 MR. BROWNE, Q.C.: And these two headquarters,
10 according to your evidence yesterday, are in proximity to
11 each other?

12 MR. REEVES: Yes, they're not too far apart.

13 MR. BROWNE, Q.C.: Can you refer to the minutes of June
14 27, 1997? It's minutes of meeting number seven, and under
15 Item 3, the fourth bullet that's on the top of page two. It is
16 stated there, "NLH," that's your company ...

17 MR. REEVES: That's correct.

18 MR. BROWNE, Q.C.: ... "is exploring extending its yard in
19 Whitbourne. The committee should be asked to see if this
20 is an area of coordination." Now there are two facilities
21 there, one by Newfoundland Power and one owned by
22 yourselves. Why would you be interested in extending
23 your yard in Whitbourne?

24 MR. REEVES: I think I explained this one to the
25 proceedings yesterday. If my memory serves me right, we
26 had a number of poles and other equipment which was
27 actually stored outside of our fenced area and there was
28 some concern over security of that material, so what we
29 were in the process of doing was to look at the option of
30 fencing, so, and that came up, if I remember correctly,
31 during the visit that we had out there. So what was an
32 option was, instead of extending, or fencing our particular
33 area that we were using, would be to be able to use an area
34 over in Newfoundland Power's warehouse, in their yard.

35 MR. BROWNE, Q.C.: Then the final result, was it used, the
36 area in Newfoundland Power's warehouse?

37 MR. REEVES: No, it was not, and there was an evaluation
38 done, again if my memory serves me right, that in order for
39 us to, because we had, I think what we had stored outside
40 was primarily poles, transmission poles, along with some
41 other stuff, and in order to utilize the Newfoundland Power
42 yard, we would have to do a capital investment there as
43 well to keep the poles off the ground, and that would have
44 been just as expensive, I think, as the, to fencing.

45 MR. BROWNE, Q.C.: So have you done any expansion of
46 your yard in Whitbourne, of your own yard?

47 MR. REEVES: Again from memory, in retrospect I think
48 what we may have done is, I'm not, I don't recall that we
49 fenced our yard but we may have moved some of the

50 materials that could have been taken into the fenced yard
51 and left the poles outside. I think that's what happened.

52 MR. BROWNE, Q.C.: You left the poles outside.

53 MR. REEVES: Yes, on the ramps that they were under,
54 because who's going to go in and take a 70-foot pole?

55 MR. BROWNE, Q.C.: You might have a point. Page two,
56 you also say, "Questions asked about the storage of
57 blasting supplies and whether this could be coordinated
58 between the two utilities." Has there been a coordination
59 of blasting supplies between the two utilities? I guess that
60 involved the storage of these supplies or what did it
61 involve? You're in a better position to tell us.

62 MR. REEVES: I'm just thinking now because we do, again
63 if memory serves me right, we do at some of our locations
64 keep blasting supplies for blasting holes for poles and that,
65 and I really right now can't answer if there was a
66 requirement for coordination on that particular item or not.
67 I don't remember.

68 MR. BROWNE, Q.C.: So you don't remember it coming
69 forward as a result, that there would be storage of blasting
70 supplies. You have no recollection of that?

71 MR. REEVES: I have no recollection of that right now, no.

72 MR. BROWNE, Q.C.: Can you go to the minutes of August
73 11 and your conclusion of that particular meeting? What
74 did that meeting, those minutes reflect? What do they
75 reflect, the August 11, 1997, minutes, meeting number
76 eight?

77 MR. REEVES: Conclusion ...

78 MR. BROWNE, Q.C.: Yeah. What does it reflect? What
79 are the minutes about?

80 MR. REEVES: Well, it was again a regular meeting that we
81 had. It was held in Central Newfoundland and we visited
82 the Newfoundland Power facilities and the Newfoundland
83 Hydro facilities and we had the meeting at the Hydro
84 facilities in Central, in Bishop's Falls actually. That's where
85 our facility is.

86 MR. BROWNE, Q.C.: So you went and toured both
87 facilities. And then your conclusion is found on page, the
88 last page, and I think they're your minutes. August 14,
89 1997 they're dated. Can you read that into the record?

90 MR. REEVES: "Overall the visit to Central Newfoundland
91 by the Hydro/Newfoundland Power Steering Committee
92 was very beneficial. Touring the facilities of both utilities
93 in this region will be useful information as the Steering
94 Committee performs the future evaluation of the Working
95 Committee reports."

96 MR. BROWNE, Q.C.: And how was it beneficial? In what

1 way? How did it benefit consumers? Where were the
2 savings that resulted from the Central Newfoundland area?

3 MR. REEVES: What the Steering Committee, I guess, early
4 on in its meetings, I guess, thought and decided, that
5 because the Newfoundland Power representatives were not
6 familiar with our facilities and vice versa, so what we
7 decided to do is to go and visit some of our locations and
8 the locations that we decided to visit is where, the areas
9 where we are jointly located in, and that would be
10 Whitbourne, Central and Stephenville, and you'll see later
11 on that we also visited Stephenville. So what I was trying
12 to reflect here in these minutes is that this visit to Central
13 Newfoundland gave all four members a better
14 understanding of the facilities of both utilities.

15 MR. BROWNE, Q.C.: And I put it to you we had to wait till
16 1997 for the two utilities to tour each other's facilities and
17 one to see what the other was offering?

18 MR. REEVES: I didn't ... that's not what I meant by, in my
19 response just then. If you remember, I've been in TRO
20 since 1995. I doubt if our Business Unit Manager has ever
21 visited Newfoundland Power's facilities and vice versa. Mr.
22 Evans has been with Newfoundland Power for a long
23 period of time, involved in distribution. He may have had
24 more opportunity to do that, but the line of work that I was
25 in with Hydro before did not offer me that opportunity.

26 MR. BROWNE, Q.C.: The meetings of September 19 and
27 September 26, they're recorded as one, meeting number
28 nine, and on page two, Item 7, we come back to
29 Whitbourne again. Whitbourne seemed to be on your
30 minds. I wonder why. "Storage space, questions regarding
31 Whitbourne's yard space, sharing and storage of computer
32 tapes, need a response after which report can be finalized
33 and accepted." What are the computer tapes that you're
34 attempting to store and where were they to be stored?

35 *(10:15 a.m.)*

36 MR. REEVES: My recollection on this particular one is that
37 both utilities store a lot of their IT information, their
38 computer information, on tape or disk or whatever, and you
39 store it off premises in the case of a fire so that all the data
40 is not lost. So I know in Hydro we store our computer
41 tapes off site and I think Newfoundland Power does the
42 same. So what we were looking at is, was there an
43 opportunity that we could even, you know, if we could take
44 a place and store our tapes on their facilities and vice versa
45 type thing. That's what that one was intended to be. Not
46 a lot ...

47 MR. BROWNE, Q.C.: And was that implemented?

48 MR. REEVES: Pardon me?

49 MR. BROWNE, Q.C.: Was that idea put into an

50 implementation?

51 MR. REEVES: I'm not sure that I remember that. I know
52 that at one point in time we looked at some of the potential
53 sites on one of our tours but I'm not sure if that was
54 implemented or not.

55 MR. BROWNE, Q.C.: And there's an item there in those
56 minutes as well on page three of Section 7.5. It says,
57 "Contracting out of the companies, not necessarily the
58 province. Can NLH test Class 3 gloves? Action, John."
59 What's the contracting out we're talking about here? Can
60 you speak to that, Mr. Reeves?

61 MR. REEVES: This falls under protective equipment, test
62 facilities. "Contracting out of the province, out of the
63 companies, necessarily the province." I guess the question
64 here is that, as I explained yesterday, we have a piece of
65 test equipment for the testing of our gloves for our line
66 workers, which they use in the performance of their duties,
67 and the question was asked by John, John Evans, is
68 whether that could be contracted out.

69 MR. BROWNE, Q.C.: Was it ever quantified into what
70 savings could be realized?

71 MR. REEVES: No, it was not, not that I remember, if any.

72 MR. BROWNE, Q.C.: The meeting reconvened on
73 September 26th, and we see Item 12, the area of
74 communications. We see you had two communications
75 officers get involved, Mr. Pike and Mr. Barrett. And what
76 was the purpose of having them involved? Was there to
77 be a release of some kind?

78 MR. REEVES: What we tried to do throughout the process
79 was to advise our employees of both utilities that this
80 activity was on the go and to just keep them apprised of
81 the situation, and if I remember correctly there was
82 probably two or three releases within the companies.

83 MR. BROWNE, Q.C.: And what about advising the
84 consumers that was on the go, that there was an effort
85 being made to, for both companies to bring down costs and
86 implement cost-saving measures? Was any thought given
87 to that, issuing a release to advise the public or the Public
88 Utilities Board or ...

89 MR. REEVES: I don't remember that being discussed.

90 MR. BROWNE, Q.C.: Now under "Transmission" there at
91 the bottom of the page, there's a question posed, "Why are
92 NP poles more expensive?" So why are they more
93 expensive?

94 MR. REEVES: The context, from memory again, the context
95 of this item being put here is that Hydro has no occasion,
96 as we upgrade our lines, have occasion to go out and buy
97 a large bulk purchase of poles and we're able to get a very

1 favourable price for that, and that's what it was being
2 compared to, what Newfoundland Power would be paying
3 versus what we would pay on our large bulk orders or
4 poles.

5 MR. BROWNE, Q.C.: And your poles, you told us, are a lot
6 longer than Newfoundland Power's, are they not?

7 MR. REEVES: Most of our poles would be longer than
8 Newfoundland Power's, although we also buy poles for
9 distribution as well, not as many as Newfoundland Power
10 would buy but we would buy those.

11 MR. BROWNE, Q.C.: And what was the result? Did you
12 agree to work together on the acquisition of these poles?

13 MR. REEVES: My recollection is that we didn't, we are not
14 doing joint purchases on poles.

15 MR. BROWNE, Q.C.: Still no joint purchases on poles.

16 MR. REEVES: No, that's my recollection.

17 MR. BROWNE, Q.C.: Despite the fact we see on September
18 26, 1997, there's an alert that Newfoundland Power's poles
19 might be more expensive. How is that serving the
20 consumer?

21 MR. REEVES: As I ... Newfoundland Power has additional
22 arrangement for the way that they buy their poles as I
23 understand it. It's through one supplier throughout the
24 province and what we do is, because we have different
25 requirements from year to year, we buy most of our poles
26 on, by the contract basis where we buy them for a
27 particular job. We also have some that we keep in storage
28 for our safety stock, but most of our poles that we would
29 buy from year to year would be depending on the actual
30 capital program that we would be involved in.

31 MR. BROWNE, Q.C.: But we're talking about buying
32 jointly, the two utilities. I imagine Newfoundland Power, if
33 one were to review their capital budget, you'd also, you will
34 always see some pole purchasing there, I would think. I
35 think that would be a fair comment.

36 MR. REEVES: I would suspect that you would, yes.

37 MR. BROWNE, Q.C.: And they haven't approached you to
38 see how you can do it cheaper since there was an alert that
39 they are paying too much, it appears? Not to your
40 knowledge?

41 MR. REEVES: Not ... well, on poles in particular I'm not
42 aware that there has been a discussion on that.

43 MR. BROWNE, Q.C.: On page five of those minutes, right
44 at the top of the page, the question is posed, "Are
45 customers better served because the two companies use a
46 different design criteria?" What's that all about, Mr.
47 Reeves?

48 MR. REEVES: This is in common standards and it's under
49 transmission and the question is being asked, we have one
50 design criteria for some of our structures and that and
51 Newfoundland Power has another one, and during this
52 process, in particular in the distribution section, if you'll
53 excuse me, which was on the previous page, even though
54 we coordinated a lot in the past so that we do have the
55 common standards so that we are able to share spare parts
56 and that, what we found going through this review is that
57 some of our standards sort of drifted apart a bit, and what
58 we were able to do in these activities was again to focus
59 the two standards to be very similar, however ...

60 MR. BROWNE, Q.C.: And has this been remedied? Are
61 the standards now similar?

62 MR. REEVES: Most standards are similar. There are a
63 couple that are not and that's due to either the particular
64 work method of the utility or a particular requirement for a
65 different standard, and the one that comes to mind relates
66 to, and I think you may see reference in some of these
67 minutes, is the cold temperature steel. Hydro, for its
68 transmission lines, specs when it goes out for hardware for
69 its transmission lines, a cold temperature steel. This is a
70 steel which is just treated a little differently but it gives you
71 different quantity, qualities that can react to the, what we
72 think is the environment that we're in, and therefore we
73 would have less, better reliability as a result of using that.
74 When we were going through this, I guess it was
75 determined that Newfoundland Power does not use cold
76 temperature steel and now most of their work is
77 distribution, most of our work is transmission. We spec
78 that primarily for transmission, however, if the same part is
79 used on transmission and distribution, because we've
80 spec'ed it for transmission, then we would be using a cold
81 temperature steel component on distribution, and
82 Newfoundland Power does not do that and that would be
83 one of the differences, as I understand it, would be
84 between two standards.

85 MR. BROWNE, Q.C.: But Newfoundland Power has some
86 generation as well. Wouldn't that require ... they have eight
87 percent of the province as generation.

88 MR. REEVES: Newfoundland Power's generation is, I
89 guess, of a different category or, than ours. Most of our
90 generation would be in the, say, 40, 50 megawatt range or
91 larger. Components are, in most cases, very specific to a
92 particular generation. In some cases we're not even able to
93 because of the way that the plants were built and these are
94 very site specific plants. We'd have to store material for a
95 site specific plant. A lot of Newfoundland Power's
96 generation is probably because they've been in, you know,
97 generating longer than we have, goes back a longer history
98 than we do, their units are a little bit older, so again the
99 parts would be different. So there wasn't a lot of

1 commonality as I recall between the generations for the
2 storage of parts.

3 MR. BROWNE, Q.C.: In reference to the engineering
4 designs, some efforts have been made to produce
5 commonality as you state.

6 MR. REEVES: In particular the, where I think we made the
7 most progress and was just a re-focusing, I think, of our
8 two standards, was in the distribution, was in the
9 distribution part in their work group.

10 MR. BROWNE, Q.C.: And the fifth bullet down under
11 "Substations" states, "We should seek out opportunity,
12 Section 7.0, to find and eliminate overlaps and provide
13 savings." Do you recall that, as to what that was all about?

14 MR. REEVES: No, I'd have to go back to the working task
15 group if you want me to do that.

16 MR. BROWNE, Q.C.: "Can we share software?" Do you
17 know what that was about?

18 MR. REEVES: That one sort of comes to mind. We use
19 software ... one of the software updates that we do, if I
20 remember correctly, is to work with the grounding in our
21 substations for the safety of our employees and equipment,
22 and I think there's a piece of software that is used for that
23 and we have one version and I think Newfoundland Power
24 has another version, and again because of, I guess, being
25 able to share it, you can't always do that, like, unless you
26 have the right arrangements in place with the vendor, and
27 I don't ... I think in this particular case it did not work out
28 the way that we thought it might.

29 MR. BROWNE, Q.C.: So are you working on it to ensure
30 that there is some commonality there?

31 MR. REEVES: On that particular piece of software?

32 MR. BROWNE, Q.C.: Yes.

33 MR. REEVES: If my memory serves me right, we weren't
34 able to coordinate because of a vendor concern and
35 therefore we got our own.

36 MR. BROWNE, Q.C.: Now, Section 8, "Could NP and NLH
37 do work for each other?" Who posed that question, do
38 you recall?

39 MR. REEVES: This is in the substation now and I'm not
40 sure. I don't know who raised that question.

41 MR. BROWNE, Q.C.: Can you read out the next, the last
42 bullet there, beginning with, "Have we always"?

43 MR. REEVES: "Have we always taken the approach which
44 provides best value to consumer? Can we be more
45 aggressive on behalf of the consumer, not just S/S?"

46 MR. BROWNE, Q.C.: What does "SS" mean?

47 MR. REEVES: I'm not sure what that means right now, I'm
48 sorry.

49 MR. BROWNE, Q.C.: Could it mean "say so"?

50 MR. REEVES: I'm not sure. I remember the minutes that I
51 did up better than the ones that Mr. Evans did up,
52 obviously because I wrote them, but these are actually
53 done by Mr. Evans.

54 MR. BROWNE, Q.C.: These are Mr. Evans' minutes?

55 MR. REEVES: Yeah. The Newfoundland Power ... what we
56 tried to as best we could, we did coordinate back and forth
57 and we also had meetings in the IBEW's meeting rooms,
58 and in those cases they kept the minutes, so we tried to
59 share around the responsibilities as best we can, but this
60 one here may have been Mr. Evans' memos (*sic*) because
61 the meeting was actually held on Kenmount Road, so
62 that's, that means to me that Mr. Evans was the Chair and
63 the minute taker.

64 MR. BROWNE, Q.C.: And you reviewed the minutes, I
65 guess, after you saw them.

66 MR. REEVES: Yes, and probably at the time I knew what
67 that meant but I can't put ...

68 MR. BROWNE, Q.C.: But you wouldn't want to make any
69 suggestion as to what it might mean.

70 MR. REEVES: No, I'm sorry, I don't.

71 (10:30 a.m.)

72 MR. BROWNE, Q.C.: Can we go to meeting number 12?
73 Committee number five is dealing with storage space again
74 at Whitbourne, but it also mentions storage space at NP's
75 facility on Topsail Road. What was being suggested
76 there?

77 MR. REEVES: That's the computer tapes that I referenced
78 earlier on.

79 MR. BROWNE, Q.C.: Okay. That's the computer tapes.

80 MR. REEVES: Yes. We're still checking into that and we're
81 still checking into the pole yard at Whitbourne.

82 MR. BROWNE, Q.C.: So this meeting was December 11,
83 1997.

84 MR. REEVES: Yes.

85 MR. BROWNE, Q.C.: And this is October 2001 and you're
86 still checking into whether or not it would be expeditious to
87 store your computer tapes at Topsail Road.

88 MR. REEVES: That's my ...

89 MR. BROWNE, Q.C.: Is that what you're telling the Board?

90 MR. REEVES: That's my recollection of it, yes. Now there

1 would be not a lot of savings in that particular item but ...

2 MR. BROWNE, Q.C.: Well obviously there's some
3 objective to it if it was raised. Wouldn't you admit to that,
4 Mr. Reeves?

5 MR. REEVES: There would be a possible benefit, yes.

6 MR. BROWNE, Q.C.: Committee number 11 there in that
7 particular number, page three, there's an action there that
8 references you. Can you tell us about that?

9 MR. REEVES: That's committee number 11?

10 MR. BROWNE, Q.C.: Yes, sir.

11 MR. REEVES: "Dave has forwarded to the Working
12 Committee a draft report of the Engineering Standards
13 Work Committee's Report. The Working Committee is now
14 evaluating these reports for the purpose of developing
15 recommendations."

16 MR. BROWNE, Q.C.: Was there any result to that, the
17 Engineering Standards Working Committee Report? Were
18 you able to agree upon common standards?

19 MR. REEVES: That's the item I just went through a couple
20 of minutes ago.

21 MR. BROWNE, Q.C.: Okay.

22 MR. REEVES: Yes.

23 MR. BROWNE, Q.C.: So that's repetitive ...

24 MR. REEVES: Yes.

25 MR. BROWNE, Q.C.: ... and I won't ask you ...

26 MR. REEVES: But what happened here is that in the
27 inventories and common spares, when they did their first
28 review, what one of their recommendations was is that if we
29 are able to standardize more we might be able to keep less
30 inventory and also be able to share more, and what they
31 wanted to do was to see the copy of the reports from the
32 Engineering Standards Report to see how they were making
33 out in regard to reconciling their differences in the
34 standards.

35 MR. BROWNE, Q.C.: Meeting number 14, February 3, 1997
36 ...

37 MR. REEVES: Actually I think that should be '98, shouldn't
38 it?

39 MR. BROWNE, Q.C.: 1998.

40 MR. REEVES: Yes. It was a typo.

41 MR. BROWNE, Q.C.: We see here that in reference to that
42 storage of tape that Newfoundland Power now tells you
43 that they can make space available at Topsail Road for tape
44 storage, but yet it hasn't been done.

45 MR. REEVES: Well, I can't remember that it was or was not
46 done, as I indicated a minute ago.

47 MR. BROWNE, Q.C.: On page four of that, under
48 "Working Group Reports For Review," under the one,
49 "Protective Equipment Test Facilities," there's a reference
50 to closing a facility. Can you explain that to us? Maybe
51 you want to read it into the record, "In the Executive
52 Summary," it begins with.

53 MR. REEVES: "In the Executive Summary it states the
54 Committee was unanimous in its recommendations that in
55 the short-term there would not be a substantial cost benefit
56 to close one of the facilities.

57 MR. BROWNE, Q.C.: And then someone asked a question
58 rhetorically ...

59 MR. REEVES: "What is actually meant by not to be
60 substantial?"

61 MR. BROWNE, Q.C.: And did you ever get to the bottom
62 of that, what do you mean by not to be substantial? What
63 kind of savings are we talking about here?

64 MR. REEVES: I'd have to go to the report to see if there's
65 something in the report to determine that. From the top of
66 my head I just don't remember right now what the savings
67 might have been.

68 MR. BROWNE, Q.C.: On page 15, not, page four, I'm sorry,
69 reference is made to page 15, Section 7.4, and it says,
70 "While Newfoundland Power have a net savings if it were
71 to buy the new equipment and reduced testing cycles for
72 rubber gloves." This is something we've addressed
73 already, is it?

74 MR. REEVES: No. Actually I think this one is at ... if I
75 remember correctly, Newfoundland Power had in their
76 capital budget to purchase a piece of test equipment and if
77 I'm not mistaken they had delayed it by a year, I think, or
78 so, trying to do evaluation as to whether it was the best
79 thing to do or not, and I think when these discussions took
80 place, I think it also came into the discussions. That's from
81 memory. Now what transpired there in the end, I don't
82 know if they ended up buying that piece of equipment or
83 not. I just don't know.

84 MR. BROWNE, Q.C.: Meeting number 15 held February 23,
85 1998, at a union office has you present.

86 MR. REEVES: Yes. This is the Newfoundland Power ...

87 MR. BROWNE, Q.C.: Meeting number 15, have you ...

88 MR. REEVES: Held at IBEW 1620.

89 MR. BROWNE, Q.C.: Yes, that's the one.

90 MR. REEVES: That's right, yes.

1 MR. BROWNE, Q.C.: And we're back to that Hydro storing
2 tapes at an outside location, and it says that, "Hydro is
3 interested in a space Newfoundland Power has available."
4 And then it says, "Newfoundland Hydro has viewed
5 Newfoundland Power's sites at Topsail Road for tape
6 storage, however, a final decision has not been made," and
7 this is February 23, 1998, and we still don't know if a final
8 decision has been made.

9 MR. REEVES: I personally don't know at this point in time.

10 MR. BROWNE, Q.C.: It appears that things keep coming
11 up in these minutes and nothing is getting done, just as I
12 read through them. Is that a fair comment?

13 MR. REEVES: There were a couple of items like, for
14 instance, the one on pole storage area in Whitbourne keeps
15 coming up, but what we were trying to do was to avoid a
16 capital expenditure and we weren't spending money to do
17 that but it had to be evaluated properly in order to proceed
18 with it.

19 MR. BROWNE, Q.C.: We had missed a point previously,
20 I just want to go and check. If you can just return for a
21 moment to meeting number 13 of January 8, 1998.

22 MR. REEVES: Number 13, January the 8th, 1998?

23 MR. BROWNE, Q.C.: Yes. And if you go to page three,
24 the final Steering Committee Report, right on the bottom of
25 the page, if you have it there, can you read that out for us,
26 please?

27 MR. REEVES: It's a bit small, isn't it?

28 MR. BROWNE, Q.C.: Yes.

29 MR. REEVES: For some reason it got shrunk down and
30 that's all I had in my records. Sorry about that.

31 MR. BROWNE, Q.C.: That's fine.

32 MR. REEVES: "Final Steering Committee Report. It was
33 agreed that Angela Doyle," now Angela Doyle is Mr.
34 Evans' secretary and in sharing around the responsibility,
35 she was given the task of typing the report ...

36 MR. BROWNE, Q.C.: Sure.

37 MR. REEVES: ... "would coordinate the production and
38 addition of a Steering Committee Report. It was noted that
39 both Newfoundland Power and Newfoundland and
40 Labrador Hydro need to agree on a consistent
41 methodology for counting employees."

42 MR. BROWNE, Q.C.: What does that mean?

43 MR. REEVES: Well I think as has been discussed here on
44 a number of occasions in front of the Board, is that
45 Newfoundland Power has, I guess, traditionally been for a
46 while counting their employees by FTE and Hydro is
47 moving towards that, and that's what that discrepancy is,
48 because what we were trying to do is get into a similar
49 format.

50 MR. BROWNE, Q.C.: And that was January 8, 1998, and it
51 still hasn't been activated? You still have no consistent
52 methodology of counting employees?

53 MR. REEVES: Well, we are in the process of converting in
54 Hydro to FTEs.

55 MR. BROWNE, Q.C.: And what's the date which that will
56 be remedied? What's the activation date for that? Are we
57 talking years, months, days?

58 MR. REEVES: I'm not sure what the plan is for that. That
59 ...

60 MR. BROWNE, Q.C.: Whose bailiwick would that fall
61 under now?

62 MR. REEVES: The best thing is for me to find out and get
63 back to you.

64 MR. BROWNE, Q.C.: Okay, thank you. It's just taking me
65 a few moments because I don't want to get into redundancy
66 if it can be avoided at all. Can we go to meeting number 33,
67 please?

68 MR. REEVES: Meeting 33, April 14th, '99?

69 MR. BROWNE, Q.C.: April 14, 1999, and under "Items
70 Arising," the second bullet there, can you read that out to
71 us?

72 MR. REEVES: "Dave is working on information regarding
73 why greater than 50 percent of the work required more than
74 two line workers."

75 MR. BROWNE, Q.C.: And you continue.

76 MR. REEVES: "He is also obtaining an indication of the
77 type of work, construction, maintenance, etc., that is
78 performed by the Springdale crew."

79 MR. BROWNE, Q.C.: And after you worked on that
80 information, what did you find?

81 MR. REEVES: This was referencing something in their
82 report, and, if you wouldn't mind, I could go back to the
83 task group?

84 MR. BROWNE, Q.C.: Certainly, sir.

85 MR. REEVES: I'm just looking for the exact reference that
86 we would have been talking about, but in the, one of the
87 reports, I guess it's the ...

88 MR. BROWNE, Q.C.: We're talking about the
89 Springdale/Baie Verte area, I gather?

90 MR. REEVES: Yes, yes.

1 MR. BROWNE, Q.C.: That's the area we saw yesterday
2 where there were some problems.

3 MR. REEVES: There is a comment that was attached, I
4 guess, by, in the report that was being drafted. Probably I
5 could read that for you, if you wouldn't mind.

6 MR. BROWNE, Q.C.: If that would help us, help the Board.

7 MR. REEVES: It would help me to recall my memory.

8 MR. BROWNE, Q.C.: Okay, thank you.

9 MR. REEVES: "Also when Newfoundland Power
10 calculated the number of kilometers of distribution line per
11 worker or number of customers per line worker for their 13
12 rural districts, they did not include the support that their
13 rural line workers received from their more urban line
14 depots. Newfoundland Power's Baie Verte/Springdale
15 crew, two line workers received support from the Grand
16 Falls-Windsor and the Corner Brook crews. Hydro's
17 Springdale crew is self-sufficient. Approximately 50
18 percent of Hydro's work requires more than two line
19 workers. Some of that work could be completed by two line
20 workers but would require much longer outages to
21 customers, therefore, Newfoundland Power's calculation of
22 the number of line workers required should include the line
23 worker's support provided by outside crews to enable a
24 true comparison." That's for reference, I guess ...

25 MR. BROWNE, Q.C.: Newfoundland Power is saying you
26 had too many people working on the lines, but you went
27 back and had the discussion and investigation and found
28 Newfoundland Power was using some central crews?

29 MR. REEVES: Yes. Like the way ... I think we've already,
30 I've already indicated that, but in Springdale and Baie Verte,
31 Newfoundland Power has one line worker in each location,
32 and what they do is that they travel between both
33 communities to assist each other for jobs that require two
34 line workers. Hydro completes very little, if any, work with
35 just one line worker. So I think the other observation that
36 was made is that while most of the work would require more
37 than two line workers, and in the paragraph there is that
38 sometimes if you're taking an outage on a line, what the
39 utility would try to do, and I'm sure Newfoundland Power
40 are the same, is that they would try to get all the work done
41 possible that's required to be done on the line and would
42 probably have more than one crew working on the line at a
43 time if there was a larger job, so that's why in the comment
44 in the task group report is that more than 50 percent of the
45 work that was being done required more than two people.
46 It's the nature of the work that was actually being done by
47 that crew out in Baie Verte. Is that clear or have I muddied
48 the waters?

49 MR. BROWNE, Q.C.: It sounded like a dispute to me
50 between the two companies as to ...

51 MR. REEVES: It's a different philosophy in operation. As
52 it says right there, we have a self-sufficient area there in
53 Springdale and Baie Verte areas. If we're doing ... there are
54 some jobs that we can just send two people on, if it's like
55 installing a transformer pole, that would probably require
56 two line workers. We would do that. But if there's a
57 section of line and it requires, say, insulator replacement,
58 and it's insulator replacements on, say, ten poles, what we
59 would endeavour to do is to consolidate all of our crews in
60 the area, say the three or four crews that live there, and we
61 would take the line out and we would go and do that work.
62 Newfoundland Power on the other hand, as I understand it,
63 is that if they got to replace a transformer using the exact
64 same examples, if they had to replace a transformer, they
65 would bring the line worker from the other community. Say
66 if it's in Baie Verte, they would bring it from Springdale over
67 to Baie Verte. Then the two line workers would install that
68 transformer. If they had to install or replace insulators like
69 we did on my example, what they would most likely do is
70 bring in extra crews from Corner Brook or Grand Falls to do
71 that.

72 (10:45 a.m.)

73 MR. BROWNE, Q.C.: Even if you were in the area, they
74 would still bring in crews from Corner Brook and Grand
75 Falls to do that?

76 MR. REEVES: Yes, that's my understanding. Now what
77 we've done under the MOU is if there's an outage ... what
78 I just talked about is probably routine maintenance ...

79 MR. BROWNE, Q.C.: Yeah, an emergency situation.

80 MR. REEVES: In an emergency they would use us, yes.

81 MR. BROWNE, Q.C.: Under the discussion there, meeting
82 number 33, I guess the point is driven home a little. The
83 one three eight kV, that's the area they're talking about,
84 Springdale/Baie Verte. Is that the area they're talking about
85 there, Mr. Reeves?

86 MR. REEVES: 138 kV?

87 MR. BROWNE, Q.C.: Yes.

88 MR. REEVES: That would not be Baie Verte. Baie Verte
89 you would normally come under distribution report. 138
90 would be between Grand Falls and Gander.

91 MR. BROWNE, Q.C.: Okay, Grand Falls and Gander.

92 MR. REEVES: Yes.

93 MR. BROWNE, Q.C.: Can you read out those bullets,
94 please?

95 MR. REEVES: The first one, it's under "(A) 138 kV."

96 MR. BROWNE, Q.C.: Yes.

1 MR. REEVES: "Both organizations seem to view
2 capabilities and need differently, needs differently," sorry.
3 "Both made observations and recommendations. No
4 benefit to Newfoundland Power for Newfoundland and
5 Labrador Hydro to do work at contract prices when
6 Newfoundland Power is laying off line personnel required
7 for distribution maintenance."

8 MR. BROWNE, Q.C.: So what's the problem there? It
9 sounds to me that when you combine both work forces
10 there are too many employees out there chasing too few
11 jobs. Is that ... would that be a fair reflection?

12 MR. REEVES: That's not the way I would say it. In Hydro
13 and most likely in Newfoundland Power, there is a certain
14 number of core line worker positions that we have to
15 maintain to be able to respond to emergencies on the
16 system, and they have to be strategically located. Where
17 Hydro is, I guess, is that due to our geographic locations
18 of our lines, the low density of population (inaudible)
19 transmission and distribution lines, if you were to look at
20 the ratios between a utility like Newfoundland Power,
21 which is more urbanized, you would see different ratios, but
22 you have to maintain a certain staff to be able to respond
23 to emergency calls, and in a case like this between Grand
24 Falls and Gander, there may have been an opportunity for
25 the two utilities but it didn't materialize, you know, as I
26 explained yesterday, where we had the two lines that go
27 parallel.

28 MR. BROWNE, Q.C.: So we're still stuck with that today.
29 Consumers are paying costs for both crews out there.

30 MR. REEVES: Well, whether there's cost savings there or
31 not, it could not be determined.

32 MR. BROWNE, Q.C.: Could not be determined ...

33 MR. REEVES: No.

34 MR. BROWNE, Q.C.: ... or would not be determined?

35 MR. REEVES: From the information that was provided to
36 the working task group, they were unable to determine that.

37 MR. BROWNE, Q.C.: Mr. Chair, we want to break at this
38 point. I just have several more questions and it might be,
39 it might facilitate our break right now if I had a few minutes
40 to ...

41 MR. NOSEWORTHY, CHAIRMAN: Sure, that's fine.

42 MR. BROWNE, Q.C.: ... look at it.

43 MR. NOSEWORTHY, CHAIRMAN: We'll reconvene at
44 11:05.

45 MR. BROWNE, Q.C.: Thank you, sir.

46 MR. NOSEWORTHY, CHAIRMAN: Thank you.

(break)

48 (11:10 a.m.)

49 MR. NOSEWORTHY, CHAIRMAN: Thank you very much.
50 I'd ask Mr. Browne if you'd proceed with your cross-
51 examination please?

52 MR. BROWNE, Q.C.: Thank you, Mr. Chairperson. Can
53 you go to meeting number 25 please, and under the
54 heading "overview of progress", No. 2, can you read for
55 that for us, these bullets please?

56 MR. REEVES: John cited examples of where the ...

57 MR. BROWNE, Q.C.: The first bullet.

58 MR. REEVES: Oh, I'm sorry.

59 MR. BROWNE, Q.C.: Thank you.

60 MR. REEVES: John vented his frustration regarding the
61 lack of progress by all parties in this endeavour. To
62 significantly reduce costs requires a tough decision by all.

63 MR. BROWNE, Q.C.: And what else, and John is Mr. John
64 Evans, I gather, Vice-President of Newfoundland Power at
65 the time?

66 MR. REEVES: That's correct, yes.

67 MR. BROWNE, Q.C.: Okay, and what else does Mr. Evans
68 have to say?

69 MR. REEVES: John cited examples of where the
70 cooperation agreed to did not seem to exist and significant
71 philosophical difference between the organizations. An
72 example was in the telecommunications area where despite
73 the agreement, Newfoundland Power learned of Hydro's
74 plan to build a major VHF radio network through an NLH
75 filing with the PUB. Philosophically, Newfoundland Power
76 views the communication companies as the experts in their
77 field while Hydro seems to take the position that they can
78 do the job better than the telecommunications companies.

79 MR. BROWNE, Q.C.: And on page 2, Mr. Evans goes on
80 to make a number of other submissions here. Can you read
81 those into the record please?

82 MR. REEVES: Both groups appeared to be having
83 difficulty in getting information in the distribution area.
84 Examples being crew size, activity, and service levels. John
85 expressed concerns with Hydro's position on transmission
86 standards and call centres and IBEW's Local 1615 position
87 on switching. John raised the issue of cost. Under current
88 regulatory treatment, Newfoundland Power picks up the
89 bulk of Hydro's expenses. Given that these expenses are
90 built into Newfoundland Power's rates, John wondered why
91 Newfoundland Power should have to reimburse Hydro for
92 work done on transmission or distribution if, as indicated,
93 it could be done by Hydro with no increase in manpower or

1 equipment. Examples regarding lack of cooperation were
2 also noted by Newfoundland Power in the areas of
3 transportation, contractor helping, and the inability to
4 borrow a small amount of conductor.

5 MR. BROWNE, Q.C.: And what does Mr. Evans conclude?

6 MR. REEVES: While the above and other examples cited
7 by John were one-sided, he felt that there was sufficient
8 blame to go around.

9 MR. BROWNE, Q.C.: That's a good point to end that with.
10 Can you go to the March 5, 1997, the very first meeting. I'm
11 moving to a new area now, and under the ... this was your
12 first committee meeting, I gather, and you were doing
13 proposals for coordination. The other things you have
14 were suggestions of the Newfoundland and Labrador
15 Federation of Municipalities, resulting from Newfoundland
16 Power's rate hearing of 1996. Can you explain to us what
17 that was and what you undertook in that effort?

18 MR. REEVES: When I was preparing for these, to release
19 these documents, I looked at that particular one and there
20 was some notes or comments, I guess, by the Federation of
21 Municipalities in Newfoundland Power's rate hearing
22 regarding 1996, which was probably the information that
23 Mr. Evans brought to the committee and was noted in the
24 minutes, but that's all that I remember right now.

25 MR. BROWNE, Q.C.: Do you remember anything of the
26 committee that was formed to look at that particular aspect
27 of the 1996 hearing?

28 MR. REEVES: Which committee are you referring to now?

29 MR. BROWNE, Q.C.: Can you go to **CA-171** please? **CA-**
30 **171** is a mini hydro potential in island rural isolated
31 systems, a joint utility study by Newfoundland Power and
32 Newfoundland and Labrador Hydro, dated August 1998.

33 MR. REEVES: I should get that because I think that's on ...

34 MR. BROWNE, Q.C.: I think it may only be in ... that
35 should be, it may not be in electronic form.

36 MR. REEVES: Yes, I have it in front of me now.

37 MR. BROWNE, Q.C.: Okay, item three in the March 5, 1997,
38 coordination steering committee, of which you were a part,
39 makes reference to this study, I do believe, because if you
40 go to page one, the executive summary on page one of that
41 study, the second, the first paragraph reads, "As the two
42 electrical utilities in the province of Newfoundland and
43 Labrador, Newfoundland and Labrador Hydro and
44 Newfoundland Power maintain ongoing efforts to ensure
45 that the cost of supply to customers is kept at a minimum.
46 During the course of the 1996 NP rate hearing, a
47 submission was made on behalf of the Newfoundland and
48 Labrador Federation of Municipalities regarding the

49 potential for cost effective development of alternative
50 energy in rural isolated systems. The report assesses the
51 technical and economic potential of mini hydroelectric
52 development as one such means of reducing the cost of
53 service in NLH's rural isolated systems on the island
54 portion of the province". Are you familiar with this report?

55 MR. REEVES: I think I may have reviewed it at some point
56 in time, yes, but this would have been developed by our
57 planning section in the generation section.

58 MR. BROWNE, Q.C.: So who, which witness coming up
59 will be able to address the joint utilities study done by
60 Newfoundland Power and Newfoundland and Labrador
61 Hydro?

62 MR. REEVES: Mr. Budgell.

63 MR. BROWNE, Q.C.: That will Mr. Budgell's?

64 MR. REEVES: That's correct, yes.

65 MR. BROWNE, Q.C.: That's Mr. Budgell's jurisdiction?

66 MR. REEVES: That's correct, yes.

67 MR. BROWNE, Q.C.: Okay, I only have one question for
68 you on it in that case. I'll wait for Mr. Budgell if he's
69 dealing with planning and generation. On page 25 of the
70 report, if you just go to that and there's a question there
71 arising on a question put to you by Newfoundland Power's
72 counsel, Ms. Butler.

73 MR. REEVES: Page 25?

74 MR. BROWNE, Q.C.: Page 25.

75 MR. REEVES: Uh hum.

76 MR. BROWNE, Q.C.: And you will recall Ms. Butler asked
77 you concerning Harbour Deep.

78 MR. REEVES: That's correct, yes.

79 MR. BROWNE, Q.C.: And why you were spending, I think
80 it was in the vicinity of three quarters of a million dollars on
81 Harbour Deep when the government was getting, residents
82 were determining whether or not they should signal the
83 government to relocate. I think that's what's happening
84 there. I think there are 54 people there or something and
85 they've got 53 people agreed and ...

86 MR. REEVES: There's one person, yes.

87 MR. BROWNE, Q.C.: That's a hold-out there?

88 MR. REEVES: That's correct, yes.

89 MR. BROWNE, Q.C.: And anyway, nevertheless, you have
90 in your budget an item of \$758,000, is it? You might recall
91 the exact number at Harbour Deep.

92 MR. REEVES: I can look it up right now.

1 MR. BROWNE, Q.C.: But is that the ball park?

2 MR. REEVES: There is a diesel replacement and also the
3 building itself needs to be, you know, be updated.

4 MR. BROWNE, Q.C.: Because under Table 1, Summary of
5 Preliminary Screening Results for Harbour Deep, we see a
6 capital cost for hydroelectric development there of
7 \$958,804, and have you looked at that before you went to
8 spend three quarters of a million dollars on Harbour Deep?
9 Have you looked at this study and what the possibilities
10 may be in reference to that study from a hydroelectric
11 perspective?

12 MR. REEVES: Mr. Budgell would be the best one to
13 answer that.

14 MR. BROWNE, Q.C.: Okay, and we'll defer these questions
15 to Mr. Budgell, and I gather in the entire area of planning
16 and generation, because I do have some questions on that,
17 the better witness is ...

18 MR. REEVES: For all planning questions they are better
19 referred to Mr. Budgell.

20 MR. BROWNE, Q.C.: Okay, thank you very much.

21 MR. REEVES: And Mr. Budgell as generation would be the
22 capital person.

23 MR. BROWNE, Q.C.: Sure and it would be expeditious if
24 we saved these questions for him. In reference to your
25 particular jurisdiction which is transmission and rural
26 operations, what drives expenditures for a new
27 transmission network facility? What drives the
28 expenditures if you're doing new transmission?

29 MR. REEVES: This would be for new facilities, like new
30 transmission lines?

31 MR. BROWNE, Q.C.: Well, just ignore projections, for say
32 replacing transmission facilities, what has happened to
33 these? Can you tell us a little bit about transmission here,
34 how it works?

35 MR. REEVES: If you're asking like what are the major
36 components in our capital budget, I can probably respond
37 in that way, is that we conduct a maintenance program on
38 our facilities. We also have, I guess, we have storms that
39 go through the province which affect our facilities and as
40 a result of that we would do reviews of our facilities to
41 determine that they are responding in such a fashion that
42 we are providing reliable power to our customers, and
43 where improvements can be made, economically we will
44 bring that forward, bring those forward for approval, and
45 following that we would do the actual capital upgrades. An
46 example of that, probably I can give you two examples.
47 One was the Avalon upgrades which back in, I guess,
48 December of '94, we'll all remember that we had a major ice

49 storm. We conducted a fairly detailed review of that which
50 was presented to the Board in our subsequent capital
51 budgets. What we determined is that the ice loadings that
52 we were observing which was much greater than the
53 original design of the lines, and it was determined that to
54 improve the reliability and to have less outages, we would
55 have to do a significant upgrade on our lines from
56 Sunnyside to St. John's. Another example ...

57 MR. BROWNE, Q.C.: How would you determine when an
58 upgrade is needed? You have a transmission line to the
59 observer, and people seeing these transmission lines when
60 you're driving or walking into the country ... how do you
61 determine when a transmission line needs replacement?

62 MR. REEVES: There's a couple of things that we use, and
63 one is that we look at our reliability statistics on the
64 equipment that we have in service. We compare in-house
65 between, like different areas of the province, and we sort of
66 have an average for what we consider to be reasonable.
67 We compare those to ... the Canadian Electricity
68 Association maintains information which we also input
69 into. We would use that as one indicator. Another
70 indicator would be from our preventative maintenance
71 programs, like we are into pole testing. Once a pole gets to
72 a certain age we'll go out and we'll do a certain test on it,
73 and here lately we have typically been contracting that out.
74 From these tests we can determine the life that would be
75 remaining in those poles. In doing the tests you may find
76 a pole that needs to be replaced sooner than later. That
77 would be another determining factor.

78 MR. BROWNE, Q.C.: When you're talking about poles,
79 what about the lines themselves. When you're talking
80 about poles, do you mean the poles and the lines?

81 MR. REEVES: Yeah, when I say ... well the transmission
82 line is made up of, obviously, poles which could be steel or
83 it could be wood. It would be made up of insulators, it
84 would be made up of a conductor as well, so when I say
85 that we do a preventative maintenance program and an
86 inspection program, it would be on all of our, you know, the
87 components on the transmission line. I'll just give an
88 example as a pole line, the pole testing.

89 MR. BROWNE, Q.C.: Now are these all designed to meet
90 the system peak, what a layperson such as myself might
91 refer to as system peak, like six o'clock in the afternoon on
92 a ...

93 MR. REEVES: Yes, they are, and what I've been explaining
94 to you to date, as I understood your question is how do we
95 determine if we need to do particular upgrades on our lines.
96 The other thing that can drive the requirement for a new
97 transmission line would be a load growth situation, and
98 that would be determined from our forecasting, and again,
99 that would be something that Mr. Budgell would be very

1 much involved in and his people would determine if there
2 was a requirement for a new transmission line somewhere
3 throughout the island. And then what he would do is to
4 work with my staff to give the estimates for the
5 construction of that line and the best alternative, the most
6 economic alternative to go forward with and then he would
7 bring that forward for approval to meet the new load
8 growth, and once it got approved, then it would be my staff
9 that would be actually constructing it and operating it, and
10 then once ... sorry, constructing it and maintaining it and
11 then once it got put in service, well then Mr. Henderson, it
12 would operate as part of his normal system, as we talked
13 about yesterday.

14 MR. BROWNE, Q.C.: So the transmission lines that you
15 are building are designed for system peak, for six o'clock in
16 the evening on a winter's day when everyone has their
17 power on at home.

18 MR. REEVES: Whenever that peak is, it's built to handle
19 the load that's on our system, that's correct.

20 MR. BROWNE, Q.C.: And is there an alternative way to
21 build them? I gather, would that be, is that the only way to
22 build them, to build them toward system peak?

23 MR. REEVES: I'm not sure I understand your question.
24 Like do you mean can we purchase power from somebody
25 else? We don't have that option, so Newfoundland Hydro
26 has to meet the peak of our customers, and we have to
27 have transmission facilities in place to do that. Similarly,
28 we have to have generation facilities in place to meet our
29 peak.

30 MR. BROWNE, Q.C.: So it's all designed toward the peak,
31 and is that the only way to design it? I'm a layperson, I'm
32 just asking you that, just as a curiosity.

33 MR. REEVES: The only other things that we do, is that,
34 and I think in the presentation I've pointed out to you, is
35 that ... well the prime driver would be the peak, and we try
36 to also design our transmission lines so that, where we can
37 do that, design them in such a way that instead of having
38 one circuit go down a corridor, we would have two, and if
39 we were really lucky we would have them, to be able to take
40 different routes, so that would also be a planning function
41 that Mr. Budgell would do as well, to see if you can get
42 some versatility in order to meet peak and also be able to,
43 you know, be able to maintain the reliability of our service
44 as well and not have, let's say, all of it rely on one
45 transmission line. So at Bay d'Espoir, and Mr. Budgell is
46 much more equipped to explain this than I, but we could
47 have a line coming from Bay d'Espoir to Sunnyside which
48 would be a higher voltage, but it would carry the same
49 amount of power, but what we've designed is two lines with
50 230 kV voltage, which gives us some reliability and
51 redundancy in our equipment.

52 MR. BROWNE, Q.C.: Okay, we'll wait for Mr. Budgell on
53 the other part of it. Thank you very much, Mr. Reeves.
54 These are my questions.

55 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.
56 Browne and Mr. Reeves. We'll move along now to cross-
57 examination by counsel for the Board please?

58 *(11:30 a.m.)*

59 MR. KENNEDY: Thank you, Chair, and Commissioners.
60 Mr. Reeves, I wanted to start with the capital budget and I
61 wonder if Mr. O'Rielly could just pull that up for me, and
62 we'll start with Schedule A on page one. I want to see if I
63 understand the process of how Hydro is presenting its
64 capital budget before the Board and if you see there's four
65 columns for each of the major areas of the capital budget,
66 and one is expense to 2001, and I take it that that's what
67 EXP means.

68 MR. REEVES: That would be my understanding of that,
69 yes.

70 MR. KENNEDY: Okay, one is 2002, and then there's future
71 years, and then there's total. So the items that are marked
72 "expense to 2001", would they be items that Newfoundland
73 Hydro has already sought and obtained approval for in its
74 previous capital budget for 2001?

75 MR. REEVES: That's correct, yes.

76 MR. KENNEDY: Okay.

77 MR. REEVES: And some expenditures have taken place in
78 2001.

79 MR. KENNEDY: And when Hydro applied for approval of
80 the Board for its capital budget for 2001, similar to what we
81 see in some of the projects that you have for the 2002
82 capital budget, there is an amount for what would be
83 expended in the year for the capital budget application, and
84 then an allotment for future years, is that right?

85 MR. REEVES: That's correct, yes.

86 MR. KENNEDY: Okay, so in the case of, let's take
87 transmission, there would have been in the 2001 capital
88 budget an amount in the capital budget showing that for
89 projects that are actually going to be done in 2002, there's
90 \$631,000 to be expended in 2001.

91 MR. REEVES: In the budget as actually presented to the
92 Board you may not see exactly that number for a number of
93 reasons that I explained previously. One is cash flow
94 differences. Another one is carry-overs as well, jobs that
95 were scheduled to be completed last year but may not have
96 been.

97 MR. KENNEDY: Okay, so this ...

98 MR. REEVES: But the biggest number here, I would say

1 the difference is probably, it may have been a multiple year
2 thing where we, some jobs that we have take two or three
3 years to do.

4 MR. KENNEDY: Okay, let's just ... because that's, in those
5 quick couple of sentences I think you may have put two or
6 three issues into play all at the same time, so I'm just trying
7 to get a feel for what would be in that \$631,000 that we see
8 expensed to 2001, and how much of that would be for items
9 that were sought and approved in 2001 as relating to items
10 that would be subsequently, you know, further developed
11 in 2002, and I thought that's what all of it was, but you're
12 saying that some of it is related to other expenses, is it?

13 MR. REEVES: That's my understanding and I just need to
14 check now to make sure because this is the 2002 capital
15 budget and we are currently in this, what you have in front
16 of you, we are not budgeting as part of this package any
17 carry-overs.

18 MR. KENNEDY: Yes.

19 MR. REEVES: Okay, but what would be in here is any
20 multiple year projects that we would have that we would
21 have either started last year or this year and it carried over
22 into 2002.

23 MR. KENNEDY: Okay, and so if I may, perhaps if we go to
24 Schedule F, I think it's Schedule F.

25 MR. REEVES: That's correct.

26 MR. KENNEDY: And if we can go to the first sheet, I
27 believe, Mr. O'Rielly, so you've got noted there, this is the
28 ... you'll see underneath the table, original budget
29 \$54,684,000, and that was for the capital budget of 2001.

30 MR. REEVES: That's correct, yes.

31 MR. KENNEDY: And so then you have carry-over projects
32 2000 to 2001, \$1,216,000.

33 MR. REEVES: That's correct, yes.

34 MR. KENNEDY: So your total capital budget that you
35 expected to spend in 2001 was \$55,897,000?

36 MR. REEVES: That's our current budget, yes, correct, but
37 ...

38 MR. KENNEDY: Am I gathering correct though that the
39 \$1,216,000 would have been already approved?

40 MR. REEVES: Those expenses would have been approved
41 last year, in 2000.

42 MR. KENNEDY: Well when you say carry-over projects
43 2000 to 2001, is that, is that capital budgets that were
44 approved in 1999 for the year 2000 that are then carried over
45 into 2001?

46 MR. REEVES: I'm not sure that there's any of those there at
47 all. I think most of what you would find, and I'd have to
48 check the list for the ones that were carried from 2000 into
49 2001.

50 MR. KENNEDY: Okay, let me try it this way. In 1999
51 Hydro sought and obtained an order from the Board for its
52 capital budget.

53 MR. REEVES: For the year 2000.

54 MR. KENNEDY: For the year 2000.

55 MR. REEVES: That's correct, yes.

56 MR. KENNEDY: Okay, and some of that never got
57 expended in the year 2000 as you thought it would.

58 MR. REEVES: That's exactly right, in the year 2000.

59 MR. KENNEDY: And so it did get expended in 2001.

60 MR. REEVES: Which is this year, that's correct, yes.

61 MR. KENNEDY: Okay, and the amount involved is
62 \$1,216,000?

63 MR. REEVES: That's the amount that we carried over from
64 the budget we had approved from 2000 into 2001, that's
65 correct.

66 MR. KENNEDY: Right.

67 MR. REEVES: And work which we have done this year.

68 MR. KENNEDY: Right, but it's work that was approved in
69 1999 for you to spend in 2000.

70 MR. REEVES: For the year 2000, yes, I understand that,
71 yes.

72 MR. KENNEDY: Okay, so can we just go back up to A-1?
73 So is this column the expense for 2001, that's not a carry-
74 over effect ... am I gathering that correctly, that this
75 expense to 2001 is items that were approved as part of your
76 2001 budget relating to multi-year projects.

77 MR. REEVES: That's my understanding, yes.

78 MR. KENNEDY: Okay, so the \$1 million ... presuming there
79 is no carry-over effects in that line then, or in that column,
80 expensed to 2001, your total capital budget for items
81 expensed to 2001 of \$1,514,000 are already, from Hydro's
82 perspective, approved by the Board?

83 MR. REEVES: That's correct, yes.

84 MR. KENNEDY: Okay, and so in the 2002 column, these
85 are items that would include two things, if I'm gathering
86 correctly. One is the expenditure of future year
87 commitments arising from the 2001 budget as indicated in
88 your 2001 budget application, plus new projects for 2002
89 that weren't revealed in the 2001 budget?

90 MR. REEVES: What I call the multi-year projects and I was

1 just looking for one to give you an example which was
2 planned to be in 2001 and 2002, it's the 2002 portion of that
3 capital project, and also other projects which are a one year
4 project for 2002. It may also be year one of a two year
5 project which spans between 2002 and 2003, so the 2002
6 budget, you've got three categories.

7 MR. KENNEDY: Okay.

8 MR. REEVES: You have projects that started in 2001 which
9 would be complete in 2002.

10 MR. KENNEDY: Okay.

11 MR. REEVES: You have other projects which would be
12 only in 2002.

13 MR. KENNEDY: Start and finish in 2002.

14 MR. REEVES: And then there's a third category of projects
15 which you start in 2002 and you will finish in 2003 or some
16 future year.

17 MR. KENNEDY: Okay, and in the case of the last one, the
18 amount of money relating to those projects that are going
19 to be started in 2002 but completed at some point in the
20 future show up in this future years column totalling
21 \$12,434,000.

22 MR. REEVES: That's correct, yes.

23 MR. KENNEDY: And those future years, that may be more
24 than just 2003?

25 MR. REEVES: That could be more than 2003, that's my
26 understanding, yes.

27 MR. KENNEDY: Okay, so the amount that Hydro is
28 applying for approval specifically from the Board here now
29 is \$48,037,000.

30 MR. REEVES: That's my understanding, yes, that's correct.

31 MR. KENNEDY: And because the Board approves an
32 amount for ... let's say there was some work to be done and
33 the 2002 budget included some provision for engineering
34 work to be done but the actual, you know, main part of the
35 capital cost was going to be expended in 2003, and that
36 shows up in this future years category, that what Hydro is
37 seeking approval for now is the spending of those
38 engineering costs and that you'll come back again in 2003
39 and seek specific approval for the actual capital cost of
40 implementing whatever it is that you're doing.

41 MR. REEVES: It will be in our budget for the second year,
42 yes, that's correct.

43 MR. KENNEDY: Okay.

44 MR. REEVES: A good example of that, if you don't mind,
45 we could go to A-7.

46 MR. KENNEDY: Well we can get there now in a minute. I
47 don't want to lose the flow too much.

48 MR. REEVES: But it explains the process which we were
49 just talking about on two projects, that's all.

50 MR. KENNEDY: Sure, okay, well let's go to A-2 first, and
51 I'll give you an opportunity to go to A-7 certainly, or your
52 counsel will on redirect.

53 MR. REEVES: No, I'm just trying to ensure that the multi-
54 year project thing was understood.

55 MR. KENNEDY: No, I appreciate that. So in the case of
56 transmission, can you just scroll down a little bit, Mr.
57 O'Rielly, thanks. I'm sorry, that first column is marked
58 expensed to 2001, and I think they coincide, it's expensed
59 to 2001 and 2002, and future years and so on, so in the case
60 of transmission, we've got system security and reliability
61 improvements showing up as expensed to 2001, \$631,000,
62 and that's the only item that shows up as items expensed in
63 2001 capital related, so would that all be relating to projects
64 that are to be completed in 2002, or some of that may be
65 carry-overs from 2000?

66 MR. REEVES: That would relate to projects that would
67 have been started in 2002 and completed in 2003 ... sorry,
68 started in 2001 and completed in 2002, and it's to do with
69 the Avalon upgrades.

70 MR. KENNEDY: Okay.

71 MR. REEVES: And again, the details we can see on A-5 if
72 you just want to see it or not.

73 MR. KENNEDY: Okay, we'll get to there too. So your
74 understanding then is just on the broad brush here, the
75 \$631,000 that's showing up in that column, none of it is
76 from 2000 carry-overs to 2001, it's all 2001 expenditures
77 relating to projects that are to be completed in 2002 or
78 beyond.

79 MR. REEVES: Now my recollection is that it's for two lines
80 which are here on the Avalon Peninsula, and I'm not sure
81 ... we did expend some money last year on one of those
82 projects but it was a separate project and I don't think it's
83 rolled into this particular one, but it would have been part
84 of our, say our plan through the engineering, some material
85 purchasing and construction, so whether there was some
86 expenses in the year 2000 in the budget, I'd have to look at
87 another document to see.

88 MR. KENNEDY: Okay, maybe we can just go to A-3. I just
89 really want to make sure that I understand the process that
90 Hydro goes through in this carry-over issue because I've
91 been left a bit confused from some of the goings on to date
92 and so looking at rural systems, regional operations,
93 construction projects, \$535,000 expensed to 2001, and then
94 \$7,112,000 for 2002, a provision for future years, so what

1 Hydro is actually seeking approval for at this point is the
2 \$7,112,000 under that construction projects for regional
3 operations under rural systems.

4 MR. REEVES: For next year, that's correct.

5 MR. KENNEDY: And Hydro considers the \$535,000 to be
6 already approved, either, whether it's from the 2000 carry-
7 over into 2001 or 2001 expense for a project to be completed
8 in 2002 or beyond.

9 MR. REEVES: That's correct, yes.

10 MR. KENNEDY: Okay, and that the \$288,000 for future
11 years is something that will be subject to further approval
12 of the Board when you come forward with another capital
13 budget application.

14 MR. REEVES: When next year's capital budget comes
15 forward, yes.

16 MR. KENNEDY: Okay, alright, before I turn away from
17 that, you wanted to point to, I think, A-5 or A-7, so ...

18 MR. REEVES: Well A-7 was a good one for the multi-year
19 project.

20 MR. KENNEDY: Okay, let's look at A-7.

21 MR. REEVES: And it's, one that we've talked about is
22 Harbour Deep, and actually there's another power plant in
23 there which is the St. Louis plant for upgrades, and you'll
24 see that expensed in 2001 for Harbour Deep, which is ...
25 okay, on the screen there, you'll see, we've got \$35,000 this
26 year, and next year we've got \$515,000, and what we're
27 requesting right now is the approval of the \$515,000 of
28 which the Board has already seen last year, okay. We're
29 also asking for approval of the \$59,000 to commence our
30 engineering work, and we plan to do the St. Louis plant in
31 the future year, the following year.

32 MR. KENNEDY: So Hydro will, in its budget application
33 for 2003, presumably, unless something changes in the
34 intervening period, seek approval for \$769,000 worth of
35 capital budget expenditures for that period.

36 MR. REEVES: For that period, having expensed some
37 money already in its engineering work during this year.

38 MR. KENNEDY: Sure, now I'm not sure in the case of St.
39 Louis, but some of that \$769,000 in some projects, let's say
40 this is another project, some of that you may only seek
41 approval for say \$400,000 for 2003 and then the balance
42 might be 2004 and so on.

43 MR. REEVES: That's correct, if it's a three year project,
44 that's exactly what you would see.

45 *(11:45 a.m.)*

46 MR. KENNEDY: Okay, I wonder if we could just go to

47 Schedule B. Now this is a repeat virtually of the previous
48 ... except these are for projects over \$50,000.

49 MR. REEVES: The totals will be different.

50 MR. KENNEDY: Right, so I just did a quick calculation,
51 and I don't know if these numbers sound right to you, but
52 for 2002 your total budget was \$48,037,000 and what you
53 were seeking specific approval for in 2002.

54 MR. REEVES: That's from A-1, that's correct.

55 MR. KENNEDY: That's from A-1, and so here for projects
56 over \$50,000, you've got \$33,297,000, so a simple
57 calculation, you're projects under \$50,000 are \$14,470,000.

58 MR. REEVES: That's a straight calculation, that's correct.

59 MR. KENNEDY: Okay, and again, for the purposes of this
60 application, this is the only column that we need concern
61 ourselves with insofar as the capital budget is concerned.

62 MR. REEVES: That is what we're seeking approval for in
63 front of this Board.

64 MR. KENNEDY: Okay, in some of your previous
65 testimony, Mr. Reeves, you had indicated that, and if I can
66 paraphrase, and I can bring you to the specific passages in
67 the transcript, and I will now in a second, but first I just
68 want to paraphrase, that if I was gathering incorrectly when
69 you discussed some of the capital expenditures planned for
70 2002, that there was still some flexibility within Hydro
71 concerning those expenditures. Is that a fair statement?

72 MR. REEVES: I don't know if I would paraphrase it that
73 way. We have included in here the work that we feel is
74 necessary to carry out ... the dollar values that are put in
75 here are done on primarily engineers' estimates. As we get
76 closer to actually completing that work, things may change
77 and I think one of the examples that I used was the storage
78 of the diesel fuel in Nain a couple of years ago, where we
79 had a requirement to store extra fuel to meet our load
80 through the winter. From the time that we sought approval
81 until we actually, I guess, as part of the initiation of the
82 capital work to do that particular job, we explored the
83 options of whether a supplier in the community could store
84 the fuel for us at a little higher price than we would
85 normally pay instead of us having to build a facility, and in
86 actual case, that's what happened for two years and we
87 were two years getting a long-term arrangement with the
88 supplier, so that's one where the intent was to store fuel.
89 Our fall-back position would be to build storage facilities in
90 that community. We went with an option which was more
91 economical so in actual fact what happened in that case is
92 that that particular capital project got cancelled, and the
93 cost associated with the storage of the fuel was included in
94 our price as we paid it out of our operating budget. So that
95 would be an example.

1 MR. KENNEDY: Sure, okay, so in the case of the Nain fuel
2 storage, and I don't know much about that, so you're going
3 to have to help me out here, but in the case of the Nain fuel
4 storage project then, Hydro originally sought approval for
5 a capital expenditure relating to the storage of fuel in Nain
6 in a capital budget application.

7 MR. REEVES: Yes.

8 MR. KENNEDY: Okay.

9 MR. REEVES: There would be a requirement for Hydro to
10 have more fuel accessible to us during, say, the winter of
11 98/99.

12 MR. KENNEDY: Okay, and so after that application and
13 after presumably the Board approved the capital
14 expenditure for building a fuel storage tank in Nain, Hydro
15 determined that there was another cost-effective way to go
16 about that and so it cancelled the capital expenditure and
17 went in a more cost-effective way. Is that a fair statement?

18 MR. REEVES: That's a fair statement, yes.

19 MR. KENNEDY: Okay, just to bring you back, and I'm
20 paraphrasing, because I don't want to mislead anyone.
21 Maybe we can just turn to the transcript from October the
22 1st, page 31, line 38. So this was, I think this was relating
23 to Harbour Deep, which seems to be a topic that arises
24 often, and it will arise again, I'm sure, and this is where Ms.
25 Butler was questioning you concerning some of the
26 expenditures relating to the Harbour Deep situation, and at
27 line 38, I had ... "Sorry, that's correct, yes, and whether that
28 is going to be the way that we have as presented in our
29 budget, or whether it's going to be a containerization of
30 some of the units that are there, or the new ones, that's an
31 option that we will have to look at but we know that that
32 will cost us money as well." And I guess I took that as
33 meaning that, well you've got in your budget certain
34 upgrades committed to Harbour Deep, but that Hydro was
35 still examining some of its options concerning how you
36 were actually going to implement that when it came time to
37 actually carry out the capital budget.

38 MR. REEVES: Yes, and why this one is, I guess, a bit fluid,
39 is that as most of us will remember, the Harbour Deep
40 question has been posed on a number of occasions before,
41 and I think they've done referendums and they haven't
42 been successful in being able to relocate that community,
43 and as I indicated before, the plant requires the upgrading,
44 so what we put in there was to go with a, I guess, the job
45 that we planned to come in with, which was a design that
46 we were, you know, for to upgrade the plant, but there are
47 other options to that, and we would look at the other
48 options to be able to do that, at the time that the actual
49 capital work order is raised.

50 MR. KENNEDY: So is that similar to the Nain situation

51 then where you, you, you know, have something planned
52 for, seek approval, and get approval from the Board about
53 a particular capital expenditure, but then when you go to
54 actually carry out that capital project, you know, you
55 reassess and you still look at the cost considerations and
56 still try to figure out if there is a more cost effective way to
57 go about something, taking all circumstances into account,
58 and then change your mind. That's still a possibility.

59 MR. REEVES: The difference that I would see is that the
60 Nain storage fuel, we were able to go with an alternative
61 which did not include capital investment. My feeling on
62 the one for Harbour Deep is that whichever option we go
63 with, whether it's containerized or whether it's with what's
64 in the budget for a building, we would still have to expend
65 capital dollars.

66 MR. KENNEDY: Okay, so in Nain's case, it was a complete
67 cancellation of the capital project. In Harbour Deep you
68 feel like you will still need to have a capital project, but the
69 nature of the capital project may change slightly from what
70 you've got in your capital budget application?

71 MR. REEVES: It may, depending on the circumstances we
72 find in our detailed engineering investigation, that's correct.

73 MR. KENNEDY: Okay, maybe the same transcript, page 29,
74 line 36, and again, this is under cross-examination by Ms.
75 Butler, and this was again relating to some questions about
76 your overbudgeting in your test year and I wonder if we
77 could just scroll down a bit there, Mr. O'Reilly, and Ms.
78 Butler says, "Can I close on this point though, Mr. Reeves,
79 and that is, you appreciate the danger to consumers of
80 overbudgeting in a test year", and you state, "I agree with
81 that statement. However, you also have to realize that our
82 budget is based on estimates to the best of our abilities,
83 and some of our projects we overspend, and some we
84 underspend. We would like to believe that the positives
85 and negatives will balance out one another. They don't
86 always do that." So I guess that's why I was trying to
87 paraphrase some of your statements to date, that there is
88 still some flexibility within the Hydro budget that when you
89 go to do a capital project you sometimes reassess the
90 capital project to see if it's still the most cost effective way
91 to do it. In some cases you may cancel the capital project
92 outright and go a completely separate route. In some other
93 cases you may decide that there's a different way to
94 approach the capital project which involves a different
95 nature of infrastructure being put in place and that changes
96 the cost structure of the capital project.

97 MR. REEVES: The carry-overs that you're highlighting are
98 possibilities, but that would affect, I would say, a small
99 portion of our capital budget, where we have flexibility. In
100 also doing our estimates, our engineers use typical
101 numbers that they are used to for the conditions that they

1 would find in the field when they actually go out, but like
2 on a line extension, they may say from a quick look at the
3 line that there is 45 percent rock on the line. They may go
4 out and find that it's 85 percent rock, and that would be
5 something that we would have to deal with and in all
6 probability would drive the cost of that job up.

7 MR. KENNEDY: Just for curiosity, what's rock in the line?

8 MR. REEVES: Well, sorry, we set our poles in rock, okay,
9 or bog, or gravel ...

10 MR. KENNEDY: I might be sorry I asked this question.

11 MR. REEVES: No, no, or gravel, and ask me the questions
12 ... I don't mind that. But when we're constructing a line, we
13 can come across a number of different conditions as to how
14 we have ... what the environment that we actually have to
15 install our equipment in, and I refer to poles, I'll refer to
16 wood poles. We may find sand, very easy to dig. We may
17 find bog, very difficult to dig out and reinforce, and we may
18 find rock. If we go out and estimate that most of our poles
19 will have to be, say, installed in, say, 25 percent rock, but
20 we actually find that it is 75 percent rock, well that would be
21 more costly in actually conducting that piece of work, so
22 this is why it's difficult to do an exact estimate about what
23 that job is actually going to incur.

24 MR. KENNEDY: And in the rare instance where you strike
25 beautiful sand and clay, then your cost would be lower
26 than you had forecast in the capital budget.

27 MR. REEVES: And what I was trying to convey here is that
28 some would be overspent, some would be underspent, and
29 my thought is that in a perfect world is that they would
30 balance out. It doesn't always happen that way.

31 MR. KENNEDY: So the costing out of the capital project
32 is based on your best estimates as you indicated there in
33 the response to Ms. Butler's question, and that in some
34 cases the capital projects come a little over and in some
35 cases they come a little under, and you're hoping that
36 overall your capital budget comes in on numbers.

37 MR. REEVES: That's correct, yes.

38 MR. KENNEDY: Okay, I wonder if we can go to the B
39 schedule now of the capital budget, and B-6. Okay, so my
40 understanding, Mr. Reeves, is that this particular schedule,
41 the Schedule B portion of the capital budget is a sort of a
42 page-by-page description of the capital budget projects
43 that exceed in each individual case more than \$50,000 in
44 total.

45 MR. REEVES: That's correct, yes.

46 (12:00 noon)

47 MR. KENNEDY: Okay, and they're divided into four
48 groups, generation, transmission, rural systems, and

49 general properties, so I guess first of all, could you confirm
50 that you're prepared there to answer questions concerning
51 the transmissions and rural systems?

52 MR. REEVES: That's correct.

53 MR. KENNEDY: Okay.

54 MR. REEVES: And one item in the general properties,
55 which is vehicles.

56 MR. KENNEDY: Okay, generation not so much?

57 MR. REEVES: Generation, Mr. Budgell will be addressing
58 that.

59 MR. KENNEDY: Okay, so now Hydro notes there in
60 paragraph two, many of the explanations refer to cost
61 benefit studies and it should be recognized that because of
62 the nature of the individual project, not all decisions to
63 proceed are supported by formal cost benefit studies. For
64 example, where the level of safety or reliability of service to
65 customers would be clearly jeopardized if a project did not
66 proceed, a formal cost benefit study would not be required
67 to support the decision to proceed. There is really no
68 alternative but to proceed. So I guess if we could, before
69 we look ... you then go on to state that these projects are
70 required for one or more of the following reasons, and then
71 ... and we'll go through those, but am I gathering correctly
72 from that first paragraph that the general overriding
73 principle of whether to spend money in your capital
74 budget, is where the level of safety or the reliability of
75 service to customers would be clearly, would clearly be
76 jeopardized.

77 MR. REEVES: That's correct, yes.

78 MR. KENNEDY: Okay, and so to try to flush out that
79 overriding objective, you've got these further six points
80 that you look to in assessing your capital budget?

81 MR. REEVES: That's correct.

82 MR. KENNEDY: Okay, and going through those ... to
83 protect human life, well let's give that as a given, although
84 I was making light of that with the financial officer that I
85 know, a bean counter who, that would be undeterred by the
86 cost of the human life in calculating out what the cost of it,
87 but let's not go there. We'll assume that human life is an
88 overriding principle. The second one, to meet projected
89 customer load demands. Let's say that's a given, that in the
90 case where your forecast is showing a shortfall in load that
91 makes it a sense that you need to build new generation,
92 and again, this is outside your area so we'll leave that, any
93 questions we have for Mister ...

94 MR. REEVES: Budgell.

95 MR. KENNEDY: To prevent imminent interruption of
96 customer service. So imminent, I'm assuming, you know, a

1 lawyer would use the word, sort of, forthwith, that if it
2 looks like they're going to lose power very soon, then you
3 spend the money, you know, regardless of the sort of cost
4 benefit analysis because the reliability of service overrides
5 that.

6 MR. REEVES: That's right.

7 MR. KENNEDY: Okay, comply with regulations and
8 standards, well everyone has got to comply with the law,
9 so we'll assume that one's a given, and to protect your
10 assets against loss or damage, so it will be penny wise and
11 pound foolish to do otherwise, so we'll accept that one. So
12 let's look at the last one, to maintain power system
13 reliability and availability. Now you've given us an
14 overview of the network that you have for the island, and
15 how it all ties together, and I guess you'd agree with me,
16 wouldn't you, that it would be taking it from the sublime to
17 the ridiculous if we were to suggest, well let's go for better
18 reliability in our entire network by duplicating the whole
19 thing for the entire province and putting another 230 kV
20 line across from end to end, just in case the ones that are
21 there break down. That would be, that would be foolhardy
22 to suggest something like that?

23 MR. REEVES: Just on one spectrum.

24 MR. KENNEDY: Right, and it's on that spectrum of what,
25 how do you make that determination of, well we can't go
26 there, that we're not going to replace, or we're not going to
27 duplicate the entire network with an entirely new 230 kV
28 line?

29 MR. KENNEDY: Some of the tools that we have available
30 to us and are used are reliability indices that we use and
31 report to the PUB on a regular basis, the frequency of
32 interruptions, and also the duration of those outages.

33 MR. KENNEDY: So that's the SAIFI and SAIDI statistics?

34 MR. REEVES: That's correct, yes, and we use those in
35 guiding us to providing an acceptable level of service to
36 our customers. We judge ourselves against, and try to
37 meet the Canadian average, which we think is a reasonable
38 goal. Another thing that would be used is that where those
39 indices may not show a particular problem, but there may
40 be a reason to do it for an impact on a substantial number
41 of customers and that's ... an example of that would be
42 when we replace lightning arresters on our lines from Bay
43 d'Espoir to Sunnyside which came to the Board the year
44 before last for last year and this year, and while that may
45 not ... it will show up in your SAIFI's and SAIDI's, but it
46 may not grossly affect them, but what happens is that
47 when it does happen, it affects such a large customer base
48 that it's really not acceptable in our opinion to do that.

49 MR. KENNEDY: Okay, let's just back up a little bit first.
50 The, Hydro does follow the SAIDI and SAIFI statistics.

51 MR. REEVES: We track those and we submit them to, and
52 we review themselves internally, and we also give them to
53 the Canadian Electrical Association for input and we get
54 reports back to see how we compare to other utilities.

55 MR. KENNEDY: And if I gather correctly, your target is to
56 hit the Canadian national average?

57 MR. REEVES: That would be ... a general rule of thumb is
58 that we would like, we would plan to be or expect to be as
59 good as the rest of the other utilities on average.

60 MR. KENNEDY: Okay, excuse me, when you say a general
61 rule of thumb, I'm just trying to get down to that detail.
62 Does Hydro set a specific SAIFI and SAIDI target which it
63 determines is a target that is reasonable to achieve and
64 appropriate and prudent?

65 MR. REEVES: One of the things that we started, I guess,
66 last year and this is both internally and externally, is that
67 we initiated, I think Ms. Butler asked a question ... I sit on
68 a committee with Newfoundland Power and Mr. Ludlow ...
69 to review our system performance and I do that, and what
70 we did last year is that we set targets for both utilities for a
71 25 percent reduction in the service that we provided in 1998
72 to be achieved at the end of 2001, so that's one thing that
73 we ...

74 MR. KENNEDY: I think you might have missed a word
75 there ... you said you agreed to a 25 percent reduction in
76 service, so ...

77 MR. REEVES: A 25 percent reduction in the reliability
78 indices that we monitor, which is SAIFI and SAIDI, I'm
79 sorry.

80 MR. KENNEDY: So ...

81 MR. REEVES: And we also internally obviously, that was
82 only on one part of it which is the bulk electrical system,
83 okay, which is the main, our main transmission grid. Also
84 in Hydro we would set similar standard for our rural
85 customers as well, so, yes, to answer your questions, we
86 look at our indices and then we look at where we are in
87 relationship from year to year and we set targets for
88 ourselves.

89 MR. KENNEDY: Okay, and so knowing that a duplication
90 in the entire network will improve reliability is not followed
91 up with actually duplicating the network because that
92 would be not matched to the target of what's an acceptable
93 SAIFI and SAIDI statistic would be for Hydro?

94 MR. REEVES: Duplication to the network may not be
95 required to achieve the standards that we set for ourselves,
96 that's correct, yes.

97 MR. KENNEDY: Okay, and so there ...

98 MR. REEVES: Obviously, if you duplicate the network,

1 there's a significant cost to that which our customers would
2 have to cover and I'm sure that if we start doubling our
3 network, it would be noted from the electrical bills and you
4 would get some return in reliability but whether it would be
5 cost effective is another question.

6 MR. KENNEDY: You must be reading my notes because
7 that was the next question that I had, or next line of
8 thought. You were present, weren't you, when Mr. Wells
9 testified here for the first week?

10 MR. REEVES: I was here for most of it. I don't know if I
11 was here for all of it, but I was here for most of it.

12 MR. KENNEDY: Okay, well hopefully you were here for
13 the good parts, and I guess what I wanted to, what I
14 wanted to see if I could confirm is that it seems to be an
15 overriding consideration within Hydro's application, if I can
16 suggest that, that it's an attempt to keep rates to customers
17 as low as possible in the circumstances, despite the
18 pressures that Hydro is receiving through the increased
19 price in fuel, for instance, to otherwise increase those rates?

20 MR. REEVES: That would be a fair statement, that we want
21 to keep our costs as low as possible at all times.

22 MR. KENNEDY: Okay, and is it fair to say as well that, you
23 know, your customers hold reliability to be a very important
24 thing in the use and service of electricity?

25 MR. REEVES: Very much so and it's even more so today
26 than it was, say, ten years ago. With the modern age of
27 technology, people are very intolerant of interruption to
28 service, and it doesn't matter if you're on the
29 interconnected system or the isolated system.

30 MR. KENNEDY: It's a paralysis that sets in the second that
31 the power turns off.

32 MR. REEVES: That's correct, and to use an analogy or a
33 saying that I say is that we are one of the industries that
34 have building watch people in every household that we
35 service, because everybody has an electric clock. When
36 you lose your electric clock it blinks. You could be out
37 away from the world for a week, come back and you'll know
38 if there was an outage or not. Where a similar utility, like a
39 telephone company, if you lose service for a period of time,
40 if you're not on the phone in that period of time, you don't
41 see it.

42 MR. KENNEDY: Well let's not drag the phone company
43 into it.

44 MR. REEVES: Well I'm just using an example, so what I'm
45 saying is that we are very conscious of reliability and the
46 point I'm trying to make is that whether the person was
47 affected by it or not, they know that their service was
48 interrupted.

49 MR. KENNEDY: And so your customers being very
50 concerned with reliability are also concerned with the rates
51 that they pay for the service that they use.

52 MR. REEVES: Very much so.

53 MR. KENNEDY: So that's the push and the shove, isn't it?
54 They want a very reliable network that's up a hundred
55 percent of the time, but then they also want low rates.

56 MR. REEVES: That's my read for what our customers
57 would like to have, yes.

58 MR. KENNEDY: This is the rock and hard place that Hydro
59 is always in.

60 MR. REEVES: Well, not only Hydro but ...

61 MS. GREENE, Q.C.: It's one of them (*laughter*). I can think
62 of a few others.

63 MR. KENNEDY: But this is the, this is the balance that
64 Hydro is always grappling with.

65 MR. REEVES: We consider both, yes, that's correct.

66 MR. KENNEDY: Okay, now do you think that if it was
67 explained to customers that well, okay, we can give you a
68 hundred percent reliability but, or almost something that
69 approaches a hundred percent reliability, but your rates are
70 going to double or triple, that that may change the water on
71 the beans for them, that they may say well, I'm willing to
72 put up with an interruption or two if it means that my rates
73 are that much lower. That's sort of how that rock and hard
74 place sifts out for the customer?

75 MR. REEVES: That's right. If they want improved
76 reliability or maintain the reliability, then in most cases
77 there is a cost associated with that.

78 MR. KENNEDY: And so because they don't have a direct
79 influence on Hydro's determination of when to spend and
80 when not to spend to improve the reliability of the system,
81 they have to rely on Hydro to do that.

82 MR. REEVES: They have to rely on Hydro to do that, but
83 I assume that going through a public process like this, that
84 you would seek the input of our customers, as
85 Newfoundland Power is here today to question us on the,
86 the things that are in our operating capital budget, so that
87 we are questioned and we are keeping our costs as low as
88 we can to maintain the service that we provide to them.

89 MR. KENNEDY: Okay, just maybe before we break for
90 lunch, there was an exhibit that I had passed out to the
91 counsels which was the gas turbine relocation exhibit, and
92 if you could pass that up, copies to the panel. Does the
93 witness have a copy? Yes, I believe the witness already
94 has a copy, and ...

95 MR. REEVES: This is **Schedule B**, page 15 of 66, gas

1 turbine relocation project?
2 MR. KENNEDY: That is correct.
3 MR. REEVES: Project cost, \$1.6 million.
4 (12:15 p.m.)
5 MR. KENNEDY: That's correct, and for the purposes of ...
6 this is from Newfoundland Power's 2002 capital budget
7 application, and I guess if counsel is in agreement we
8 should probably label that. It was a filed document by
9 Newfoundland Power, if we can call that a consent
10 document, I believe it would be Consent No. 3.

11 **EXHIBIT CONSENT 3 ENTERED**

12 MR. KENNEDY: Now, Mr. Reeves, maybe I should ask
13 you first, you've had an opportunity to review this
14 document?
15 MR. REEVES: I've read through it once, reviewed it once.
16 MR. KENNEDY: Okay.
17 MR. REEVES: I can't say I gave it a thorough review, but
18 I generally understand what's ...
19 MR. KENNEDY: No, that's okay, because I'm going to take
20 the 30,000 foot view of it myself, so ...
21 MR. REEVES: Great.
22 MR. KENNEDY: Now my understanding of the issue is
23 that, is that here Newfoundland Power in its 2002 capital
24 budget application applied for approval, which they
25 eventually obtained from the Public Utilities Board, to
26 relocate a substation from Salt Pond to Wesleyville.
27 MR. REEVES: A gas turbine, you mean?
28 MR. KENNEDY: I'm sorry, a gas turbine.
29 MR. REEVES: Yes, that's my understanding of this ...
30 MR. KENNEDY: I said substation, didn't I?
31 MR. REEVES: Yes.
32 MR. KENNEDY: Sorry, a gas turbine, and my
33 understanding as well is that this gas turbine would
34 normally be used to provide power in the event of an
35 interruption. Is that what its purpose would be?
36 MR. REEVES: That would be one of the purposes, as I
37 understand it ... it could also be used for planned outages
38 where lines would be taken out of service feeding the area
39 which is surrounding that particular ... where it's located.
40 MR. KENNEDY: Okay.
41 MR. REEVES: So it would, I would see it as being probably
42 two uses.
43 MR. KENNEDY: Okay, now there was evidence given

44 already about the fact that there is two transmission lines
45 that T off from Goobies and go down the Burin Peninsula
46 and feed power to the Burin Peninsula. I believe they were
47 in your exhibits and there's a map right behind you, it's
48 what I'm looking at there now.
49 MR. REEVES: In my terminology, from Sunnyside, which
50 is right here, right down to Lynn Lake and Salt Pond.
51 MR. KENNEDY: Okay, and power is delivered to the Burin
52 Peninsula over both of those lines.
53 MR. REEVES: We provide power to, electrical power to
54 Newfoundland Power over those two lines.
55 MR. KENNEDY: Okay, and so is it, from a layperson's
56 perspective, that would appear to be, there's a redundancy
57 in the system for the provision of power to the Burin
58 Peninsula area.
59 MR. REEVES: Well on the actual configuration of the lines
60 and the capability of the lines and the load that is down
61 there and what is required to service those particular areas,
62 the best one to respond to that would be Mr. Budgell.
63 MR. KENNEDY: Okay, so maybe you could just give me
64 your un-expert, layman's perspective then that two lines are
65 better than one.
66 MR. REEVES: Well, as I said before, tried to say before, is
67 that when there is, when you have a load to service you
68 can do it one of several ways, I would assume. You can
69 put local generation down there and not interconnect it.
70 You can have one line down there of a certain voltage
71 which would be sufficient to service that load. You can go
72 with a lower voltage so that both lines would be required to
73 meet the peak, and in this particular case I have not seen
74 the justification, I was not involved in the justification of
75 these two, the construction of these two lines.
76 MR. KENNEDY: Okay.
77 MR. REEVES: Whether both lines are required to meet the
78 peak, or whether one line can meet the peak, Mr. Budgell is
79 much more apt to respond to that than I am.
80 MR. KENNEDY: Okay, now in reply to questions
81 submitted at Newfoundland Power regarding, regarding the
82 relocation of this gas turbine, it was requested that they
83 provide the SAIFI and SAIDI statistics for both the, as per
84 page one of three of **PUB-5**, for the Bonavista area, and
85 then the second set of questions were for the Burin area,
86 and then over on page, page three of three, of **PUB-5**, there
87 was the answer to a question concerning the ... when the
88 Salt Pond unit was used to provide emergency generation
89 in the area and it was once in '92 and two times in 1997, and
90 then presumably nothing after 1997, and I guess, as I
91 understood Newfoundland Power's argument at the time,
92 based on the SAIFI, or SAIFI and SAIDI statistics for these

1 two areas, based on the fact that it hadn't been used for
2 emergency purposes in quite some time, that it made sense
3 to relocate this gas turbine from Salt Pond to Bonavista.

4 MR. REEVES: From reading this through once, that seemed
5 to be the, you know, the case that was being made for the
6 relocation.

7 MR. KENNEDY: Okay, so that's your understanding from
8 having read through this document as well.

9 MR. REEVES: Once, yes.

10 MR. KENNEDY: Okay, and then attached to it as well, in
11 response to question, **PUB-5.4**, was to provide a copy of
12 the study undertaken to evaluate the various options for
13 improving the reliability service to the Bonavista area, and
14 then there is a, what I would describe as a fairly
15 comprehensive document regarding a number of areas and
16 approaches and cost considerations relating to the
17 provision of electrical service in the area, and have you had
18 an opportunity to flip through this?

19 MR. REEVES: I flipped through it, yes.

20 MR. KENNEDY: Okay, and you can see when you flip
21 through the back of that document that there is detailed
22 cost breakdowns for, for instance, transmission estimates
23 for the relocation of the Salt Pond new stationary diesel
24 estimates for Salt Pond, new mobile diesel estimates for Salt
25 Pond, and the Greenhill relocation and so on.

26 MR. REEVES: Yes.

27 MR. KENNEDY: Alright, so you have read this document,
28 and you have seen it, would you have any questions after
29 this regarding the appropriateness of moving the gas
30 turbine from Salt Pond to Bonavista?

31 MR. REEVES: In regard to the analysis that's done in here,
32 what I would do, because Mr. Budgell is our planning
33 person, I would speak to Mr. Budgell and we would
34 discuss this document. In regard to what location is being
35 picked, I would have to study this document more closely
36 to make a determination of that.

37 MR. KENNEDY: Okay, fair enough. Chair, Commissioners,
38 that's an appropriate place for a break for lunch, I think,
39 before I move on.

40 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.
41 Kennedy and Mr. Reeves, we'll reconvene at 2:00.

42 MS. BUTLER, Q.C.: I wonder, Mr. Chairman, might I just
43 ask in terms of the timing because of the next witness
44 coming behind, whether Mr. Kennedy thinks he's going to
45 be the balance of the afternoon?

46 MR. KENNEDY: I would suspect, yes.

47 MS. BUTLER, Q.C.: Okay, thank you, Mr. Chairman.

48 MR. NOSEWORTHY, CHAIRMAN: Thank you.

49 *(break)*

50 *(2:00 p.m.)*

51 MR. NOSEWORTHY, CHAIRMAN: Thank you and good
52 afternoon. Before we proceed with the cross-examination,
53 are there any preliminary matters?

54 MS. GREENE, Q.C.: Thank you, Mr. Chair. I have four
55 preliminary matters. The first relates to the issue of
56 undertakings that would have been given yesterday and as
57 yesterday we have a copy of the undertakings as we have
58 determined them from reviewing in the transcript and we
59 have copies to distribute at this time of that list. Yesterday
60 the list was shorter than the previous day. There were only
61 three identified in the transcript.

62 The first undertaking related to the load on the
63 Burin Peninsula and that was an undertaking given to
64 Industrial Customers. The second was an undertaking also
65 to counsel for the Industrial Customers relating to the load
66 in the Baie Verte Peninsula area. I provided that
67 information yesterday afternoon, after the, at some time
68 during the afternoon. I think it was after the coffee break.
69 So it is our view that those two undertakings have already
70 been answered.

71 With respect to the last one which related to the
72 coordination of transportation of PCB waste to
73 construction facilities, Mr. Reeves will respond to that in
74 redirect when I get to redirect him. And as yesterday, if
75 there's other items that we may inadvertently have
76 forgotten, I'm sure it'll be brought to our attention by other
77 counsel.

78 The second item is the **supplementary evidence of**
79 **Paul Hamilton** which we have available to file at this time.
80 This supplementary evidence addresses the impact on the
81 rates charged to our various customers arising from the re-
82 allocation of costs that we have talked about before.

83 MR. NOSEWORTHY, CHAIRMAN: There's no labelling
84 required on this?

85 MR. KENNEDY: No, Mr. Chair.

86 MS. GREENE, Q.C.: The third preliminary matter relates to
87 responses to RFIs. At this point in time, on the record
88 there are four outstanding responses to information
89 requests all from the Industrial Customers. This afternoon
90 we are ready to file responses to IC-248, 271 and 278,
91 leaving outstanding the response to 272(A) and (E).

92 MR. NOSEWORTHY, CHAIRMAN: Sorry? 272. I just
93 didn't catch the last ...

94 MS. GREENE, Q.C.: The ones that we are filing now are the
95 responses to 248 ...

1 MR. NOSEWORTHY, CHAIRMAN: Yes.
2 MS. GREENE, Q.C.: ... 271 and 278.
3 MR. NOSEWORTHY, CHAIRMAN: Okay.
4 MS. GREENE, Q.C.: There's still one outstanding and that's
5 272, two parts, 272(A) and (E). The other parts have
6 already been answered.
7 MR. NOSEWORTHY, CHAIRMAN: Thank you.
8 MS. GREENE, Q.C.: The response to 272 we hope to have
9 available tomorrow. And the last outstanding thing for the
10 Industrial Customers is the 2001 forecast cost of service
11 and the 1997 cost of service, which are not available at this
12 point. My latest information is that they will be available
13 next week but I would like the opportunity to have further
14 discussions with the Rates Department before I can give
15 you a more precise date.
16 MR. NOSEWORTHY, CHAIRMAN: Okay.
17 MS. GREENE, Q.C.: And the very last preliminary matter,
18 the fourth, is the counsel for Industrial Customers asked us
19 the number of rural customers on the Burin Peninsula. It's
20 a simple matter that she would like it placed on the record,
21 and the response is that there are 159 customers served by
22 Hydro on the Burin Peninsula. That question hasn't been
23 asked, so it wasn't necessary as an undertaking but Ms.
24 Andrews asked me outside of the room and we agreed that
25 I would provide the information on the record.
26 MR. NOSEWORTHY, CHAIRMAN: Thank you very much.
27 MS. GREENE, Q.C.: Thank you.
28 MR. NOSEWORTHY, CHAIRMAN: Are there any other
29 comments from any of the other parties? Okay. Having
30 heard none, if I could ask Mr. Kennedy to proceed with his
31 cross-examination. Are you ready to begin?
32 MR. REEVES: Ready, Mr. Chair, yes.
33 MR. NOSEWORTHY, CHAIRMAN: Thank you.
34 MR. KENNEDY: Thank you, Chair. Mr. Reeves, just
35 before we broke for lunch we left off with a discussion
36 concerning the cost benefit implications of spending
37 money on capital budgets that, whose purpose is to
38 improve the system reliability and availability as opposed
39 to those issues concerning protection of human life, for
40 instance, and I wanted to try to delve a little deeper into
41 that issue, but first I thought I would try to put it in the
42 absolute simplest of terms and I thought that I could use an
43 analogy that perhaps everyone is familiar with and
44 everyone has their own story that's the same, but if you
45 can bear with me for just a minute I'd just like to tell you
46 this one. It's a recent story and it's true and it just involves
47 a friend who recently bought a new car. They had an old

48 car that was about 11 years old. It was paid off completely.
49 It had relatively low mileage but the vehicle was still getting
50 up there in age and they found that they were spending
51 money from time to time repairing it, \$400 here, \$500 there,
52 each time hoping of course that that would be the last time
53 they would have to repair it for a while but then along
54 would come a new set of repairs, and the normal course of
55 events, exhaust systems and generator, alternators and so
56 on, and they were sort of tire kicking buying a new car but,
57 you know, the price of the old car, well, was free because
58 they weren't paying anything on it so it was only the
59 ongoing maintenance of this vehicle that they were
60 incurring, and then one day they were driving along and
61 the drive shaft fell out of the car, and it fell out because of
62 the U-joint, and it only cost \$136 to repair but it was very
63 disconcerting and so then this person of course was faced
64 with the issue of the safety of the vehicle and lost the
65 sense of security that they had riding around in this
66 vehicle, so eventually they bought a new truck, parked in
67 the driveway now, brand new vehicle at a certain monthly
68 price. So I'm wondering if we could keep that sort of story
69 and use that as an analogy when we think of the process,
70 if you will, of looking at Hydro's expenditures under its
71 capital budget program, and I'm wondering, Mr. O'Rielly,
72 whether you could pull up **Schedule B** again on the capital
73 budget? Mr. Reeves, just going back again, you indicated
74 that you would be able to speak to issues in the capital
75 budget dealing with transmission of rural systems and one
76 aspect of general properties and that was relating to
77 vehicles.

78 MR. REEVES: Vehicles, that's correct, yes.

79 MR. KENNEDY: Okay. So in the generation section, I
80 noted that there's certain aspects of the generation which
81 aren't in the capital budget which aren't related specifically
82 to building new plant, if you will, you know, increasing the
83 load or the capacity of the system, sorry, but rather the
84 more operationally-oriented aspects of generation. So
85 would you oversee that or would that be still in generation?

86 MR. REEVES: That would be in generation.

87 MR. KENNEDY: Okay. And so if I was going to ask you
88 questions, I should stick to questions involving these three
89 items, the transmission and rural systems and vehicles, if I
90 had any questions on vehicles.

91 MR. REEVES: That's correct.

92 MR. KENNEDY: Okay. Okay ... yeah?

93 MR. REEVES: There's one item in generation which is, I
94 think it's related to Eebbeegunae (phonetic) which is the
95 construction of a distribution line to Eebbeegunae
96 (phonetic). It's been justified by generation and if it's
97 approved then my department will actually do the

1 construction of the distribution line.

2 MR. KENNEDY: Okay.

3 MR. REEVES: But other than that, that's the only one that
4 would come to my mind that I would have responsibility
5 for.

6 MR. KENNEDY: Okay.

7 MR. NOSEWORTHY, CHAIRMAN: Excuse me, Mr.
8 Reeves, where was that location again?

9 MR. REEVES: Eebbeegunae (phonetic), which is in Central
10 Newfoundland which is part of our reservoir system that
11 feeds Bay D'Espoir.

12 MR. KENNEDY: For the purposes of assistance of the
13 person that's going to end up doing the transcript, I
14 wonder if we could just spell that out? I know ... *(laughter)*
15 I know that's in the record somewhere.

16 MR. REEVES: E-e-b-b-e-e-g-u-n-a-e, I think it is, or
17 something (unintelligible) ... I can give the correct spelling
18 after.

19 MR. KENNEDY: That's a phonetic anyway. That'll do.

20 MR. REEVES: Eebbeegunae, it's an old Newfoundland
21 name.

22 MR. KENNEDY: Yes. Okay. So I believe, Mr. Reeves, and
23 you can correct me if I'm wrong, that we established that in
24 regards to the objectives, stated objectives that Hydro uses
25 in the determination of whether to include something as
26 part of their capital budget program, and then they were the
27 six objectives that we went through beginning with the
28 protection of human life, that ...

29 MR. REEVES: That's correct.

30 MR. KENNEDY: ... that we gave away as givens in the first
31 five of those, that if, in other words, if it was clearly
32 identified that a particular project would protect human life,
33 that that would not need to have any further consideration.
34 That would be included in the capital budget, so we're
35 assuming that. And the only one that we're dealing with is
36 the maintaining of the power system reliability and
37 availability. Mind you, if you can point back to a different
38 objective when we look at a specific project, then, you
39 know, please do, right, so I'm not trying to contain you to
40 that but I'm just saying that's what I'm trying to focus my
41 efforts on. So I wonder if we could look to **B-25**? Okay.
42 So **B-25** was paving a parking area in the Bishop's Falls
43 Complex for \$69,000, and it says, "This project involves the
44 paving of the gravel parking lot at Bishop's Falls Complex
45 which is used by heavy equipment such as muskegs, line
46 trucks, etc. The surface of the existing parking lot is
47 difficult and costly to maintain, as it is often in poor
48 condition in the spring and during wet conditions. The

49 customer impact, there is no direct customer impact and the
50 cost benefit study, a formal cost benefit study was not
51 required." So I guess what I'm trying to reconcile, and this
52 is what I'm going to ask you to help me on is it's indicated
53 here that the surface of the existing parking lot is difficult
54 and costly to maintain, so presuming that that's the reason
55 that Hydro decided to pave the parking area, did that not
56 necessarily involve some sort of cost benefit analysis in
57 determining how much it was costing to maintain the
58 parking lot in its present state versus paving it?

59 *(2:15 p.m.)*

60 MR. REEVES: That was only one aspect of the
61 recommendations of having this done is that there would
62 be some savings. While you can do the cost benefit, like
63 your person with the vehicle, an old vehicle, you may not
64 be able to show the economics of buying a new vehicle or
65 of paving this lot. There are other benefits associated with
66 this particular job, which would be ease of maintenance of
67 our vehicles and whatnot.

68 MR. KENNEDY: Okay. But just going back over your
69 objectives, it's not to protect human life, it's not to meet
70 customer load, it's not to prevent the imminent interruption
71 of power, it's not to comply with regulations. I suppose it's
72 arguable that it could be used to protect Hydro's assets in
73 the case of the trucks and I suppose arguably in an indirect
74 manner it could be used to maintain or be done to improve
75 the system reliability in the sense that if your trucks break
76 down, then it's that much harder for you to get to an
77 interruption. But is it a fair statement to say that in a case
78 like this, in a case of paving a parking lot, it doesn't really
79 neatly slide into any of these six requirements, does it?

80 MR. REEVES: Not in and of itself the one that you
81 mentioned to me.

82 MR. KENNEDY: So I guess that sort of begs the question
83 then, if it doesn't fit into one of these six particular
84 objectives which Hydro has identified as the ones that it
85 looks to in determining whether to include something in
86 their capital budget, what did you look to when determining
87 whether this should be included in your capital budget?

88 MR. REEVES: I'm here looking for a list, a page, reference
89 ... there's a list on and I can't ...

90 MS. GREENE, Q.C.: That's be **B-6** the criteria.

91 MR. REEVES: **B-6**, okay. Thank you very much. There we
92 go, sorry. Okay, I'm back on the page again now.

93 MR. KENNEDY: Okay. Do you want me to repeat the
94 question?

95 MR. REEVES: Yes, please. Yes, please.

96 MR. KENNEDY: Okay. I guess first we've established that

1 in this particular case, and obviously I'm using this as an
2 example, the amounts involved in absolute dollar terms are
3 from an overall perspective insignificant. I think you
4 probably agree.

5 MR. REEVES: Uh hum. In regard to the capital budget that
6 we've got submitted here.

7 MR. KENNEDY: Right.

8 MR. REEVES: It's not a big percentage of it, that's right.

9 MR. KENNEDY: \$69,000 on \$46 million.

10 MR. REEVES: Uh hum.

11 MR. KENNEDY: Okay. But using this as an example of a
12 project in your list of capital projects that I'm stating to you
13 and asking you to agree, does not fit into any of these
14 particular six requirements as identified by Hydro as to
15 when they put something in their capital budget, what, how
16 did this end up in your capital budget?

17 MR. REEVES: Well I guess what you may do is to take a
18 couple of those and you may use it, like, for instance, to
19 prevent Hydro's assets against damage, and, you know,
20 that may be a pertinent one, like if you have a very soft
21 parking lot and it's very soft and there may be something
22 done to one of the vehicles or something, to maintain
23 system availability again on your vehicles, to have them
24 readily available in the event that they are required. Now
25 it doesn't neatly fit into one of these categories but you
26 could use a couple of these to help support it, to improve
27 your operation.

28 MR. KENNEDY: Okay. I guess that's sort of, if I may,
29 revisionist capital budget thinking in the sense of putting
30 the budget in, or putting the project in your capital budget
31 and then trying to warrant it being there by then trying to
32 indirectly fit it into one of the objectives. So what I'm
33 asking you is, in this case, paving a parking lot, is there
34 something else that Hydro looks to other than these six
35 objectives or would you still measure this paving of the
36 parking lot, whether it should or shouldn't be included, by
37 still looking at these six objectives?

38 MR. REEVES: I think we would focus our attention on
39 these six objectives, however, you know, there may be
40 other things that may be considered as well.

41 MR. KENNEDY: Okay.

42 MR. REEVES: But these would be the, primarily the six that
43 we would give priority to.

44 MR. KENNEDY: Okay. So just going back to **B-25**, please,
45 Mr. O'Rielly. So again the case here where it would seem to
46 me that the description of the nature of the project implies
47 that there's some kind of cost element involved because
48 there's, you speak to the fact that the surface of the existing

49 parking lot is difficult and costly to maintain, and so I'm, am
50 I correct in assuming then that the decision to pave it was
51 at least driven in part by the fact that it was becoming
52 costly to maintain the parking lot as it was?

53 MR. REEVES: There was an ongoing annual maintenance
54 with the parking lot, that's correct.

55 MR. KENNEDY: Okay. So what I'm asking you then is,
56 was there any kind of formal measurement of what the cost
57 had been on an annualized basis to maintain the parking lot
58 in its current condition versus spending \$69,000 to pave it?

59 MR. REEVES: No, there was not. On this particular one,
60 it's a \$69,000 expenditure. To do a formalized cost benefit
61 analysis would obviously expend some dollars to do that
62 and it was not done.

63 MR. KENNEDY: So the cost of the cost benefit analysis
64 outweighs the reason for doing the cost benefit analysis.

65 MR. REEVES: In this particular one, you know, that may ...

66 MR. KENNEDY: Yes, I understand. We're speaking ...

67 MR. REEVES: That may have been ...

68 MR. KENNEDY: We're only speaking about this one in
69 particular.

70 MR. REEVES: That may have been some of the reasons
71 why it was not done, the fact also that the, for the reasons
72 that are stated here. There are other reasons. You know,
73 that's why it was not done. It wasn't just because of the
74 cost but there would have been a cost associated with that,
75 obviously.

76 MR. KENNEDY: Let's go to **B-32**. Now there's two of
77 these. There's **B-32 and B-34**, actually three. There's also
78 **B-67**. Let's just stay on **B-32** for a second, "Purchase and
79 install remote communication equipment for Buchans and
80 Stoney Brook.

81 MR. REEVES: **B-32**.

82 MR. KENNEDY: **B-32**, yeah. "And the project involves
83 the purchase and installation of a number of relays and
84 associated communications equipment which store fault
85 information at Stoney Brook and Buchans Terminal
86 Stations," and then it goes on to explain how "currently
87 personnel must travel to each station in order to retrieve
88 this information and with the purchase and installation of
89 proposed communications equipment, the relays can be
90 remotely accessed, and this will assist in the timely analysis
91 to faults and in the case of permanent faults will provide
92 fast access to the fault type and location." And the
93 customer impact, "The project will decrease the time
94 required to locate permanent faults and therefore decrease
95 the outage time in the faulted equipment line," and again,
96 "A formal cost benefit study was not required." So in this

1 case it speaks to one of the objectives of maintaining
2 power system reliability and availability.

3 MR. REEVES: That's correct.

4 MR. KENNEDY: Agreed?

5 MR. REEVES: Yes, that's correct.

6 MR. KENNEDY: It doesn't really fit with any of the other
7 ones. It's not to protect human life, it's not to meet
8 customer load, it's not to prevent an imminent interruption,
9 it's not to comply with regulation and it's not to protect
10 Hydro assets, so it has to fall under the maintain power
11 system reliability and availability, correct?

12 MR. REEVES: It's primarily that one. There may be ... no,
13 that's where it would basically fit, that's correct.

14 MR. KENNEDY: Okay.

15 MR. REEVES: Because this is the remote communication
16 equipment. The information is gathered in the station
17 anyway.

18 MR. KENNEDY: Yeah. So in this case it's replacing a mode
19 of gaining the information, correct? The information was
20 already being secured. As it says, "Currently personnel
21 must travel to each station in order to retrieve the
22 information."

23 MR. REEVES: That's correct, yes.

24 MR. KENNEDY: So again was there any sort of analysis
25 done about the cost of this system to now remotely retrieve
26 this information versus how much it was costing you to
27 send personnel there to retrieve the information?

28 MR. REEVES: No, there was not and what you'd be
29 comparing against is a future outage and the amount of
30 time that would be taken up, that future outage, is what
31 would be the benefit, and what would you use? You'd
32 have to make an estimation as to what that would be, how
33 often it would happen, and compare it against the cost of
34 actually driving, the person getting in the vehicle and
35 driving out. The benefit of installing this is that there
36 would be a quicker restoration period, so one of the primers
37 on, of the evaluation is, would have to be an estimation of
38 the number of times that it would be utilized, how long a
39 time it would save off the outage, etc.

40 MR. KENNEDY: Correct. I agree with you 100 percent. So
41 if that's the case though, if that's the purpose of this
42 device, how do you know it's worth \$51,000 to you?

43 MR. REEVES: The way I would view that is that at
44 reasonable cost if we can install equipment which cuts
45 down on our outages, the length of outages and time to our
46 customers, then that's what we should be doing.

47 MR. KENNEDY: But I guess that's the issue then, isn't it,

48 reasonable cost. As we discussed at the beginning, you
49 could increase the reliability to a point where you're almost
50 approaching 100 percent by just duplicating your entire
51 infrastructure network for the island, but we seem to agree
52 that while that doesn't make any sense, because there's a
53 certain cost benefit analysis that you calculate in your head
54 and intuitively know that it's not correct to do that, but in
55 cases where you're doing it on a project-by-project basis,
56 it involves a more detailed calculation, wouldn't you agree?

57 MR. REEVES: In some cases it does and in some cases we
58 do that.

59 MR. KENNEDY: So I guess the question is, how do you
60 know \$51,000 for the purchase and installation of a remote
61 communications equipment for Buchans and Stoney Brook
62 is the reasonable sum of money to spend for that? How do
63 you know that, you know, \$5,000 was the most that it
64 warranted?

65 *(2:30 p.m.)*

66 MR. REEVES: Intuitively, from my perspective, \$51,000
67 would be a fair investment. I would be prepared to spend
68 much more than that for the increased reliability of our
69 customers in that area. What the soft point is, I don't
70 know, but it would be more than \$51,000.

71 MR. KENNEDY: Okay. So that's the issue. The soft point
72 you don't know but intuitively, from your experience in the
73 field, you feel that \$51,000 is a reasonable sum of money to
74 spend on this particular item?

75 MR. REEVES: That's correct, yes.

76 MR. KENNEDY: Okay. Could we just go to **B-34**, Mr.
77 O'Rielly? Okay. Now this was the purchase and
78 installation of a digital fault recorder for Stoney Brook,
79 \$92,000, and the recorder would record ... it's a 32 channel
80 digital fault recorder. "The recorder would record voltages,
81 currents and other important data before, during and after
82 a fault. Information from this recorder would be used to
83 assist in the analysis of faults in and around the Stoney
84 Brook area and the analysis to be used to verify the correct
85 operation of protection and control relaying breakers and
86 other equipment and whether any additional follow-up
87 action is required." The customer impact is the same as the
88 previous one we just looked at and again there's no formal
89 cost benefit study done.

90 MR. REEVES: That's correct, yes.

91 MR. KENNEDY: Okay. And so just cutting to the chase,
92 since there was no formal cost benefit study conducted
93 and the customer impact is the same, so we're still doing
94 what the, dealing with the reliability issue, the fact that
95 you're willing to spend \$92,000 on this particular item is,
96 was again done from an intuitive process of what you think

1 it's worth in this particular instance rather than a detailed
2 analysis of a, from a cost benefit perspective?

3 MR. REEVES: In actual fact this is another tool, different
4 than the other one. The information from this one would
5 feed into remote, okay.

6 MR. KENNEDY: Absolutely.

7 MR. REEVES: And this one not only provides information
8 for the possible quicker location of permanent faults but
9 would also enable our engineers to do an analysis of the
10 way that our system operated under fault conditions, and
11 personally I would be more prepared to pay more for that
12 than I would for the remote ... for the remote access ...

13 MR. KENNEDY: Okay.

14 MR. REEVES: This is a very important tool.

15 MR. KENNEDY: Okay. So the gathering of the data is
16 more important than the process of retrieving the data.

17 MR. REEVES: First of all you have to gather the
18 information. The second thing that you would do is have
19 it remotely access ... the remote access enables us to be
20 able to respond quicker to outages and to be able to point
21 our people in the right direction, but unless you gather the
22 information, which is this one, then there's nothing to
23 remotely access.

24 MR. KENNEDY: Okay. **B-67**, "Replace tele protection,
25 Stoney Brook, Grand Falls, frequency converter." Now is
26 this related to the other two projects?

27 MR. REEVES: This was in the General Properties Section?

28 MR. KENNEDY: Yes.

29 MR. REEVES: Which is under "Tele Control."

30 MR. KENNEDY: Okay.

31 MR. REEVES: Okay.

32 MR. KENNEDY: So this isn't related to the other two
33 projects at all?

34 MR. REEVES: Tele protection, in my opinion, would not be
35 related to the other two, no.

36 MR. KENNEDY: It says, "Existing tele protection units
37 used for voice data and tele protection at the Stoney Brook
38 Terminal Station."

39 MR. REEVES: We may ... well, between the Stoney Brook
40 Terminal Station and the Grand Falls frequency converter,
41 so that's between two stations in Grand Falls. The ones
42 that we just previously looked at was Stoney Brook.

43 MR. KENNEDY: Well, it says, "Replacement of the existing
44 tele protection units used for voice data and tele protection
45 at the Stoney Brook Terminal Station and the Grand Falls
46 frequency converter at the Abitibi Mills in Grand Falls." So
47 I gather from that that it was a unit at the Stoney Brook
48 Terminal Station and it involved voice data ...

49 MR. REEVES: And another one at the Grand Falls
50 frequency converter, so ...

51 MR. KENNEDY: I'm sorry?

52 MR. REEVES: So again this is Mr. Budgell's.

53 MR. KENNEDY: Okay.

54 MR. REEVES: And I can only speculate that what this
55 means is there's one in Stoney Brook and one in the Grand
56 Falls frequency converter, which is not a long distance
57 apart but there's a line that goes from one to the other.

58 MR. KENNEDY: Okay.

59 MR. REEVES: And they actually ... we use this equipment
60 to, for voice, data from the frequency converter to Stoney
61 Brook, and also the tele protection from, to our frequency
62 converter to Stoney Brook.

63 MR. KENNEDY: Okay.

64 MR. REEVES: And in Stoney Brook there would be, that
65 piece of equipment would also talk to the equipment here
66 in St. John's.

67 MR. KENNEDY: Okay.

68 MR. REEVES: Now that's my understanding of it. Mr.
69 Budgell can ...

70 MR. KENNEDY: Okay. So the two units that we looked at
71 previously, they don't relate to this at all then.

72 MR. REEVES: This is a separate capital work order
73 altogether. This is a separate piece of equipment. The
74 information that we collect on the other ones may be used
75 to go over similar equipment like this but not this particular
76 one, I wouldn't venture to say.

77 MR. KENNEDY: Okay. And that was the question I had,
78 was you seem to be, you know, between the remote fault
79 (unintelligible) unit is \$51,000, a digital fault recorder,
80 \$91,000, and then a tele protection unit for Stoney Brook
81 and Grand Falls frequency converter, \$58,000, that that's,
82 you know, \$170,000, 210, sorry, that ... and some of which
83 is for Grand Falls presumably, but it's \$200,000 that you're
84 spending in the Stoney Brook Terminal relating to data
85 collection and data transmission, but there's been no cost
86 benefit analysis conducted and then there's two different
87 projects, one in General Properties and one in
88 Transmission, and I'm trying to reconcile all that. You can
89 see my difficulty.

90 MR. REEVES: This one here is replacement of existing
91 equipment that our energy control centre uses for

1 communicating from St. John's to our different terminal
2 (phonetic) stations. This happens to be one of those. It
3 also transfers data, which they also utilize in their, in the
4 operation of the system, and it also provides a very
5 important function of tele protection. This is protection on
6 our transmission equipment which is used to transfer
7 information from one end of the line to the other. If this
8 protection or this tele protection equipment is not there,
9 then the line would not be properly protected. The other
10 two projects are to deal with the other control devices that
11 are in the station, the breakers, our protection devices, our
12 over-protection relays, our over-voltage relays. It collects
13 data on that, on the one piece of equipment and then it's
14 stored and it's stored in such a fashion that we get some
15 history, so you see a normal system of events going along
16 with your voltages and your currents, and then you see a
17 fault and then you see so much information post-fault, so
18 that's the information that our engineers use.

19 MR. KENNEDY: And I understand, Mr. Reeves, and I'm
20 not trying to suggest that the rationale behind spending
21 the money from the perspective that it's going to increase
22 your reliability of the service. I think we established that
23 that was the purpose of the expenditure.

24 MR. REEVES: Uh hum.

25 MR. KENNEDY: There'd be ... I guess the point though is
26 that since there was no cost benefit analysis done in a
27 formal sense, how is it you know that this is warranted to
28 spend in this particular instance?

29 MR. REEVES: This one here is a straight replacement of
30 equipment that's there.

31 MR. KENNEDY: Right.

32 MR. REEVES: If you assume that it was required in the first
33 place, which I would assume, we need it to protect our
34 lines, it was justified when it was built, so it's just that
35 equipment now needs to be replaced, didn't require cost
36 benefit analysis. The other two, I think intuitively from
37 operating the system, you try to take advantage of the
38 tools that are available. If some of the tools that you want
39 to use were quite expensive, at some point in time I think
40 you might, you would probably do an evaluation to see if
41 it was warranted to make that investment to have those
42 tools on your system.

43 MR. KENNEDY: So why do you split then your projects
44 between ones that are above \$50,000 and ones that are
45 below \$50,000?

46 MR. REEVES: My understanding is that was a requirement
47 of the Board, that they wanted explanations on projects
48 that were above \$50,000.

49 MR. KENNEDY: And would that imply to you that projects

50 that are above \$50,000 are considered to be material
51 projects and therefore require a more formal analysis,
52 whether, before the Board approves them or disapproves
53 them?

54 MR. REEVES: They're more material than the ones that are
55 lesser value, yes.

56 MR. KENNEDY: There had to be some sort of cut-off and
57 the cut-off was \$50,000, okay.

58 MR. REEVES: For reporting, yes.

59 MR. KENNEDY: Okay. Could you just turn to **B-59**? Now
60 this is yours, this is rural systems.

61 MR. REEVES: This is mine, yes.

62 MR. KENNEDY: Okay. And it's \$172,000 to purchase
63 meters and equipment. "This project will provide for an
64 adequate inventory level of various types of meters,
65 instrument transformers, meter test switches and other
66 metering equipment. The customer impact is failure to have
67 adequate metering equipment available, could result in
68 customer hook-up delays. A formal cost benefit study was
69 not required." Do you have a formal policy on the level of
70 inventory that Hydro keeps in, for its meters and
71 instrumentation equipment such as what's being described
72 here as being purchased under this item?

73 MR. REEVES: We would keep a minimum supply on hand,
74 yes.

75 MR. KENNEDY: And do you do an analysis on an annual
76 basis of what that minimum supply should be?

77 MR. REEVES: I would suspect that the meter personnel
78 would look at the turn-over ratios. Some time ago, within
79 the last number of years, the way that the Measurements
80 Canada changed the regulations I would suspect enable us
81 to lower our inventory. At one point in time I think we had
82 to test all meters and now we do compliance sampling and
83 as a result of that I would speculate that our level of
84 inventory probably has gone down from what it used to be.
85 I would suspect they would probably look at that to see
86 what the usage is. There's a number of meters that are
87 coming up for renewal and whatnot.

88 MR. KENNEDY: Okay. When you say look at it, would it
89 again be more of a qualitative process, intuition or an
90 intuitive process based on their experience or would there
91 be a requirement, as far as you're aware, of them doing
92 some type of formal analysis of what type of inventory
93 levels would be the optimum ones to keep?

94 MR. REEVES: The person in charge of our metering
95 section, the supervisor, would make that decision in my
96 opinion based on his knowledge and understanding of the
97 system. There's no rigid process that he would have to go

1 through for that.
2 MR. KENNEDY: Okay. Just before turning to Harbour
3 Deep for a minute, there's a number of items in the budget
4 which show up under General Properties, I believe, and
5 they relate to the installation of communications equipment
6 in your network. Would that not be in your bailiwick?
7 MR. REEVES: That's correct. That would be Mr. Budgell
8 who would speak to those.
9 MR. KENNEDY: So the installation of this equipment, and
10 I'm speaking specifically about the VHF system and the
11 UHF system and the microwave system, they don't have
12 anything to do with maintaining the operation of the
13 transmission lines or the rural property?
14 MR. REEVES: I'm a user of the ... my staff is a user of the
15 VHF system, but I do not provide that service to Hydro. I
16 am a user. My staff uses the VHF systems to do its
17 maintenance.
18 MR. KENNEDY: But so who is driving the need for that
19 communications system inside of Hydro? Is it someone
20 other than Transmission and Rural Properties (*sic*)?
21 MR. REEVES: That's correct, yes.
22 MR. KENNEDY: Is there someone other than yourself that
23 uses this system?
24 MR. REEVES: There are other people that use the system.
25 There are, there ... Transmission and Distribution Group.
26 There's also the Generation Group that use it. The Tele
27 Control people also use it. That's actually the people that
28 are ... the IS and T, they also use it because they have to
29 maintain sites around the island.
30 MR. KENNEDY: And they're in General Properties.
31 MR. REEVES: And their capital projects is in capital, that's
32 correct, yes.
33 MR. KENNEDY: Okay. So it's used by all the divisions of
34 the Company?
35 MR. REEVES: The operating divisions of the Company and
36 there may be some administrative as well for just a couple
37 of vehicles around, delivery vehicles or something. That's
38 it.
39 MR. KENNEDY: So would you as head of TRO have
40 involvement in setting the parameters of this system or
41 systems?
42 MR. REEVES: We would indicate to the IS and T staff the
43 coverage areas that is required. If there are any trouble
44 coverage areas on summer transmission lines, we would
45 also advise them of that, but that would be basically our
46 responsibility to provide that information to them.

47 MR. KENNEDY: So do you send up, if you will, or
48 sideways or whatever way the hierarchy works from within
49 Hydro, information concerning cost elements involved in
50 your operating the system as is, in other words, the system
51 as it stood before a new one gets put in place, or is it just
52 again more of a qualitative, these are the coverage areas
53 that aren't being covered or we're having problems over
54 here?
55 MR. REEVES: In regard to coverage areas, we would just
56 indicate the areas that we would require coverage and of
57 course that would be known for quite a period of time
58 because it would be along our transmission routes and our
59 distribution systems, and unless we change that in one
60 fashion or another, then there would be no requirement for
61 change. As well, as I just indicated, if through the
62 maintaining of our lines that we know that there's a certain
63 area that is causing us a particular problem, in being able to
64 get back our staff, being able to get back to the energy
65 control centre during outages or switching or whatever, we
66 would advise them of that and then they would take that
67 into consideration. I would speculate that when they go to
68 replace a VHF system they would probably come to some
69 of my staff, because technology is always changing, to see
70 if there's other things that might be available and ask us on
71 that, but that's about what I would call the extent of it.
72 (2:45 p.m.)
73 MR. KENNEDY: So the feedback loop, if you will, between
74 the, what is it the, IT ...
75 MR. REEVES: IS and T.
76 MR. KENNEDY: IS and T Division and then the TRO
77 Division is done on a sort of a level below yourself and it
78 would be an informal one, would it?
79 MR. REEVES: Probably when they would be going for their
80 ... you say formal or informal?
81 MR. KENNEDY: Informal.
82 MR. REEVES: I would venture to say that most of the
83 coverage difficulties that we have would be conveyed to
84 them most like informal, and, you know, or in writing, but
85 the liaison would be initiated in the IS and T Department to
86 our section for the replacement of the systems.
87 MR. KENNEDY: So the actual final determination of what
88 new system to implement, that would reside with the IS and
89 T Department of the General Properties Division of Hydro.
90 MR. REEVES: That's where the overall decision would be
91 made, yes.
92 MR. KENNEDY: Okay. I'd like to talk to you for a minute
93 about the diesel generation in some of the rural areas of the
94 island and some of the aspects of your capital budget

1 dealing with that, and what I'd like to turn to is the **B-43**.
2 Now, to assist us with all of this, I've made copies of an
3 excerpt which I believe all counsel have now of a diesel
4 chart data of November 2000, and I believe the witness has
5 one. If he doesn't, I can certainly pass another one ...

6 MR. REEVES: If I could have one, please. I don't have one.

7 MR. KENNEDY: Okay. Here's four for the panel and one
8 for the witness. Now, we should label this, I guess. As
9 this was previously filed as part of Newfoundland and
10 Labrador Hydro's 2001 capital budget application, I guess
11 in the fall of 2000, with the consent of counsel I was going
12 to call it Consent Document No. 4.

13 **EXHIBIT CONSENT NO. 4 ENTERED**

14 So, Mr. Reeves, as I understand it, this document, this
15 **PUB-43.0**, 2001 NLH Capital, page two of five, was the
16 diesel chart data, it says, "As of November 2000." So this
17 is all of Hydro's diesel units for these particular areas as
18 they stood in November of 2000?

19 MR. REEVES: That looks to be correct, yes.

20 MR. KENNEDY: Okay. And this is clearly your, this is
21 your bailiwick.

22 MR. REEVES: Yes, it is, yes.

23 MR. KENNEDY: Okay. So in **B-43** it's indicated that you
24 were going to replace 136 kilowatt diesel unit number 278.

25 MR. REEVES: That's correct.

26 MR. KENNEDY: Okay.

27 MS. BUTLER, Q.C.: Mark, are you looking for the one with
28 the markings on it?

29 MR. KENNEDY: Yeah. Okay. So unit number 278, 136
30 kilowatts, bought in 1975, with, you project 93,000
31 operating hours by the end of 2002, is going to be replaced.
32 Now one of the questions I had there was according to
33 your diesel chart data, that same unit had 92,500 engine
34 hours as of the end of November 2000 and you're
35 projecting it'll have approximately 93,000 hours by the end
36 of 2002.

37 MR. REEVES: Yes.

38 MR. KENNEDY: So it only put on 500 or less hours in the
39 12, or 11 months since the filing of this diesel chart data?

40 MR. REEVES: And what we say here, we are approximating
41 9,300 hours by the end of 2002, and at the time it had 92,500
42 and this would have been filed, was it last year as well?

43 MR. KENNEDY: November of 2000.

44 MR. REEVES: Yes, yeah, that's correct.

45 MR. KENNEDY: So ...

46 MR. REEVES: So this unit here we saw it getting very little
47 use over this period of time.

48 MR. KENNEDY: So I guess then it never got any use, so
49 why would you replace it?

50 MR. REEVES: Well, the point about it is is that this unit is
51 not getting a great amount of use but it means that the
52 other two units are, and what we want to do is to have a
53 graduated replacement program of our units and keep the
54 units down to a normal, I guess, overhaul schedule, and
55 this one here, as you can see, got six overhauls on it. We
56 would like to be able to replace all of our units before we
57 get into the sixth overhaul, after the fifth overhaul, and this
58 was one of them.

59 MR. KENNEDY: Okay.

60 MR. REEVES: Because the way our planning criteria goes
61 for our diesel plant, is that we can stand the loss of our
62 largest unit and still provide the firm load, so by not using
63 this one very much in a year would mean that we would
64 have to operate the other ones almost continuously.

65 MR. KENNEDY: Now ... just a second now. Just gathering
66 my thoughts. Okay. Can we go to **B-44**? Okay. Now, on
67 the next item list it shows that, still with McCallum, unit
68 2027, is also to be replaced, and it was bought in 1989. It's
69 only got 10,000 operating hours on it, and then it says,
70 "The existing 250 kilowatt unit will replace an obsolete unit
71 in Harbour Deep coincident with the plant upgrade in
72 2002." So you're buying two new units for McCallum and
73 then one unit that you bought 12 years ago, you're moving
74 up into Harbour Deep.

75 MR. REEVES: That's correct, yes, because there's still
76 attributable life left in that machine.

77 MR. KENNEDY: Sure.

78 MR. REEVES: And this year we're upgrading the facilities
79 at McCallum and I think there was, my recollection is that
80 the load profile was looked at and the actual generation
81 was not well suited to the community and the unit that was
82 here, which was, I think, a little larger than it needed to be
83 but it would fit somewhere else, so that's what we did.

84 MR. KENNEDY: Okay.

85 MR. REEVES: Try and ...

86 MR. KENNEDY: And I follow your argument that in the
87 case of unit 2027 with 250 kilowatts, the 250 kilowatt unit,
88 you're suggesting that the load profile indicates that 170
89 kilowatt diesel generating unit is sufficient, and my
90 understanding, and you can correct me if I'm wrong, is that
91 you try to match your diesel unit to the load because it's
92 more efficient then. Is that correct?

93 MR. REEVES: That's one of the reasons, yes, yeah.

1 MR. KENNEDY: Okay. But in giving the reason for why
2 you were replacing unit 278, you said, well, it's because the
3 other units are being used so much. So if you're buying a
4 new unit to replace 2027, why would you also be replacing
5 278?

6 MR. REEVES: I missed your point there, use too much ...

7 MR. KENNEDY: Okay. In the case of unit 278, we saw that
8 as of the end of November 2000 it had 92,500 hours.

9 MR. REEVES: Yes.

10 MR. KENNEDY: According to your **B-43** sheet it was
11 projected to only have 93,000 hours.

12 MR. REEVES: Yes.

13 MR. KENNEDY: So, and I asked you, well, if it's only being
14 used hardly at all, why replace it, and you said, well, it's
15 because the other units are being used so much.

16 MR. REEVES: Well it's not ...

17 MR. KENNEDY: But if one of the units that's being used
18 a lot is now going to be switched out, doesn't that take
19 away the reason for why you would need to replace this
20 unit that's not hardly being used at all?

21 MR. REEVES: But the one that will go in will be used just
22 as much and, as I also indicated, that this unit has six
23 overhauls on it and the criteria that we consider is the
24 number of overhauls and, as I also indicated, that we try to
25 keep to five. We also use other things like number of
26 hours, the age of it, the availability of parts, etc. So by
27 moving one unit from McCallum to Harbour Deep still
28 means that the new unit going into McCallum will have to
29 be used just as much as the old one. What we try to do ...
30 and you have to have units available in the eventuality of
31 a failure.

32 MR. KENNEDY: Okay. Let's just talk about that for just a
33 minute before we break. You just indicated that you try to
34 keep it to five major overhauls.

35 MR. REEVES: That's what we try to do right now, yes.

36 MR. KENNEDY: Okay. And you said you look at the
37 number of hours?

38 MR. REEVES: That's another thing that we consider, yes.

39 MR. KENNEDY: And you look at the date of its, the
40 service date?

41 MR. REEVES: That's correct, of how old it is because the
42 age of it would determine the availability of parts.

43 MR. KENNEDY: And what other criteria do you look at?

44 MR. REEVES: Probably if, well it is filed in **NP-184**, in the
45 document. I can read off that. It's on Table 4-6 (phonetic)

46 and this is our criteria where we went out for a survey of
47 the other utilities, and (inaudible) for Hydro says, "Based
48 on the combination of age, running hours and major
49 overhauls." That's how we replace our units, and what I've
50 outlined to you are the three conditions.

51 MR. KENNEDY: Okay. Could we go back, Mr. O'Rielly, to
52 **B-44**?

53 MR. REEVES: This one is ...

54 MR. KENNEDY: Yeah, I understand. We'll keep excerpts
55 up, Mr. O'Rielly, unless I ask you to move them. So in the
56 case of these units that you replaced, was there a cost
57 benefit analysis completed then, because it's indicated that
58 there wasn't one done in any of these filings regarding the
59 replacing of a diesel engine, a diesel unit for any of these
60 locations, McCallum, Grey River, Harbour Deep, Petit,
61 Williams Harbour, Black Tickle, Rigolet? I counted up ...
62 you may know better than I did but I counted up seven
63 diesel units that are scheduled to be replaced.

64 MR. REEVES: They were listed in one of the RFIs. I think
65 you're approximately right.

66 MR. KENNEDY: Okay.

67 MR. REEVES: I won't ...

68 MR. KENNEDY: And they have hours on them from
69 anywhere from 86,500 to 108,000. Their in service dates are
70 anywhere from 1974 to 1978, and the overhauls are
71 anywhere from five to eight.

72 MR. REEVES: That's correct.

73 MR. KENNEDY: So it leaves me with the impression that
74 there's again a fair amount of latitude that Hydro uses in
75 determining when it's going to revolve out a diesel unit.

76 MR. REEVES: Well I guess it's probably fair to say that
77 over the last couple of years we have been concerned with
78 the number of failures that we've been getting in service of
79 some of our older diesels and when that happens in the
80 middle of a winter in a community that's on the isolated,
81 you know, coast of Labrador, where we have to fly in parts,
82 if we are able to do that, to fix it, if we're unable to do that
83 we'll have to look at other ways to get generation in there.
84 We adjusted our criteria for replacements and went with
85 what I just mentioned to you a minute ago, and from a
86 survey that was done, I think we're fairly in line with what
87 other utilities are doing.

88 MR. KENNEDY: Okay, but what I'm asking you, Mr.
89 Reeves, is, was there a cost benefit analysis done in
90 determining whether a particular diesel unit should have
91 been or should be revolved out so that it should be
92 included in the capital budget or is this again a sort of a
93 qualitative intuitive measurement being conducted by you

1 or someone else within the Hydro organization making that
2 call?

3 MR. REEVES: There wasn't a cost benefit analysis done on
4 each unit. It was done using information, history that
5 we've had on failure rates. It was done based on survey
6 information that we would have received from other
7 utilities, and now that we've got a criteria set, then we
8 wouldn't see doing a cost benefit analysis on each unit as
9 it came up for replacement.

10 MR. KENNEDY: But if your criteria is you don't like to see
11 them go above five overhauls, then you're not following
12 that because some of them are up to seven or eight
13 overhauls.

14 MR. REEVES: But that would have happened before we
15 changed the criteria to five and now what we're trying to do
16 is to get caught up, as I can say, and to replace a number of
17 units each year to do that.

18 MR. KENNEDY: Okay. So, and so what was ... was there
19 a cost benefit analysis conducted to determine whether
20 you should be switching them out now at five instead of
21 waiting till they're seven or eight?

22 MR. REEVES: No, there wasn't, and as I indicated a second
23 ago, again it would be a bit difficult. Some of the factors
24 would be easily, easy to determine. It's like your person
25 with the older vehicle. If you're driving around town, if
26 your car fails on the street in St. John's, while it's going to
27 be a real inconvenience, at least you're going to get home
28 that night, but if that konks out halfway between here and
29 Grand Falls in the middle of the winter in a snow storm, it's
30 a little different, and I don't think you or me would want to
31 be driving an old clunker across country in comparison to
32 here in St. John's. What we have to deal with is that we
33 have customers in our isolated communities who rely on us
34 for electricity and what we were finding is that our units
35 were causing us problems at peak times and therefore it
36 would be more costly to fix.

37 MR. KENNEDY: I'm not disagreeing with you there, Mr.
38 Reeves. I suppose just to add one more point though
39 before we break, the person with the clunker car, they
40 wouldn't be probably as inconvenienced though if they
41 were towing around a second car right behind them that
42 they could jump into in the event that their first car broke
43 down, correct?

44 MR. REEVES: You're right, but ...

45 MR. KENNEDY: And isn't it true that in the case of each of
46 these diesel plants that there's built in redundancy in each
47 of these so that if one of the diesel units does drop out,
48 that you have the capacity to be able to carry the load for
49 that community immediately?

50 MR. REEVES: We have the capacity and that's so that our
51 customers won't be with an outage, but if this happens in
52 November, our unit fails, are we going to wait till next
53 spring till we can ship another one in? I don't think so.
54 That's not, in my opinion, good customer service.

55 MR. KENNEDY: This is a good time to break, Chair. Thank
56 you.

57 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.
58 Kennedy. Thank you, Mr. Reeves. We'll reconvene at
59 3:15.

60 *(break)*

61 *(3:20 p.m.)*

62 MR. NOSEWORTHY, CHAIRMAN: Thank you. When
63 you're ready, Mr. Kennedy, please? Mr. Reeves.

64 MR. KENNEDY: Mr. Reeves, I wonder if we can just deal
65 with the Harbour Deep issue again for a minute. I know
66 that's been, I wouldn't suggested flogged to death or I
67 wouldn't be asking the question, but I know it's been raised
68 a number of times. And I guess the best place to start with
69 is maybe **B-44**. No, let's start with **B-57**, sorry. And we've
70 seen this already so we won't go through it line-by-line. It
71 involves the, if I'm understanding correctly, the upgrade of
72 the diesel plant, meaning the building or the facility that
73 houses the units themselves, correct?

74 MR. REEVES: That's correct.

75 MR. KENNEDY: Okay. And the cost of doing this is
76 \$515,000?

77 MR. REEVES: That's correct. Well, \$35,000 and \$515,000.

78 MR. KENNEDY: Right, sorry. And the \$35,000 was, I'm
79 presuming, approved as part of the 2001 capital budget?

80 MR. REEVES: Which would cover our engineering costs,
81 that's correct.

82 MR. KENNEDY: Right. And so what's being sought here
83 is for approval to spend a further \$515,000 to actually
84 complete the upgrade itself?

85 MR. REEVES: That's correct.

86 MR. KENNEDY: Okay. Now, in the cost benefit study
87 section it says, "An evaluation was completed to compare
88 the proposed project with an interconnection of Harbour
89 Deep to the island grid. And the proposed project is
90 significantly more cost effective than the interconnection
91 option which had an estimated capital cost of
92 approximately \$4 million." So I'm just going to ask you a
93 series of really stupid questions now about the process
94 that Hydro would have gone through in determining
95 whether to connect Harbour Deep to the island grid so that
96 it became part of the interconnected island electrical

1 system. And just leaving aside, for a moment, the number
2 of people living in Harbour Deep and whether there will or
3 will not be a community of Harbour Deep in the future.
4 And I suspect someone from Harbour Deep may read the
5 transcript eventually, so you don't want ... the rumours of
6 their demise may be greatly exaggerated. But, from a
7 layman's perspective, layperson's perspective, you know,
8 when you look at the map of Newfoundland and you look
9 at Harbour Deep you see that it seems to be somewhat
10 equidistant between Cat Arm and Roddickton. And I
11 guess, again from a layperson's perspective you'd ask
12 yourself, well, why don't you just string a line from Cat Arm
13 up to Harbour Deep or from Roddickton down to Harbour
14 Deep and do that instead of building this new plant and
15 more diesel units because, of course, they're always subject
16 to the vagaries of interruption and it's just not as good as
17 being connected to the island system for cost reasons. So
18 could you just explain to us, first, what options Hydro
19 looked at, and the process that would be entailed within
20 Hydro in making that determination?

21 MR. REEVES: Yes. For any major upgrades that we would
22 do in any of our isolated diesel plants, and we'll use
23 Harbour Deep as an example, we determined that there's a
24 requirement from an operational perspective and safety
25 perspective that the upgrades were required. We had spent
26 "X" number of dollars to correct those, as we see in this
27 capital budget. What we would do then is that we would
28 communicate to our planning section, Mr. Budgell's
29 section, and say this is what we require. The plant is in
30 requirement for an upgrade. Are there other options that
31 are available to us in place of doing this upgrade? So what
32 Mr. Budgell and his group would do, they would look at
33 opportunities for interconnecting to the least cost option,
34 may not be the shortest cost. This coast up on the Great
35 Northern Peninsula on the east side is a very rugged
36 coastline, not an easy area to build transmission lines or
37 distribution lines, so what they would look at, along with
38 my engineering staff, is the actual least cost option for
39 interconnection to the interconnected grid. Then that
40 would be compared to the cost of doing the upgrade, and
41 this is in simple terms, and then do that over a length of
42 time for sort of the life of the project, and do an evaluation
43 and then come up with the money which is least cost to the
44 customer.

45 MR. KENNEDY: Okay. So in this case the one that's
46 referenced there, which had an estimated capital cost of
47 approximately \$4 million, do you know what that involved,
48 was that a line going from Cat Arm up to Harbour Deep or
49 from Roddickton down to Harbour Deep or across the
50 peninsula or do you know offhand?

51 MR. REEVES: That is filed, and I'd have to look in the
52 drawing to find out for sure. I don't know ... my recollection

53 is that it goes across the coast, but I'm not sure. But it
54 would be one of three directions. I'd have to look at the
55 documentation. If you'd like me to do that I would do that.

56 MR. KENNEDY: No, that's fine. I guess ... we'll let's just
57 leave that aside for just a moment and just look at the
58 overall cost of the projects that you have involved in
59 Harbour Deep itself. You've got the plant for \$515,000, plus
60 the 35 that you've already got sunk, I guess, if you've got
61 it spent to date. So, \$540,000?

62 MR. REEVES: 550.

63 MR. KENNEDY: 550, sorry. And we looked at, just a
64 moment ago, the fact that you're replacing unit 2027 in
65 MacCallum, the 250 kilowatt unit with 170 kilowatt unit and
66 you're moving that one up to Harbour Deep?

67 MR. REEVES: That's correct.

68 MR. KENNEDY: So, if we could just go back to, I think it's
69 **B-44**. Yeah, this is the replacement of that unit in
70 MacCallum. And it says "Previously 209 and now 55." So,
71 this unit, that sort of seemed the opposite to me of what we
72 usually see. We usually see the small amount of money
73 upfront and the larger amount of money on the subsequent
74 year. So, could you just explain to me why this is reverse?

75 MR. REEVES: It's basically a timing thing. What we're
76 trying to do is have the unit available to install in Harbour
77 Deep next year when we do the upgrade, and that unit was
78 taken out of service. But, actually, it's probably a
79 commitment for purchasing ... just a second now. So on
80 page **B-43** we're saying that it's the purchase ...

81 MR. KENNEDY: If you could go to 43, Mr. O'Rielly.

82 MR. REEVES: No, that's not the one, I'm sorry. I'm on the
83 wrong page there. We're talking about Harbour Deep now.

84 MR. KENNEDY: Um hum.

85 MR. REEVES: Which is **B-55** ... **B-57**, sorry. I'm looking
86 for the unit associated with Harbour Deep, which is **B-46**.

87 MR. KENNEDY: **B-46**?

88 MR. REEVES: Yeah.

89 MR. KENNEDY: Okay. **B-46**, please.

90 MR. REEVES: And what we're showing in **B-46** is \$11,000
91 to be expensed in 2001, and \$282,000 to be expensed in
92 2002.

93 MR. KENNEDY: Right. And that's to replace unit 284?

94 MR. REEVES: That's correct, yes.

95 MR. KENNEDY: Okay.

96 MR. REEVES: And **B-57** is to spend \$35,000 in 2001 and
97 515 in 2002, so that's we plan to install the unit and do the

- 1 major repairs at the same time. So we're spending money
2 on both projects this year to have them available next year.
- 3 MR. KENNEDY: Okay. Just let me follow you. The unit in
4 Harbour Deep No. 284, which we have up there now, **B-46**,
5 is \$282,000 for this year?
- 6 MR. REEVES: If you got to **A-6**, page **A-6**.
- 7 MR. KENNEDY: 86?
- 8 MR. REEVES: **A-6**.
- 9 MR. KENNEDY: Okay. If we go to **A-6**, please, Mr.
10 O'Rielly?
- 11 MR. REEVES: You see there's \$11,000. You want to point
12 to Harbour Deep there, please? The second-last one in that
13 group that you're at right now, just come over and see the
14 \$11,000. So it's \$11,000 this year to do the engineering
15 work.
- 16 MR. KENNEDY: Um hum.
- 17 MR. REEVES: For the relocation. And \$282,000 in 2002.
- 18 MR. KENNEDY: Right.
- 19 MR. REEVES: And then if we go to **A-7**.
- 20 MR. KENNEDY: **A-7**?
- 21 MR. REEVES: **A-7**.
- 22 MR. KENNEDY: Yeah.
- 23 MR. REEVES: Power plant. Keep going down, Terry,
24 please? You see that the Harbour Deep got \$35,000 in 2001
25 and 515 in 2002.
- 26 MR. KENNEDY: Right.
- 27 MR. REEVES: So what we plan to do is to do the
28 engineering on both projects this year and do the
29 installation next year.
- 30 MR. KENNEDY: Sure, okay. Let's just go back to the
31 MacCallum one, if we could, which I think was **B-43**? So,
32 just so I ... first of all, just so I understand this one, this was
33 the reverse. So was it a case of you were looking for ... the
34 previous says 220 so previous meaning 2001. So, approval
35 was sought and obtained to replace unit 278 for 2001?
- 36 MR. REEVES: That's correct. And the majority of the
37 dollars are in 2001.
- 38 MR. KENNEDY: Okay. The 56,000, which is part of your
39 2002 capital budget?
- 40 MR. REEVES: That's correct.
- 41 MR. KENNEDY: Is that for moving this ... is that related
42 just to this unit 278?
- 43 MR. REEVES: That's correct, yes.
- 44 MR. KENNEDY: Okay.
- 45 MR. REEVES: And this year in MacCallum we're doing a
46 plant upgrade, as well.
- 47 MR. KENNEDY: Okay. Well, just bear with me because I'm
48 trying to speak to Harbour Deep.
- 49 MR. REEVES: Okay.
- 50 MR. KENNEDY: I'm not so much interested in MacCallum.
- 51 MR. REEVES: No, but I just explained it to MacCallum. So
52 what happened is that we bought the units and had them
53 available for the fall of the year. And we anticipate that
54 we'll be doing a change out during the wintertime, so there
55 would be some cash flow into next year.
- 56 *(3:30 p.m.)*
- 57 MR. KENNEDY: Okay. **B-44**, I think that's what we're
58 looking for. Yeah, so again, the same thing, you said you
59 bought a unit in anticipation of moving it in in the winter
60 months, okay. And that's why you've got the money for
61 2001 to actually buy the unit and then ...
- 62 MR. REEVES: Do it in.
- 63 MR. KENNEDY: ... do the work to actually move it in?
- 64 MR. REEVES: Yes. And that way, when we move one of
65 the units into MacCallum it frees up the one that goes to
66 Harbour Deep for next year.
- 67 MR. KENNEDY: Okay. So where's the money for moving
68 it from MacCallum to Harbour Deep?
- 69 MR. REEVES: That would be possibly ... well, if you
70 replace one of the units in MacCallum in 2001 and finish
71 that job in 2002, my understanding is that the relocation of
72 the diesel would be next year. So the money for relocation
73 would be in 2002.
- 74 MR. KENNEDY: So that would be part of your budget
75 application now?
- 76 MR. REEVES: That's correct, yes.
- 77 MR. KENNEDY: So what I'm asking you is where in those
78 pages is it identified for the money that it's going to cost to
79 move the unit that you're replacing in MacCallum that
80 you're then going to move up into Harbour Deep?
- 81 MR. REEVES: That's an operating expense, as I understand
82 it, moving one diesel unit from one location to another.
- 83 MR. KENNEDY: So it wouldn't be in your capital budget?
- 84 MR. REEVES: Wouldn't be in the capital budget, that's my
85 understanding.
- 86 MR. KENNEDY: Okay. Well ...
- 87 MR. REEVES: That's my recollection.

1 MR. KENNEDY: Okay.

2 MR. REEVES: It would either ... if it's a capitalized expense
3 it would be in one of these budgets that I just highlighted.
4 It may be involved in actually the plant upgrade, if it's a
5 capitalized expense and ...

6 MR. KENNEDY: So it may be buried in the 550?

7 MR. REEVES: It may be included in the 550, yes.

8 MR. KENNEDY: Okay. You say "tomato." Okay.

9 MR. REEVES: But I'd have to go through the detail on that
10 particular one.

11 MR. KENNEDY: Sure.

12 MR. REEVES: It's been some time since I reviewed it,
13 actually.

14 MR. KENNEDY: Now, just looking at the Harbour Deep,
15 the diesel chart again. Now, as I understand it, the unit
16 mark No. 248, the 250 kilowatt unit that was, I guess,
17 installed or has a manufacturing date of 1974, which is
18 indicating on this Consent No. 4, with 104,000 hours was
19 replaced in 2000? Is that your understanding, as well?

20 MR. REEVES: I'd have to check right now. Where can I
21 check that to? Keeping track of the diesel units is a ...

22 MR. KENNEDY: No, I imagine it's ...

23 MR. REEVES: ... task in itself. We have 23 plants, three
24 units, 75 units, in excess of that.

25 MR. KENNEDY: Okay.

26 MR. REEVES: So keeping track of the units is ...

27 MR. KENNEDY: I'm told, and I'll ask you to accept, that
28 Hydro applied for, was granted and subsequently
29 implemented a capital project which involved the
30 replacement of that unit in Harbour Deep with a new 250
31 kilowatt unit.

32 MR. REEVES: In the 2001 budget, right?

33 MR. KENNEDY: In the 2000.

34 MR. REEVES: 2000 budget?

35 MR. KENNEDY: Yeah. So it wouldn't appear in any of the
36 documents, as far as I'm aware.

37 MR. REEVES: No, none of the documentation here, okay.

38 MR. KENNEDY: Okay. And judging by the prices that I'm
39 seeing for 250 kilowatt units, that would have entailed
40 something in the order of \$200,000? Does that sound about
41 right for a ...

42 MR. REEVES: I'd have to ... we brought in quite a number
43 of different size units and I'd have to refer to some of the
44 estimates here, if you'd like me to do that.

45 MR. KENNEDY: Well, I'm looking at the 170 kilowatt units
46 costing \$209,000 plus \$55,000.

47 MR. REEVES: Yes.

48 MR. KENNEDY: So, I'm just trying to take a safe number
49 and say \$200,000.

50 MR. REEVES: I could accept that.

51 MR. KENNEDY: So in the year 2000 there was a further, at
52 least, \$200,000 expended at Harbour Deep to replace the 250
53 kilowatt unit. So adding that up, it comes to just about \$1
54 million? \$550,000 for the upgrades to the plant ...

55 MR. REEVES: That's a good approximation, that's correct.

56 MR. KENNEDY: Okay. \$1 million. Now, is it Hydro's
57 intention to maintain four units in Harbour Deep?

58 MR. REEVES: Some of these locations we have ... now, my
59 recollection on Harbour Deep, and I don't know the details
60 that's here available that I can look at to see if we're going
61 with three units or four units. My memory serves me right,
62 we're going with three units instead of four.

63 MR. KENNEDY: So one of these ...

64 MR. REEVES: So what we would have looked at is the
65 actual consolidation of the units in regard to load patterns
66 that would be there.

67 MR. KENNEDY: So we know that unit 284 at Harbour Deep
68 is being swapped out with unit 2027 from MacCallum, so
69 that's 250 kilowatts?

70 MR. REEVES: That's right, yes.

71 MR. KENNEDY: We know that unit 248, or at least I'm
72 asking you to take us back that unit 248 was ...

73 MR. REEVES: It was replaced, yes.

74 MR. KENNEDY: ... swapped out with the 250 kilowatt unit?

75 MR. REEVES: Yes.

76 MR. KENNEDY: And so I guess the issue is are units 280
77 and 225 staying in Harbour Deep?

78 MR. REEVES: Well, my recollection is that one of them is
79 coming out, and right at this point-in-time I can't tell you
80 which one. And that would be done at the time of the
81 overhaul. I'd have to check on the records for that.

82 MR. KENNEDY: Okay. So ...

83 MR. REEVES: It would most likely be ... probably be the
84 one with the six overhauls, but ...

85 MR. KENNEDY: Okay. And would that be an additional
86 cost, as well, would that be an additional cost to remove

1 one of those units if, in fact, it was going to be removed?

2 MR. REEVES: Well, that particular one there would be a
3 cost of disposal, primarily, that's it.

4 MR. KENNEDY: Okay. Would you be able to, for
5 tomorrow, confirm what Hydro's plans are at Harbour Deep
6 regarding the number of units that you intend to keep
7 there?

8 MR. REEVES: Yes, I will.

9 MR. KENNEDY: Okay. I won't take that as an undertaking,
10 I'll just ask the witness tomorrow. So, let's just say we have
11 \$1 million that is going to be spent on Harbour Deep. Let's
12 go back to the number of people that are there first. There's
13 50 odd, as I understand, 50 odd people living in the
14 community. Would it ... and again, I'm just sort of trying to
15 ask and get to Hydro's considerations in making
16 determinations of whether it includes something in the
17 capital budget. There's 50 people there and Hydro intends
18 to spend \$1 million. That's \$20,000 per person in the
19 community, so would that enter into the issue about
20 whether this amount of money is warranted to be spent by
21 Hydro?

22 MR. REEVES: Where it would come in our conversation is
23 if we knew that there was a possibility of the Harbour Deep
24 community being discontinued, then we would try to avoid
25 capital expenditures as much as we can.

26 MR. KENNEDY: Let's just say that they were ... that there's
27 every indication that they intend to stay there as 53
28 people?

29 MR. REEVES: Then we would look at installing capital
30 expenditures in that community to maintain the service for
31 the residents of that community. Yes, we would do that at
32 the least cost and as reliable as we could do that, and what
33 we found to date is that the diesel option is the preferred
34 option.

35 MR. KENNEDY: No, I understand that. I guess the
36 question was, it's \$1 million for 53 people. So is it at any
37 cost that you provide the power to a community like
38 Harbour Deep? If there's still going to be only 53 people
39 there, from every indication, forever and a day, what if it
40 would have cost \$5 million to build a plant in Harbour
41 Deep, would Hydro still do that?

42 MR. REEVES: It's not at any cost, but there is a cost
43 associated with providing the service in all of our isolated
44 communities. It is a subsidized system, as we all know,
45 unfortunately. But we have to provide a service that is
46 reliable to our customers, and that's not an option that we
47 have. We do that in the least cost method that we can find,
48 and when we do these projects we do it in such a manner
49 that we do it least cost. We've got a lot of experience in

50 this, we've been at it for quite a number of years. And
51 through the experience that we've gathered, we have
52 selected the options which we feel best to serve the people
53 in that community. Unfortunately, it does cost big dollars.

54 MR. KENNEDY: Okay. I just ask the question again,
55 though, and just so I can understand. And if it's an unfair
56 question let me know, but what I'm asking is, is that at any
57 cost? In other words, is there a number where it becomes
58 unacceptable or is it just a case of you just try to find the
59 lowest possible cost and then whatever that is, well, that's
60 what you have to spend?

61 MR. REEVES: It's not at any cost because, well, this one
62 right here, I don't know what you would call at no cost,
63 because this is \$1 million, it's a significant investment for
64 Hydro, but it's a cost that has to be incurred if we are going
65 to provide service in that community, and we don't dictate
66 whether we provide service to those people in that
67 community. That's not our determination to make. And
68 once the community is there we have to continue to service
69 it, and we have to continue to service it in such a manner
70 that we feel will be the least cost at reasonable reliability.

71 MR. KENNEDY: So, there's the issue again though, isn't
72 it, about reasonable reliability. And so, what I'm going to
73 ask you is in the determination of whether to ... you know,
74 how much money to spend in Harbour Deep, irrespective,
75 again, of whether the community is going to be there or not
76 in the long-term, in determination of how much money to
77 spend in Harbour Deep, where is the threshold for how
78 much money to spend in Harbour Deep in trying to provide
79 a reliable service?

80 MR. REEVES: But, the option to not maintain our
81 equipment in there in good reliable condition is, in our
82 opinion, a more costly option. These communities are not
83 easily accessible. If we have outages in the middle of the
84 winter, as I explained earlier on ...

85 MR. KENNEDY: I understand that, but there ...

86 MR. REEVES: But that is a cost, as well.

87 MR. KENNEDY: I understand that, Mr. Reeves, but they're
88 hypotheticals that you're giving me that if there was an
89 outage, and I guess what I'm asking you is, in the case of
90 Harbour Deep, was there an analysis done using the
91 (inaudible) statistics to determine whether the number of
92 outages in Harbour Deep were at an unacceptable level and
93 therefore warranted the improvements in the building? For
94 instance, the transfer of the 250 kilowatt unit from
95 MacCallum to Harbour Deep, the replacement of a 250
96 kilowatt unit in the year 2000, was there an analysis
97 completed to determine whether these expenditures were
98 warranted in relation to the (inaudible) statistics?

99 (3:45 p.m.)

1 MR. REEVES: On this particular plant, no. For this
2 particular upgrade there was more things to consider than
3 that. There was the safety issues in the plant for the
4 maintenance of our workers, there was the ...

5 MR. KENNEDY: I'll just interrupt you. Instead of saying
6 more, there were other things to consider?

7 MR. REEVES: Yes, that's correct.

8 MR. KENNEDY: Okay.

9 MR. REEVES: Which is the safety issues for our
10 employees. There's the effect of being able to maintain the
11 units. There's also the potential of if the units are not
12 maintained then it would be more costly to maintain them.
13 We will have, as we used the example before, we will have
14 old clunkers in there, equivalent to your car that you ... the
15 example that you used. If you have ... you can manage to
16 have a little older unit in there, provided the other two ones
17 are in good shape, but you can't go on very long like that
18 because what will happen is that one of the main ones will
19 fail and then you'll rely on this older unit and that hasn't
20 got a lot of life left in it, and that may fail. So once you get
21 into the second outage then you're not able to provide
22 service to your customers. You have to curtail your service
23 to your customers, and if this happens in the middle of the
24 winter, which it most often does happen, then you're into
25 a real serious situation in these communities, which we
26 can't tolerate, as a service provider.

27 MR. KENNEDY: Okay. But in the case of Harbour Deep,
28 you've got two new 250 kilowatt units there, and the peak
29 demand for 2002 is projected to be 274 kilowatts, and that
30 would be a winter peak. So even in the winter if you have
31 even one of your 250s and one of your 136 units running
32 you're going to be more than able to fully satisfy the load
33 in Harbour Deep?

34 MR. REEVES: But we take two units, but if you lose one
35 you'll need the other one to service it.

36 MR. KENNEDY: Sure.

37 MR. REEVES: And that's where it comes in. No matter if it's
38 only for five kilowatts you still need that second unit.

39 MR. KENNEDY: Okay. So am I gathering correctly, then,
40 again, that in the case of Harbour Deep, in the judgment ...
41 in the decision, sorry, of how much money to spend in
42 Harbour Deep and what to put into Harbour Deep by way
43 of improvement and new units or refurbished units or what
44 have you, that it was again, a more of a qualitative
45 assessment of the decision of the factors and that you use
46 some intuition and experience from the field in determining
47 what was an appropriate thing to do, having regard to all
48 the factors that you just listed, the safety factor and the
49 maintenance factor and so on?

50 MR. REEVES: I don't think it was all quantitative. We
51 know that if we don't maintain our units we are going to
52 have problems, we are going to have outages. We have
53 experienced it in the past. We now realize that we had to
54 change our criteria to overcome these major failures in the
55 middle of the winter. Before we actually changed our
56 criteria we went out and surveyed the other utilities and in
57 actual fact we are still higher than some utilities in the
58 replacement criteria compared to what they do. We know
59 it's an expensive, it is a very expensive business that we're
60 into in the (inaudible) communities, but we are on the upper
61 level of replacement, so we're not at the lower level of
62 replacement. So we are balancing off our good judgment,
63 our past experience and with consideration to the reliability
64 of the customers that we serve to make these decisions.

65 MR. KENNEDY: Okay. So, Mr. Reeves, when I went
66 through all of these pages in this Schedule B, I counted up
67 a total of 68 projects that's listed that were above \$50,000,
68 and as I think we stated at the beginning, that totals for the
69 year 2002, just disregarding the future expenditures that are
70 going to be required that arise from this of \$33,297,000 and
71 a total budget, as we know, of \$48 million. Now, I'm
72 presuming that in the case of the projects under \$50,000
73 there wouldn't have been a cost benefit analysis
74 completed?

75 MR. REEVES: In most cases that's not ... that's true.

76 MR. KENNEDY: Now, of all the ones in this Schedule B, I
77 only found two which said that there was a cost benefit
78 analysis actually completed. There was **B-10** and there
79 was **B-57**. **B-57** we just looked at, that's the plant and the
80 process of moving a line up to or down from wherever to
81 feed Harbour Deep?

82 MR. REEVES: And **B-10** is (inaudible).

83 MR. KENNEDY: There we go. I don't think I'm going to try
84 to say that.

85 MR. REEVES: And there it's spelled correctly, (inaudible)

86 MR. KENNEDY: (inaudible). So, of the 68 projects above
87 \$50,000 totalling \$33 million two have a cost benefit
88 analysis completed and those two projects total just over
89 \$2 million. So ...

90 MR. REEVES: Can I take us to some of my projects, then,
91 to explain why that is the case?

92 MR. KENNEDY: Well, okay. Let me just conclude by
93 saying that from a layperson's perspective you can
94 appreciate that that would seem to be an awful lot of money
95 that Hydro is going to spend without having conducted a
96 cost benefit analysis for the vast majority of it, like 95
97 percent of your capital budget is being proceeded with
98 without a formal cost benefit analysis being completed?

1 MR. REEVES: Well, I don't necessarily agree with that. If
2 you go to page A-5.

3 MR. KENNEDY: Go to A-5, Mr. O'Rielly.

4 MR. REEVES: The middle of the page, "System Security".
5 Keep going up. There you go. In those the first two items
6 under "System Security" which is the upgrade of TL 242,
7 230 kV Holyrood to Hardwoods, and the second one TL-
8 436, which is 230 kV from Hardwoods to Oxen Pond. I think
9 the first time that we brought these Avalon upgrades to
10 this Board, I think it was 1997 which was the first time, we
11 had a very extensive report. You may or may not have seen
12 it, but that took up most of the hearing at that particular
13 time. And in that there was a feasibility study done, as well
14 as all kinds of other options that were in there in there, so
15 that expenditure of \$13.6 million, in my opinion, is covered
16 by a feasibility study. We didn't include it in this capital
17 budget because the Board had already approved the
18 concept before, so that's one I would like to point out.

19 MR. KENNEDY: Um hum.

20 MR. REEVES: If you go to the next number of items,
21 "Replacement of Insulators," same page. Replacement of
22 insulators on TL 226 for a half million dollars, 229 for a
23 quarter of a million dollars, 211 for 145, 228 for 570, this is
24 straight replacements. You need insulators on the line.
25 There's no need to do a cost benefit analysis. With the
26 analysis that we do is an engineering evaluation to ensure
27 the product that we buy to replace what's there is the right
28 one to go there.

29 MR. KENNEDY: These are the insulators that proved to be
30 defective, I think ...

31 MR. REEVES: Exactly right.

32 MR. KENNEDY: ... and all the utilities got caught on this
33 one?

34 MR. REEVES: Exactly. So we didn't see the need of doing
35 a cost benefit analysis. It's required to be done, but it's
36 substantial dollars. I would say all of the items in this \$15
37 million, even on TL-203, there was a study done on that
38 which was presented to this Board before, so the \$15.6
39 million have been covered by studies before.

40 MR. KENNEDY: Okay.

41 MR. REEVES: Or the need is not there.

42 MR. KENNEDY: Okay.

43 MR. REEVES: And if you go to the rest of our budget a lot
44 of our budget is replacement of what's there. You don't
45 need a feasibility study to determine if you need to replace
46 it, that's what we say. What we do is in the replacement of
47 that we've determined that it's already required. It's there,
48 operating. What we do, as part of our evaluation, when we

49 go through the engineering process in doing the capital job
50 cost we look at the best option to put there, the most
51 economic option to put there to achieve the best results.
52 Again, it's not the type of study that's referenced in these.

53 MR. KENNEDY: Okay. Let's just, if we could, go back to
54 the gas turbine document, then, if we may, Consent No. 3?
55 And as we indicated, I think, before lunch, this was a
56 document that Newfoundland Power filed and then the
57 subsequent responses that Newfoundland Power provided,
58 including this Salt Pond gas turbine relocation project
59 document that was attached relating to just the relocation
60 of a gas turbine at a project cost of \$1.7 million, and I guess
61 what I was going to ask was do you think it's fair to
62 suggest that this is a fairly expensive analysis of the
63 business issues involved in the relocation of a gas turbine,
64 both from a perspective of how that's going to impact on
65 the reliability of the system from where it's being removed,
66 and also to where it's going, as well as the different
67 alternatives that were explored in looking at different
68 alternatives for how this may be resolved or addressed, and
69 that much of this is missing from the projects that Hydro
70 has in its capital budget, irrespective or the system security
71 and reliability improvement, the ones that you just pointed
72 to?

73 MR. REEVES: You're right.

74 MS. GREENE, Q.C.: Before ... I would ask the Board
75 counsel to indicate what percentage of the projects in
76 Newfoundland Power's 2002 capital budget, how many
77 projects there were, how many of those were supported by
78 a formal cost benefit analysis? Because the impression he's
79 leaving is that they all were.

80 MR. REEVES: Like, what I was going to say is that this is
81 to move a gas turbine from one location to the other. We
82 don't have that ... basically either similar project in our
83 capital budget like that.

84 MR. KENNEDY: Well, except for the diesel engine that's
85 going from MacCallum to Harbour Deep?

86 MR. REEVES: That's not similar.

87 MR. KENNEDY: Okay.

88 MR. REEVES: What we're doing there is that we're
89 optimizing the size of our units for the best locations of
90 where they can be used for the most efficient use of those
91 particular units. We have a service to provide in
92 MacCallum, we have a service to provide in Harbour Deep,
93 and what we're trying to do is take best advantage of the
94 equipment that we have and that we are going to buy to
95 provide the most reliable cost effective equipment. When
96 we brought forward a \$55,000 job here back in 1997 we had
97 a much thicker report than this. And I don't want to
98 compare thickness, but we brought forward the issues

1 which were associated with that. When we had the
2 lightening (inaudible) I think we brought forward a similar
3 one. So, we don't have, in here, a similar project. I would
4 venture to say, and I did a very quick perusal of the
5 Newfoundland Power budget after we received it, I would
6 venture to say that their replacement insulators do not
7 have a cost benefit analysis similar to this one. It's not
8 required.

9 MR. KENNEDY: Uh hum. Mr. Chair, that sort of concludes
10 that area of questioning and it would probably be an
11 appropriate time to break until tomorrow.

12 MR. NOSEWORTHY, CHAIRMAN: Thank you, very
13 much, Mr. Kennedy and Mr. Reeves. We will conclude the
14 hearing for this afternoon and reconvene at 9:30 tomorrow
15 morning. Thank you.

16 *(hearing adjourned to October 4, 2001)*