

1 (9:30 a.m.)

2 MR. NOSEWORTHY, CHAIRMAN: Good morning
3 everybody and Happy Halloween. I'm sure it probably
4 presented an interesting morning for those with small kids,
5 trying to get them dressed and off to school, as I'm sure it
6 will present an interesting evening. *(laughter)* We'll
7 proceed. Are there any preliminary matters, Mr. Kennedy?

8 MR. KENNEDY: Not that I'm aware of, Chair, any
9 preliminary matters this morning.

10 MR. NOSEWORTHY, CHAIRMAN: Are you completed
11 with your cross-examination?

12 MR. KENNEDY: I have completed my cross-examination.
13 Thank you, Ms. McShane.

14 MS. McSHANE: Thank you, Mr. Kennedy.

15 MR. NOSEWORTHY, CHAIRMAN: Good morning, Ms.
16 McShane.

17 MS. McSHANE: Good morning.

18 MR. NOSEWORTHY, CHAIRMAN: We'll proceed with
19 redirect, Ms. Greene.

20 MS. GREENE, Q.C.: Thank you, Mr. Chair. Good morning.
21 The first question that I have for you, Ms. McShane, arises
22 from your discussion with counsel for Newfoundland
23 Power concerning the dividends, and I'd like first to turn to
24 **page eight of the transcript of October 29th**, and in the
25 hard copy of the transcript or the paper copy of the
26 transcript the reference is to line 78 to 83, which is the same
27 on the electronic version for once. *(laughter)* In the
28 question there you'll see that you're talking about the
29 payment of the dividends from '95 to, including forecast
30 2001, 2002. In line 78 to 80 you mention to some extent that
31 there will be a catch-up of dividends that hadn't been paid
32 up to the 75 percent in the past. Ms. Butler then said, "But
33 it exceeds the catch-up." Your answer then on lines 82 to
34 83, "Yes, it does to some extent exceed the catch-up." Now
35 my question is, in that exchange of question and answer,
36 the period you were discussing was from '95 to 2002, is that
37 correct?

38 MS. McSHANE: That's correct.

39 MS. GREENE, Q.C.: Have you had occasion to review from
40 the period '75 to 2002 what the pay-out ratio would be if the
41 entire period from '75 to 2002 including forecast for 2001,
42 2002 was included?

43 MS. McSHANE: Yes, I have looked at those numbers and
44 in total over the period 1975 through the test year would be
45 approximately a 40 percent pay-out ratio.

46 MS. GREENE, Q.C.: Of the dividends available ...

47 MS. McSHANE: 75 percent of operating income.

48 MS. GREENE, Q.C.: So the pay-out would have been
49 approximately 40 percent of that entire period.

50 MS. McSHANE: That's correct.

51 MS. GREENE, Q.C.: The next question that I have also
52 concerns the issue of dividends and the appropriateness of
53 whether there should be a deemed capital structure, and
54 here I'd like to refer to the **transcript of October 29th, page**
55 **8**, lines 33 to 35. The question there was from Ms. Butler in
56 terms of whether you were recommending to the Board that
57 the Board should deem a capital structure, and you'll see
58 that there in line 73 to 35, and actually there's quite a bit of
59 discussion on this, and the next reference that I would like
60 to refer to is on page 9, and again you will see from lines 21
61 to 35 and from 51 to 70 you express your view why you are
62 not recommending that the Board deem a capital structure
63 for Hydro. In your answer to this question, particularly on
64 lines 21 to 35, you took the Board through a mathematical
65 type of example of how it would work with a deemed capital
66 structure. My question is, have you prepared a schedule
67 which would outline the calculation that you referred to in
68 your evidence on October 29th?

69 MS. McSHANE: Yes, I have.

70 MS. GREENE, Q.C.: I have a copy of the schedule to
71 distribute at this time. I'll just wait a moment for everyone
72 to get a copy of the schedule.

73 MR. KENNEDY: I believe that would be **KM-3**, Chair.

74 MR. NOSEWORTHY, CHAIRMAN: Thank you.

75 **EXHIBIT KM-3 ENTERED IN**

76 MS. GREENE, Q.C.: Ms. McShane, I wonder if you could
77 review the schedule with us in view of the fact that people
78 have just received it for the first time?

79 MS. McSHANE: Certainly. What I've tried to illustrate on
80 this schedule is essentially what would happen if the Board
81 were to deem a capital structure but approve the same
82 requested return, overall return on rate base that the
83 Company has requested. At the top of the schedule what
84 appears is a table which illustrates approximately the
85 proportions of debt and equity that Hydro anticipates
86 having in its capital structure during the test year and the
87 proposed cost of debt and equity and the requested return
88 on rate base which would result from those proportions of
89 debt and equity and cost rates. The point that I would like
90 to make from this table is that even if the Board were to
91 decide that it was appropriate to deem a capital structure
92 which has less debt and more equity in it than the
93 Company anticipates having in its capital structure during
94 the test year, the Company's actual cost of capital would
95 still be well in excess of what it has requested in terms of
96 return on rate base, thus there is no reason that even if the

1 Board were to deem a different capital structure that the
2 overall requested return on rate base need be changed. So
3 what I tried to illustrate in the bottom half of this page is
4 what would happen if you assume that the Company had,
5 instead of 85 percent debt, 75 percent debt, and instead of
6 15 percent equity, 25 percent equity. What would happen
7 is the Company could still, and would still, request the
8 same return on rate base, but instead of applying the cost
9 of debt plus the guarantee fee to 85 percent of the debt, it
10 would now apply it to only 75 percent, which effectively
11 then would result in a somewhat higher return on the
12 deemed equity of 25 percent, and that number, if you look
13 at the bottom line on the little indented section just before
14 the last paragraph, would be approximately 4.8 percent
15 instead of the 3 percent that's actually then proposed in
16 this application. Just as a general comment, I would add
17 that clearly the Board has the power to deem a capital
18 structure different from what is actually in place, but as I
19 noted Monday, I guess it was, that usually this is reserved
20 for situations where the Company has more equity in place
21 than the Board feels is reasonable for a utility of that risk,
22 not to deem more equity than is actually in place, and in
23 this particular case, since what the Company is asking for
24 overall is a return on rate base that is lower than what
25 would be required in the marketplace, I don't see any
26 advantage in the Board deeming a capital structure.

27 MS. GREENE, Q.C.: I think on Monday as well, Ms.
28 McShane, you said it was virtually unheard of, as you've
29 mentioned again, for a Board to deem a higher equity than
30 a company actually has.

31 MS. McSHANE: I know only one circumstance when that
32 has occurred.

33 MS. GREENE, Q.C.: And could you please explain what
34 that circumstance was?

35 MS. McSHANE: It was in the case of NOVA Gas
36 Transmission where the Alberta Public Utilities Board, as
37 it was known at that time, decided that the stand-alone
38 capital structure for NOVA Gas Transmission would have
39 more equity than its corporate parent actually had in place
40 and deemed more equity to the capital structure than the
41 corporate parent actually had, but that's the only case that
42 I'm aware of.

43 MS. GREENE, Q.C.: Turning now to another subject matter
44 which is, was raised by counsel for the Consumer
45 Advocate, which is whether there should be a cap on
46 earning, and I think in your answer to him you referred to
47 this as the belt and suspenders approach in the context of
48 this current application, and I just wanted to clarify for the
49 record what your recommendation is to the Board should
50 the Board consider that there be a cap on earnings for
51 Hydro in this particular application, and I'd like to refer to

52 the **transcript of October 30th at page 21 and lines 19 to**
53 **23**. It's page 19 (*sic*) of the October 30th transcript, and I
54 just wanted to clarify, confirm for the record that your
55 recommendation is found in that section of the transcript as
56 opposed to the information request that had been
57 discussed at that time as well. Is it correct that your
58 recommendation would be that the cap should apply if the
59 return on rate base exceeded 9 1/4 percent in the context of
60 this current application?

61 (9:45 a.m.)

62 MS. McSHANE: In the context of this current application,
63 that's correct.

64 MS. GREENE, Q.C.: The last question that I have for Ms.
65 McShane arises from a question of counsel for
66 Newfoundland Power and it is found in the **transcript of**
67 **October 29th at page 15**, and what I'd like to do is really
68 correct for the record the question of Ms. Butler on line 14
69 to 17, which is found on page 15 of the transcript of
70 October 29th, and really it's not a correction with respect to
71 Ms. McShane, but I'm using Ms. McShane in order to
72 ensure that the record is accurate. I'm going to get her to
73 read a section of a prior transcript, as she did so well
74 yesterday in reading lines from various parts of transcripts
75 and evidence. What I'm referring to is the question of Ms.
76 Butler which was found, as I said, on lines 14 to 17 of page
77 15, and there's a reference there that Mr. Wells as President
78 had testified that the increase in consumer rates over the
79 five-year financial planning horizon would be a total of 26
80 percent, and I think that really just was a slip on behalf of
81 counsel for Newfoundland Power. She was referring to the
82 five-year plan. And here I'd like to refer to the **transcript of**
83 **September 24th** which was the cross-examination of Mr.
84 Wells by counsel for Newfoundland Power when Ms.
85 Butler took Mr. Wells through the forecast included in the
86 five-year financial plan, and here, if we could find the
87 **transcript of September 24th, lines 28 to 32**, which is a
88 question from Ms. Butler which is probably the easiest way
89 to correct the reference.

90 MS. BUTLER, Q.C.: I think we need the page number,
91 Maureen.

92 MS. GREENE, Q.C.: Oh, I'm sorry, **page 23**, sorry. So in the
93 hard copy it's **page 23, lines 28 to 32**, and this is one where
94 it's not ... okay. On the electronic version it is actually lines
95 35 to 39. This is one case where the electronic version and
96 the hard copy doesn't match the line numbers. And I
97 wonder, Ms. McShane, if you could read, please, lines 35
98 to 39.

99 MS. McSHANE: Which is Ms. Butler's question.

100 MS. GREENE, Q.C.: Ms. Butler's question. I think this is
101 just the easiest way to correct the record without going to

1 the five-year plan.

2 MS. McSHANE: "So perhaps this is the message, Mr.
3 Wells, that the Newfoundland consumers need to hear first
4 that the plan in this period, 2001 to 2005, is to increase
5 those wholesale rates by 22 and 26 percent respectively in
6 that four-year period."

7 MS. GREENE, Q.C.: Thank you, and I just wanted the
8 record to demonstrate that the increases Ms. Butler was
9 referring to from the five-year plan are in the wholesale rate,
10 at the wholesale level, and not in the consumer rate, to
11 ensure that the record was accurate. The other point with
12 respect to this is Mr. Wells' view of the five-year plan and
13 whether in fact that is what the Company is saying the
14 forecast of wholesale rate changes will be, and here, Ms.
15 McShane, for the second point, I'd like you to read for the
16 record **line 43**, beginning there at line 43, please.

17 MS. McSHANE: "May I say this, that the financial plan
18 that we maintain and that's required in the system, although
19 I personally have a great deal of difficulty with five-year
20 plans in this day and age, is done for financial planning
21 purposes only. It's not to set rates and I would be very
22 uncomfortable to take the projections in the financial plan
23 and take them out to consumers as some sort of forecast
24 that this is what you can expect."

25 MS. GREENE, Q.C.: Thank you. Thank you, Ms.
26 McShane. That concludes the questions that I have on
27 redirect.

28 MR. NOSEWORTHY, CHAIRMAN: Thank you, Ms.
29 Greene. We'll proceed on now with Board panel questions.
30 I'd ask Commissioner Powell to begin, please.

31 COMMISSIONER POWELL: Thank you, Chair. Thank
32 you, Ms. McShane. I've enjoyed your testimony.

33 MS. McSHANE: Thank you.

34 COMMISSIONER POWELL: I just have a few questions,
35 more for clarification than anything else. I'm sure there's
36 lots of things in your testimony where people here may
37 have different slants on and I'm sure we'll get to that as we
38 get into ... the first thing is the guarantee fee. There was
39 some questions about that and I had some questions earlier
40 when the, in the proceedings on the fee and there was
41 some little confusion. So maybe if we can just take it the
42 way I understand it and you can tell me if I understand it
43 the same way you present it. The guarantee component of
44 the fee itself ... excuse me, the halloween goblins are getting
45 me ... the act of guaranteeing itself, would you characterize
46 that as sort of a service that somebody would provide to
47 somebody else?

48 MS. McSHANE: Yes, it is a service.

49 COMMISSIONER POWELL: And the fee component is the

50 remuneration that somebody would expect to get for
51 providing that service.

52 MS. McSHANE: That's correct.

53 COMMISSIONER POWELL: Okay. What would normally
54 be included in the fee that somebody would charge, in
55 general?

56 MS. McSHANE: What would be included in the fee?
57 Certainly what would be included in the fee would be a
58 determine, a determination of the risks that the guarantor
59 anticipated that he was, he or she was being exposed to,
60 and effectively it would be the price of taking on the risks
61 involved in providing the guarantee in addition to whatever
62 out-of-pocket costs that the guarantor would take on in
63 place of the same services effectively being provided by
64 the company itself.

65 COMMISSIONER POWELL: Okay. The cost associated
66 with acquiring a debt, assuming that an entity such as
67 Hydro was investing (inaudible) corporation and they were
68 going to try to raise \$100 million on the, in the market, what
69 kind of cost would be incurred, assuming they didn't need
70 a guarantee?

71 MS. McSHANE: For the actual raising of ...

72 COMMISSIONER POWELL: Yes.

73 MS. McSHANE: ... of the capital? Out-of-pocket costs ...

74 COMMISSIONER POWELL: Yes.

75 MS. McSHANE: ... would include commission fees, legal
76 fees, filing fees, those types of things. If you want perhaps
77 some more detail on that, Mr. Hall is probably the person
78 who could provide you with a greater amount of detail ...

79 COMMISSIONER POWELL: Well, I just want ...

80 MS. McSHANE: ... on it but generally speaking those are
81 the types of costs that are incurred.

82 COMMISSIONER POWELL: On **page 44 of your**
83 **testimony**, well actually it starts on 43, on line six you talk
84 about flotation costs and then on page 44, lines 1 to 13,
85 you refer to out-of-pocket equity financing, and you
86 basically come down saying that you should be allowed 50
87 bases points in arriving at a bare bones cost of equity.
88 These are the type of costs that you're referring to there,
89 the commission fees and filing fees and things like that?

90 MS. McSHANE: If I could perhaps back up a little bit and
91 make a distinction between the debt and the equity, what
92 you and I were discussing a moment ago were the costs of
93 raising debt.

94 COMMISSIONER POWELL: Yes.

95 MS. McSHANE: There would be similar costs if a company

1 had to go out into the public market and raise equity, but as
2 I noted in this section of the testimony here to which you're
3 referring, Hydro does not raise equity in public markets and
4 therefore for equity there would be no out-of-pocket costs
5 that would be associated with that equity, so the allowance
6 that I'm recommending be added to the bare bones cost of
7 equity is for the other factors that are referenced in the
8 section of the testimony and excludes specifically any
9 costs that would be quantifiable for out-of-pocket
10 expenses.

11 COMMISSIONER POWELL: So this 50 bases points,
12 you're talking about cost of equity, you're essentially
13 saying this is cost, the equity that's still left in Hydro in the
14 form of retained earnings that if they had to go raise it, this
15 is what it would, type of costs you expect to incur?

16 MS. McSHANE: What I'm saying is that the market
17 derived bare bones cost of equity does not include any
18 cushion, if you will, for unanticipated market conditions
19 and it also does not contain any adjustment for the fact
20 that typically in the competitive markets that unregulated
21 firms are able to trade at values in excess of book value, so
22 the 50 bases points is in recognition of those factors and
23 not to actually put into place any amounts that would be
24 attributable to the actual waiving of equity in the future. If
25 a time came where that were to be the case, then at that time
26 the financing flexibility adjustment would recognize those
27 but not as long as there's no intention to raise any equity
28 in the public markets.

29 COMMISSIONER POWELL: Okay. So you're essentially
30 saying then all the costs of raising the capital, the debt for
31 Hydro, is included in the guarantee fee then.

32 MS. McSHANE: Some of them are. As far as the actual
33 split between whether Hydro actually pays some of those
34 costs itself, I'm not positive. I think Mr. Hall is probably
35 the person who could tell you what is specifically included
36 in the guarantee as far as the out-of-pocket costs and what
37 specifically Hydro may pay from its own pocket.

38 COMMISSIONER POWELL: The reason why I brought it
39 up, when the guarantee was first talked about, Mr. Wells
40 and myself had a conversation back on the 27th, and I
41 assume that the guarantee fee would be some sort of split,
42 but he said there were no costs incurred, the Government
43 didn't have to incur these type of costs in terms of
44 commissions and things, and when I read your
45 (unintelligible), but I can understand where you're coming
46 from. Okay. I was a little concerned about a double
47 dipping there in terms of you including some component
48 for those costs and they were already in the guarantee fee.

49 MS. McSHANE: Oh, absolutely not, no.

50 (10:00 a.m.)

51 COMMISSIONER POWELL: Okay. Clarify that point for
52 me. Bear with me now. I made notes as, when I read it, and
53 some of it got clarified with questions and some that left me
54 with not as much clarity as I would like. **Page 20**, yeah, on
55 **page 20, line three and four**, in an answer to a question
56 that started on page 19, "Doesn't the implementation of
57 capital structure targets for a Crown corporation which are
58 similar to those in investor-owned utilities negate the very
59 purpose of the Crown corporation structure." And line
60 three, you say, "The key cost benefit to customers are the
61 exemption from income taxes." But unless I was missing
62 something, I thought one of the factors that you took into
63 setting the return on equity was to make, treat Hydro as if
64 it was an investor-owned corporation and that would wash
65 out. So how do you rationalize that statement with ...

66 MS. McSHANE: You're talking about the exemption from
67 income taxes ...

68 COMMISSIONER POWELL: You say, "(inaudible) the key
69 cost benefit to customers are the exemption from income
70 taxes." I think it's on the (inaudible), but ...

71 MS. McSHANE: Okay. I guess the fact that it is treated
72 like an investor-owned utility in some respects, which is to
73 say that it's treated in a manner consistent with stand-alone
74 commercial viability, is not going to in and of itself subject
75 it to income tax provisions, so what I'm trying to
76 accomplish through setting down what I believe to be the
77 appropriate principles is to establish a framework that is
78 consistent with economic principles and those economic
79 principles essentially are drawn from the investor utility's
80 experience but the fact is that the corporation will not be
81 subject to income taxes and then that would still be a
82 benefit. Now there are actually Crown corporations which
83 pay fees in lieu of income taxes. For example, Hydro One in
84 Ontario now pays fees in lieu of income taxes as a means
85 of, one, paying down some of the stranded debt, but also
86 as a matter of principle what the Ontario Government is
87 trying to accomplish is to create a level playing field
88 environment, recognizing that the electric utilities in
89 Ontario are competing with the gas utilities, all of which are
90 owned by investor-owned companies, so it has taken the
91 position effectively that in order for that level playing field
92 to truly be created, that even though Hydro One has
93 maintained its Crown status and doesn't actually pay taxes
94 to the Federal Government, it would pay fees to the
95 Provincial Government.

96 COMMISSIONER POWELL: So you might even look at the
97 75 percent dividend policy as a provincial tax then.

98 MS. McSHANE: As a?

99 COMMISSIONER POWELL: As a provincial tax in a way
100 simply because it's taking, the tax is taking a portion of
101 your income, so the province using a 75 percent dividend

1 in lieu of taxes ...
2 MS. McSHANE: No. I don't agree that the 75 percent
3 dividend policy could be viewed as a tax. The retained
4 earnings of the corporation are ...
5 COMMISSIONER POWELL: But if they took it each year
6 ...
7 MS. McSHANE: ... the ... if they took it each year.
8 COMMISSIONER POWELL: Yeah.
9 MS. McSHANE: Is it a tax? No, I don't think it's a tax.
10 COMMISSIONER POWELL: I don't think so either but ...
11 MS. McSHANE: Well it's certainly ...
12 COMMISSIONER POWELL: ... in the sense of in lieu of no
13 ...
14 MS. McSHANE: It's a return. Clearly it's a return to the
15 shareholder but it's not a tax in the sense that it's going to
16 ...
17 COMMISSIONER POWELL: It's going to the taxpayers.
18 The problem I have with ... I have a problem with the
19 statement, the key cost benefit to customers are the
20 exemption from income taxes, and in lieu of the calculation
21 we went through and I thought, unless I'm
22 misunderstanding the whole calculation, was to negate that
23 and treat everything as an investor, Hydro as an investor-
24 owned, and your calculation was done based on that.
25 MS. McSHANE: Well, it's ...
26 COMMISSIONER POWELL: But it's really no advantage
27 in terms of looking at the fact of exempt from income tax.
28 MS. McSHANE: It certainly is to some extent and there
29 are, as I suggested, provinces who have gone further and
30 imputed (phonetic) further fees to take the place of income
31 taxes. B.C. has done that, Ontario has done that.
32 COMMISSIONER POWELL: And would you suggest
33 that's what Hydro ...
34 MS. McSHANE: No, I am not suggesting that that be the
35 case here.
36 COMMISSIONER POWELL: Okay. **Page 20, line 7**, you
37 go on and talk about, "The Crown corporate structure,
38 however, should not be construed as a means to shift to
39 taxpayers the actual economic cost of providing electric
40 utility service." What do you mean by economic costs?
41 MS. McSHANE: Well, specifically in this regard I was
42 focusing on the cost that, the opportunity cost that is
43 associated with the equity, however, you could view this
44 as encompassing on any of the actual costs of providing
45 the service that are not covered by the totality of the rates

46 that are paid, so that if the total cost, including a just and
47 reasonable return on the capital that's provided, are not
48 covered in the revenues that are received by the
49 corporation, then effectively the taxpayers are paying for
50 those costs.
51 COMMISSIONER POWELL: So economic costs and least
52 costs are two different things, okay. We've heard a lot of
53 reference to utilities using least costs when they, setting
54 rates. So how do you rationalize the economic costs?
55 MS. McSHANE: I'm not sure of the context in which the
56 terminology "least cost" is being used. The least cost to
57 me as a financial person may mean something different than
58 it does to an engineer, so, I mean, I can only answer your
59 question from my own perspective, which would be that it
60 is good economics to try to provide service at the least
61 cost consistent with safe and reliable service that is
62 possible and the least cost in that regard would still include
63 a just and reasonable return on the capital provided. It
64 doesn't mean less than cost. It just means the least cost.
65 COMMISSIONER POWELL: Okay. **Page 20, line 8 to 14**,
66 you have, you say, "Although there is clearly an overlap
67 between taxpayers and utility ratepayers, they're not
68 identical." I have no problem with that. You go on to say,
69 "By ensuring that the true economic costs of providing
70 utility service are borne by the ratepayers, appropriate
71 market signals are being sent. If the taxpayer is subsidizing
72 the ratepayer by virtue of setting rates which do not reflect
73 the economic cost of service provided, ratepayers are
74 encouraged to over-consume scarce resources." And
75 that's sort of a motherhood (phonetic) statement, but you
76 talk about the Hydro being a Crown corporation and you
77 talked about social policy and you made an analogy, I
78 think, somewhere about the telephone companies,
79 telephone utilities having to provide telephone services to
80 areas that, not necessarily economical for them. So I'm just
81 wondering if you turn that statement around a bit and
82 substituted where you say taxpayers, put in ratepayers,
83 and you put ratepayers in where you have taxpayers, and
84 rephrase it and said if the ratepayers continued to pick up
85 the cost of the taxpayers' social policy, then the taxpayers
86 are not getting the appropriate market signals and they,
87 encouraged to over-consume scare resources. Would you
88 agree with that? Doesn't that cut both ways?
89 MS. McSHANE: I have to think about this now. So the
90 ratepayer is subsidizing the ...
91 COMMISSIONER POWELL: The taxpayer.
92 MS. McSHANE: Subsidizing ...
93 COMMISSIONER POWELL: Social policy. Therefore, the
94 social policy planner is being encouraged to over-consume
95 scare resources the same way? Doesn't it cut both ways?

1 MS. McSHANE: So can ... may I ...

2 COMMISSIONER POWELL: Sure.

3 MS. McSHANE: ... see if I ... so are you asking me if ...

4 COMMISSIONER POWELL: In your statement there, and
5 I ...

6 MS. McSHANE: Okay. I just want to make sure I
7 understand what your question is.

8 COMMISSIONER POWELL: Yeah.

9 MS. McSHANE: So if, for example, the rates of Hydro are
10 set higher than they need to be so that there ...

11 COMMISSIONER POWELL: There has been some
12 suggestion that there, and I'm not sure which one of the
13 intervenors brought it up, but there's some suggestion that
14 certain ratepayers within the Hydro customer base are not
15 paying the true cost of service and the rest of the
16 ratepayers are subsidizing it, okay.

17 MS. McSHANE: Oh, I'm sorry. Then I ... okay.

18 COMMISSIONER POWELL: And so you have brought up
19 the analogy, I think, saying, well, within the context of this
20 being a Crown corporation, there's a certain amount of
21 social policy initiative as well as the economics, and my
22 words and not your words, the defence of that policy, you
23 made the comparison, utilities having provided phone
24 service in areas that they, not economical for them but it's
25 part of the social policy, and so I'm saying, okay, but now
26 there must be a point where you say here that the taxpayers
27 should not have to pick up the cost providing the service
28 and send a message to ratepayers, but there's got to be
29 some point in time, I would think, that's what I'm asking
30 you, would it not, that the ratepayers say to the taxpayers,
31 we should not pick that up and send you a signal, if you
32 want to have social policy you pay for it, not the ratepayer?

33 MS. McSHANE: I think in the aggregate that's true, that if
34 in total the revenues that are coming out of Hydro would
35 exceed the cost of providing the service and thereby
36 providing excess funds to the province to give them funds
37 to invest in services, that would be true, but I think here
38 we're still dealing with a situation where, you know, within
39 the confines of the Utility itself. We're certainly not dealing
40 with an excess of revenues over cost.

41 COMMISSIONER POWELL: No, but we're dealing in a
42 situation where we have greater costs than we do have
43 revenue and that cost has been reallocated to other classes
44 to pick up part of Government's social policy.

45 MS. McSHANE: Well, to the extent that Government
46 policy is that there would be universal service at similar
47 rates, similarly situated customers, there will be some
48 customers that are going to pay less than the actual cost of

49 providing those services to ...

50 COMMISSIONER POWELL: So what is the point when the
51 signal should be sent the other way instead of ...

52 MS. McSHANE: That's the Government should then ...

53 COMMISSIONER POWELL: No, the ratepayer should
54 send a signal to the taxpayer versus the taxpayer sending
55 the signal to the ratepayer. From an economic point of
56 view, you know, is it 2 percent, 22 percent, 5 percent?

57 MS. McSHANE: It's such a hard ...

58 COMMISSIONER POWELL: So would you agree that that
59 statement could be turned around?

60 MS. McSHANE: I agree that it can be turned around.

61 *(10:15 a.m.)*

62 COMMISSIONER POWELL: Okay. Page 25, the note one
63 on page 25, the note attached to the last, you say, line 20,
64 24, "To achieve a commercially viable capital structure,"
65 and you got a note one, and you talk about investors, how
66 they raise money, but you made the statement, "Hydro's
67 sole source of equity funding is through retained
68 earnings." That's not 100 percent correct. Is there not an
69 option for Government in this particular case of Hydro to
70 borrow the funds in its own right and invest it in Hydro's
71 equity rather than just guaranteeing their debt?

72 MS. McSHANE: Absolutely.

73 COMMISSIONER POWELL: So, yeah. So that statement,
74 why ...

75 MS. McSHANE: Yes. I ...

76 COMMISSIONER POWELL: Probability is (inaudible), is
77 it?

78 MS. McSHANE: Absolutely.

79 COMMISSIONER POWELL: Yes, okay. Just ... page 26,
80 line 29, the sentence there partway across, you say, "At the
81 forecast utility capital structure." I couldn't get my mind
82 around that. What do you mean by that?

83 MS. McSHANE: That phrase, "At the forecast" ...

84 COMMISSIONER POWELL: Yes.

85 MS. McSHANE: ... "utility capital structure"?

86 COMMISSIONER POWELL: Yeah.

87 MS. McSHANE: The forecast utility capital structure is the
88 proportion of debt and equity that Hydro expects to have
89 in place during the test year, those being approximately 85
90 percent debt and 15 percent equity.

91 COMMISSIONER POWELL: So the utility in this case is
92 Hydro.

1 MS. McSHANE: Oh, sorry, yes, it is, yes.

2 COMMISSIONER POWELL: Okay, okay. No, that's ... I
3 didn't know if that was a generic term or not, okay.

4 MS. McSHANE: No, no. That was specific to ...

5 COMMISSIONER POWELL: Hydro.

6 MS. McSHANE: ... Hydro but also the utility only capital
7 structure.

8 COMMISSIONER POWELL: Yes, okay. And you say in
9 line 31, "Absent the provincial guarantee, there will be more
10 than 100 bases points higher." Is that a professional
11 opinion or is that ...

12 MS. McSHANE: That's a professional opinion based on
13 what the likely credit rating would be of a corporation, a
14 utility corporation which is financed 85/15.

15 COMMISSIONER POWELL: That's not something I look
16 up in a book and tell me that.

17 MS. McSHANE: No.

18 COMMISSIONER POWELL: Okay.

19 MS. McSHANE: No, and it would differ from time to time
20 too.

21 COMMISSIONER POWELL: Yeah, sure, I appreciate that.
22 Page 27, okay, page 27, line 10 to 13, I'll see if ... "*The
23 Public Utilities Act* which Hydro too is subject states, 'A
24 public utility entitled to earn annually a just and reasonable
25 return as defined by the Board on their rate base as fixed
26 and determined by the Board for each type or kind of
27 service supplied by the public utility," and I got a note
28 here. I say what is your opinion on this statement when
29 read in conjunction with Note 1 on page 54? Let's go to 54
30 and see what I got. Note 1 says, "The effective return on
31 rate base requested is 7.35 percent because Hydro is not
32 seeking to earn an equity (phonetic) return on the rural
33 portion of the rate base which accounts for approximately
34 10 percent of forecast total rate base." Is that reasonable?

35 MS. McSHANE: The part where it's not asking to earn any
36 return?

37 COMMISSIONER POWELL: Yes. Uh hum, yes.

38 MS. McSHANE: Well, that's my understanding of what
39 policy has been and it's also my understanding that that is
40 in some part to offset the fact that the rural customers are
41 not paying rates which fully recover their costs, so that ...

42 COMMISSIONER POWELL: Would you consider that a
43 reasonable ...

44 MS. McSHANE: Under the circumstances, I don't think it's
45 unreasonable to have some of this deficit picked up in that
46 fashion.

47 COMMISSIONER POWELL: And not put it into the rate
48 base for ...

49 MS. McSHANE: At a full return on equity?

50 COMMISSIONER POWELL: Yeah.

51 MS. McSHANE: I think that this is, as I said, I don't think
52 it's an unreasonable way to reflect the fact that the
53 customers are not being asked to fully cover the cost of
54 providing service.

55 COMMISSIONER POWELL: Legal counsel yesterday were
56 talking and you referred to investor-owned utilities having
57 economic rates, some question about whether rates always
58 covered full cost, and I think you gave some reference to,
59 I think the term you used was economic rates. Would you
60 recommend to the Board that a taxpayer-owned utility that
61 should go down this road in terms of same rates, in terms
62 of ... we heard representation in the last couple of weeks
63 from various people on various issues and everybody had
64 their own, put their own personal spin on things, and so
65 the issue of maybe having different rates for different
66 economic conditions.

67 MS. McSHANE: I think that every case is an individual
68 case. The specific reference that you made was to a
69 discussion I was having about economic development rate.

70 COMMISSIONER POWELL: Yes.

71 MS. McSHANE: Which, generally speaking, are set to at
72 least cover the incremental costs of providing the service,
73 that it's not the fully-embedded cost, with the intention that
74 in the future those entities which received the economic
75 development rates will be in a position to allow the overall
76 unit costs of providing service to be lower, because they,
77 these entities and whatever secondary businesses that
78 they bring in around them will be there to help spread the
79 fixed costs around and effectively lower unit costs. So,
80 you know, I think that you have to consider what the
81 circumstances are and what the potential outlook for the
82 area that you're looking at. I don't know that there is one
83 specific answer to that question, but, generally speaking,
84 if it is viewed that a customer who pays his incremental
85 costs of providing service will contribute to the system as
86 a whole, I mean, that's considered to be better than not
87 having the customer on the system.

88 COMMISSIONER POWELL: My last question. Page 56,
89 line 14 to 16, you're talking about setting the rates and
90 whether we should set a range. At line 14 you said,
91 "Nevertheless, that range would be essentially (inaudible)
92 since the probability of Hydro's 2002 return would
93 approach the bottom end of the range is minimal." What
94 do you make of that statement ...

95 MS. McSHANE: This morning and yesterday we had a

1 discussion about what the reasonable upper end of the
2 range would be, and I guess we really haven't talked about
3 what the reasonable lower end of the range would be, and
4 I think you can go through the same type of analysis and
5 calculation to determine what the lower end of the range
6 would be, and what I had done to determine what I thought
7 was a reasonable upper end of the range being 9 1/4
8 percent was to say that with a capital structure of 85
9 percent debt and 15 percent equity and the recognition that
10 most of the cost of debt is fixed, that there would be not as
11 much room for the overall cost of debt to move as there
12 would be for the return on equity to move. So, I mean, you
13 could look at saying, well, the, let's say that the return on
14 the debt might be as low as 8.1 percent, that would be sort
15 of a 25 bases point differential from what the expected cost
16 is, and let's say lower end of the range of return on equity
17 was 2 percentage points from the return that I determined
18 was reasonable, which was 11 1/4, so that would give you
19 a bottom end of the range of about 8 1/4 percent, so the
20 range then would be, in that regard, 8 1/4 to 9 1/4 if you
21 were actually setting rates for the Company in the
22 expectation that they were going to have rates set on the
23 full cost of capital.

24 COMMISSIONER POWELL: Okay, thank you very much.
25 That's all, Mr. Chairman.

26 MR. NOSEWORTHY, CHAIRMAN: Thank you,
27 Commissioner Powell. Commissioner Saunders, please.

28 COMMISSIONER SAUNDERS: Thank you, Mr. Chair.
29 Good morning, Ms. McShane.

30 MS. McSHANE: Good morning, sir.
31 (10:30 a.m.)

32 COMMISSIONER SAUNDERS: I just have two questions
33 basically. One is in respect of the application before the
34 Board which was filed in May of this year. Have you given
35 any thought or have you developed any numbers, I guess,
36 in respect of what kind of a request in respect of the ROE,
37 for example, that the Company is looking for, might have
38 ensued if this application had been made back in 19-, say,
39 '97, shortly after the Company became fully regulated by
40 the Board?

41 MS. McSHANE: What return might have been requested
42 in ...

43 COMMISSIONER SAUNDERS: Well, I'm wondering if,
44 how much catch-up are we playing in terms of the
45 application being made at this point in time. It seems to me
46 that we are playing some catch-up, because the Company
47 is requesting a three percent ROE and at the same time
48 putting forward evidence through you and others that
49 really we need 11 1/4 or some number in that range, in that
50 area. So what degree of catch-up are we playing today and

51 what would have been the case had the application or had
52 an application been made in '97? Would we have avoided
53 the catch-up?

54 MS. McSHANE: I'm not really sure that I'm understanding
55 your question. From my perspective, I don't see that
56 anything that's being proposed here reflects a catch-up.
57 The Company may not have come in, you know, as soon as
58 the new legislation was passed, but I don't see anything
59 that's being proposed in this application that says, well, we
60 sort of have an entitlement to this type of treatment as early
61 as 1995. We didn't ask for it. Now we have to seek
62 something that picks up what we were, by legislative
63 orders, entitled to. There's none of that in any of the
64 numbers that I've put together. I mean, this is simply a
65 recommendation which would have been the same had the
66 legislation been in '95, '97 or last year.

67 COMMISSIONER SAUNDERS: Let's take then the
68 example, if I might, of the application, and I'll find the
69 reference now in a moment ... bear with me. Too many
70 pieces of paper. Oh, here. It's **the application, page 8**,
71 where in paragraph 10, and I'll read it to you, "approving
72 pursuant to Section 70 of the Act the continuation of the
73 existing policy for setting the rates charged isolated rural
74 system customers with the exception of government
75 departments and agencies." Now, if the application had
76 been made, and I think if you go back through Board
77 orders, Board reports to the Minister under the old system
78 of regulation, the question of the subsidies was, I think,
79 raised and intended to be phased out in five years. Now
80 the matter of that subsidy to government departments and
81 agencies is still in place and here we are in 2002 test year
82 with a request from the Company that we now do
83 something with this. I'm saying that it probably should
84 have been done in '97 or commenced in '97, and if so, and
85 this is an example because there are others, what then
86 would be the Company's request today in respect of an
87 ROE? Would it have influenced the 3 percent or the 11 1/2
88 or the 11 1/4 percent one way or the other if this subsidy
89 had been taken out in '97?

90 MS. McSHANE: All I can respond to is with respect to my
91 recommendation, because I'm not privy to what the, any
92 relationship there might be as between, you know, what the
93 Company is asking for in terms of these rate changes and
94 its request, specific request for the return for this test year,
95 but from my own perspective as far as what the Company
96 is suggesting and as per my evidence should be the long-
97 term targets, those values are not at all dependent on the
98 history of the Company's request for changes in rates.
99 They are simply made with regard to what is appropriate for
100 a Crown corporation but have no particular ... wouldn't
101 change in any way because of these other circumstances.

102 COMMISSIONER SAUNDERS: So there wouldn't be any

1 impact in your opinion.

2 MS. McSHANE: No.

3 COMMISSIONER SAUNDERS: Let's get away from that
4 and talk about the impact, if you like, of the events in the
5 United States on September the 11th on the, on any of your
6 financial recommendations or projections, and I would like
7 to hear your comment on that in terms of what this Board
8 should take into account in respect of short or long-term
9 impact, if anything.

10 MS. McSHANE: With specific reference to the evidence
11 that I presented.

12 COMMISSIONER SAUNDERS: Yes.

13 MS. McSHANE: Well first of all, I guess, I would say that
14 generally speaking the events of September 11th have
15 resulted, as we all know, in potentially severe economic
16 consequences in both the US and Canada. I think,
17 however, that there is still an expectation that by the end of
18 next year that both countries will have been able to pull
19 themselves out of those circumstances and be back on the
20 road to economic health. Now clearly there's a lot of
21 uncertainty surrounding that, I can't deny that, because so
22 much of it is dependent on both consumer and business
23 confidence, and it's very difficult to assess what that
24 confidence level is going to be because these are
25 circumstances that we haven't faced before. Generally
26 speaking, with regard to where this would, what this would
27 do to the recommendations that were put into this
28 testimony in light of the circumstances that were prevailing
29 when it was prepared, I would say that the cost of capital
30 at this time, the cost of equity in particular is somewhat
31 lower than it was before, that if I were preparing this
32 testimony today that I would likely recommend a return on,
33 full return on equity of 11 percent instead of 11 to 11 1/2
34 percent. I have not gone through and done a full update of
35 the testimony for the very practical reason that for the test
36 year Hydro has not requested that a full normal rate of
37 return be approved, and as a result it seemed to me that it
38 was not a reasonable analysis to go through, particularly
39 because there are a lot of uncertain circumstances that do
40 factor into where these numbers come out and the major
41 deviation between what the cost of capital is and what's
42 being requested.

43 COMMISSIONER SAUNDERS: I said that was the last
44 question but there is one more that's prompted by
45 something you said. I don't know if anyone asked you this
46 before. In your experience are you familiar with any other
47 example, especially one where you may have been
48 involved, of a company coming forward such as Hydro is
49 now, seeking a much lower return on equity, and we know
50 the circumstances, than what may be justified? Do you
51 recall any other situation in which you may have been

52 involved as an expert where that occurred?

53 MS. McSHANE: Not to the same extent, but, yes, I have
54 been involved in situations where the company has asked
55 for a return that's lower than what I've recommended and
56 the rationale was virtually identical, that being that
57 although the company believed that it was entitled to a
58 return at the level that was recommended when it assessed
59 that as far as what would be required in terms of rate
60 increase. It did determine that it would be willing to live
61 with a somewhat lower return in order to avoid increasing
62 rates to that extent.

63 COMMISSIONER SAUNDERS: Okay. Thank you, Ms.
64 McShane, Chair.

65 MR. NOSEWORTHY, CHAIRMAN: Thank you,
66 Commissioner Saunders. Commissioner Whalen?

67 COMMISSIONER WHALEN: Good morning, Ms.
68 McShane.

69 MS. McSHANE: Good morning.

70 COMMISSIONER WHALEN: I did have some questions
71 on the dividend policy but I understand that the Chair is
72 going to pursue that area with you so I'm going to defer to
73 him but reserve my right to ask a follow-up question if
74 necessary, if that's okay. I won't ask any questions at this
75 time, thank you.

76 MR. NOSEWORTHY, CHAIRMAN: Thank you,
77 Commissioner Whalen. Once again, good morning ...

78 MS. McSHANE: Good morning.

79 MR. NOSEWORTHY, CHAIRMAN: ... Ms. McShane.
80 Thank you for your testimony.

81 MS. McSHANE: Thank you.

82 MR. NOSEWORTHY, CHAIRMAN: I can advise that last
83 night after being in bed and watching the World Series I
84 rolled over and I was thinking about the cost of capital,
85 *(laughter)* and you've provided a lot of food for thought in
86 two and a half days or I'd have a problem. It's probably a
87 little bit of both maybe. But I do have a few questions for
88 you, but there are a few. Basically I think a lot of these
89 involves themes around your testimony and I know, I
90 noticed starting off on the first day of your testimony, and
91 I'm just reading from the transcript here now, in response to
92 Ms. Butler's questions, and you say, "Clearly they," and I
93 think you're referring to the Board here, "need to address
94 the 80/20, but I think that as a matter of principle that this
95 Board should look to laying down the principles that it
96 believes should govern the regulatory framework and the
97 financial parameters of this corporation." And I think you
98 go on as well on line, sorry, page 15, to say, "It would be
99 useful to the Board to know where a fair and reasonable

1 return for a relatively low risk utility would fall so that they
2 had a basis upon which to, if not set a fair return in this
3 hearing, to at least determine, you know, what the
4 principles should be to underpin a fair and reasonable
5 return on equity in the future." And I think there's other
6 references that you would have made over the past couple
7 of days to that. I wonder could you elaborate for me a little
8 bit on what these principles would look like, what these
9 principles would entail? I think quite clearly from a
10 quantitative point of view you've said that 11.25, looking
11 down the road a couple of years, could change depending
12 on circumstances. So the quantitative (*sic*) aspect of these
13 principles would be very fluid, again looking to the future.
14 Could you just paint a little picture of what you mean when
15 you talk about that, please?

16 MS. McSHANE: I think what I had in mind was that what
17 I would like to see the Board do would be to establish that
18 the same principles that it referred to when setting a return
19 for Newfoundland Power back in **Order PU-16 1998/99**
20 was set forward, would be equally applicable to Hydro, and
21 I think that there is a fair overlap between the principles for
22 setting a return on equity that I have in my testimony at
23 page 27, starting at line 20, where the question is, "What
24 standard should underpin the determination of a just and
25 reasonable return on equity for Hydro?" And then I go on
26 to set forth what those principles are, and those three main
27 principles are at the top of page 28, lines one to four, and
28 they are, "To earn a return on the value of the property, of
29 its property commensurate with that of comparable risk
30 enterprises, maintain its financial integrity and attract
31 capital on reasonable terms," and I believe that in **Order**
32 **PU-16** dated July 31st, 1998, that this Board set forth
33 virtually these same principles, and I'm referencing page
34 nine of that decision where it was stated, "A public utility
35 must be able to assure its financial integrity so that it can
36 maintain a sound credit rating and be able to attract
37 additional capital when required. In order to maintain
38 access to capital financing it must achieve earnings
39 comparable to those of other companies with similar risk.
40 The rate of return on capital must be high enough to attract
41 capital but electric power should be delivered to customers
42 at the lowest cost consistent with reliable service. These
43 principles apply to all forms of capital, whether in the form
44 of debt or equity." And so from my perspective those
45 would be the same principles that should apply in these
46 circumstances, and specifically then I don't think that the
47 Board needs to, at this juncture, set a specific number for
48 a return but wait until such time as Hydro requests a full
49 normal rate of return and at that point I think that the Board
50 should do what it did in the case of Newfoundland Power,
51 which is then to look at all of the individual tests and to
52 determine what indeed it believes is a return that's
53 consistent with those principles.

54 (10:45 a.m.)

55 MR. NOSEWORTHY, CHAIRMAN: Okay, thank you. The
56 next question I have really relates to the dividend policy,
57 and I think you had commented again in your, there are
58 references there that I won't go to, but I think I have the
59 words right. In relation to the whole question of debt,
60 equity and the dividend policy, and I think your words
61 were that indeed these play off one another. I think you
62 had made that comment at one point in time throughout
63 your testimony, which seems to me that clearly these are
64 linked. You also had indicated that it wouldn't be
65 necessarily within the purview, and I agree, of this Board,
66 to, certainly the shareholder would have the right to set
67 whatever dividend policy it would wish, and that our focus
68 should be on the capital structure. Given that these play
69 off one another, I guess clearly in a test year, depending on
70 what Government decided to do in relation to its dividend
71 policy, it would impact, if you would, the debt-equity ratio
72 of Hydro, and I think you referred to looking down the road
73 to the need for, and again I believe the words are correct,
74 but predictable, compatible and supportive dividend policy.
75 How would you see this Board influencing that through,
76 and clearly in the test year, through the capital structure on
77 our approach to the capital structure? How would you
78 reconcile those if you were sitting here?

79 MS. McSHANE: That's a very difficult question. The only
80 circumstance I'm aware of where I'd know where a board
81 actually was able to directly influence the dividend policy
82 was in a case where the company under its jurisdiction was
83 bought by another company and basically the acquired
84 company has to sign undertakings that wouldn't, it would
85 not impair the capital structure. I don't think that in this
86 particular case that the Board has that ability, so I'm not
87 sure that there's anything that the Board can do to
88 influence the actions of the shareholder. I think that, you
89 know, that role really has to be taken on by the
90 management of the Company to interact with its
91 shareholder to make it aware of what it is trying to
92 accomplish in terms of actually behaving as a commercially-
93 viable company with policies that are consistent with that.
94 I think that effectively the Board has to ensure that it is not
95 allowing a return on capital that is higher than would
96 otherwise be required as a result of actions of the
97 shareholder and I think that the way that it can do that is
98 by the type of approach that I have put forward in terms of
99 determining what the overall cost of capital should be and
100 I think that Dr. Kalymon, although we may not agree
101 specifically on the value of the equity return, but his
102 approach would be similar so that we would ensure that the
103 cost of capital overall is not, that's paid by customers is not
104 greater than it should be because of actions of the
105 shareholder.

1 MR. NOSEWORTHY, CHAIRMAN: Thank you. That's my
2 only question on the dividend policy. Ms. Whalen, do you
3 have any follow-up?

4 COMMISSIONER WHALEN: I may. I'll just ...

5 MR. NOSEWORTHY, CHAIRMAN: Okay. The next
6 question I have relates to, you indicated that the
7 methodology that, or the approach that you've taken
8 indeed in looking at Hydro would be by way of proxy,
9 looking at other similar companies. What would they be or
10 where would they be?

11 MS. McSHANE: Well ...

12 MR. NOSEWORTHY, CHAIRMAN: You have mentioned
13 17 companies yesterday in respect to the comparable
14 earnings test. Would they be the type of companies you'd
15 ...

16 MS. McSHANE: Well they would be one type of company.
17 That would be looking at unregulated companies. The
18 other types of companies that you would look at would be
19 other utilities with market data. The reason that you have
20 to have companies with market data is because those are
21 the only ones for which investors have spoken, if you will,
22 on the relative risk from which you can derive risk values,
23 discounted cash flow cost estimates. In this particular
24 evidence, my samples of proxy utilities included those
25 utilities which are publicly traded in Canada as well as a
26 sample of low risk, electric utilities operating in the United
27 States.

28 MR. NOSEWORTHY, CHAIRMAN: So this is a finite list
29 that you would have looked at by way of comparison?

30 MS. McSHANE: It will change. I mean, obviously what's,
31 you know, what's a low-risk electric utility today may not
32 be a low-risk electric utility two years down the road
33 because it's decided to pursue a strategy of acquiring non-
34 regulated generation. So the criteria for selecting
35 companies should stay pretty much the same but the actual
36 companies that fit those criteria will change, and the criteria
37 obviously are not standard. I mean, everybody who
38 applies different tests has somewhat different criteria.

39 MR. NOSEWORTHY, CHAIRMAN: So in relation to going
40 through this process though you would derive or develop
41 that criteria ...

42 MS. McSHANE: Yes.

43 MR. NOSEWORTHY, CHAIRMAN: ... and you would
44 assess that against a number of companies ...

45 MS. McSHANE: Correct.

46 MR. NOSEWORTHY, CHAIRMAN: ... which you would
47 select.

48 MS. McSHANE: Correct.

49 MR. NOSEWORTHY, CHAIRMAN: Is that correct? Okay.
50 Another question I have, and it's perhaps the little bit of a
51 flip side of my first question actually, and it relates to the
52 fact that in looking at the capital structure and the three
53 percent, I think at this point in time, which everybody
54 concludes is not the appropriate return at this point in time,
55 and indeed we all understand the reasons that would be
56 put forward, and there is certain things, I would think, that
57 would have to be done despite the fact that Hydro is
58 planning to come back in 2003, in two years' time, in relation
59 to movement toward a more satisfactory debt to equity
60 ratio. What is it that you feel that Hydro needs to be doing
61 to, over the next couple of years, to put themselves in a
62 position to prepare, if you will, for that application and
63 following on any principles that the Board might lay down
64 in relation to this application?

65 MS. McSHANE: One thing I think that Hydro should be
66 doing is addressing its philosophy and concerns with its
67 shareholder to make its shareholder aware of the
68 importance of maintaining a dividend policy which allows
69 it to achieve the parameters that it wants to achieve, and in
70 that regard, you know, making them aware that in order for
71 it to operate as a commercial entity that it needs to be able
72 to plan for whatever capital expenditures that are required
73 and whatever financing is required in the same framework
74 as a company that actually is operating in a commercial
75 context. The other thing that comes to mind is, and this is
76 sort of generic, I suppose, in focus, is that Hydro should
77 probably be looking, in the same way as other electric
78 utilities are looking, at ways to make their operations as
79 efficient as possible so that to the extent that it can achieve
80 returns that are higher than the simple allowed return,
81 because of efficiencies and productivity that it has
82 produced, that internally it has set the stage for being able
83 to build up the equity.

84 (11:00 a.m.)

85 MR. NOSEWORTHY, CHAIRMAN: Okay, thank you. My
86 next question relates to the ... you seem to have commented
87 on the fact that at 60/40 the guarantee fee would likely not
88 be necessary. Am I ...

89 MS. McSHANE: That was ...

90 MR. NOSEWORTHY, CHAIRMAN: ... understanding you
91 ...

92 MS. McSHANE: Yes.

93 MR. NOSEWORTHY, CHAIRMAN: ... to say that? Is that
94 a sort of a straight line ratio as Hydro would move from
95 85/15 toward that, that the fee would actually decline?

96 MS. McSHANE: That would be my testimony, yes.

1 MR. NOSEWORTHY, CHAIRMAN: Could decline.

2 MS. McSHANE: But that effectively as you move closer to
3 60/40, the value of that does decline.

4 MR. NOSEWORTHY, CHAIRMAN: Okay. And I just have
5 one final question and it relates to the belt and suspender
6 analogy, I guess. I guess over two years I certainly could
7 lose weight, become leaner, my belt could become too big,
8 and consequently my pants, you know what would happen
9 to them. (*laughter*) So I want to ... so the idea of having
10 suspenders may not be necessarily a bad idea. Are there
11 any other circumstances that you, that could occur indeed
12 where a range of earnings may be appropriate? And I know
13 you've responded to a question this morning and said,
14 along these lines, and said if the return on rate base
15 exceeded 9.25 percent you would feel that that might be
16 appropriate. Are there any other circumstances where
17 indeed you might feel that might be appropriate?

18 MS. McSHANE: I'm sorry, I'm not following, what
19 circumstances you're, you might be referring to.

20 MR. NOSEWORTHY, CHAIRMAN: I think you were
21 commenting on the fact that you feel that a range of
22 earnings, in response to Mr. Fitzgerald's question
23 yesterday, that a range of earnings really wouldn't be
24 necessary, that the chances are remote, I believe that's the
25 word you used, the chances are remote in terms of getting
26 to a point where you need to stipulate a range essentially,
27 and I'm wondering are there any circumstances that might
28 exist? You talk about, a little while ago, the need, I guess,
29 over the next two years for Hydro to become more efficient
30 and presumably on that basis earnings could increase. Are
31 there any other circumstances where a range might be
32 appropriate, because I get the impression that you really
33 don't feel a range of earnings would be necessary, that
34 that's an issue that we should even be addressing?

35 MS. McSHANE: I guess that my conclusion that a range
36 wasn't necessary was driven by the fact that there is such
37 a spread between what the Company is asking for and what
38 a reasonable upper end of the range would be, that I felt
39 that the probability of getting to a reasonable upper end of
40 the range was so small that it wasn't necessary to initiate an
41 upper end of the range for the return on rate base, and
42 when you're dealing with the Utility only, it just seems that
43 going from 3 percent to, say, 13 1/4 percent, is so highly
44 unlikely that it wouldn't be necessary, and I can't think of
45 any circumstances off the top of my head that would allow
46 the Company to go from 3 percent to 13 1/4 percent.

47 MR. NOSEWORTHY, CHAIRMAN: Ms. McShane, that's
48 all I have. Thank you very much. I'll go back to my
49 colleague now, Ms. Whalen, to see if she has any further
50 questions on dividend.

51 COMMISSIONER WHALEN: Yeah, I do just ... I think it's
52 just one question actually, and I think you alluded to it in
53 your response to the Chair's question on what Hydro has
54 to do to get to the commercially viable structure, capital
55 structure. On page 25 of your direct evidence, when you're
56 talking about the 75 percent target pay-out ratio, you make
57 a statement that, "Given Hydro's high debt ratio relative to
58 (inaudible) target, the dividend pay-out should be
59 structured so as to provide Hydro the opportunity to
60 achieve a commercially-viable capital structure." And I
61 guess my first question would be, first part of my question
62 would be that if we continue to see the level of dividend
63 pay-outs that we've seen over the last three years, and I
64 think in each case they've exceeded the 75 percent target
65 pay-out ratio, that this would, would this affect Hydro's
66 ability to achieve the commercially sound viable structure
67 that you refer to?

68 MS. McSHANE: If the pursuit of the dividend policy is
69 such that there is no room for improvement in the capital
70 structure, yes, I mean, that's what's going to happen, so, I
71 mean, in order for them, for the Company to achieve the
72 proposed targets, I mean, it has to convince the
73 shareholder that they work together to ensure that the
74 targets can be met.

75 COMMISSIONER WHALEN: And I guess that leads into
76 my, the second part of my question, and it relates to the
77 comment I think you made yesterday, or perhaps it was
78 Monday, when Ms. Butler was (inaudible), that you made
79 the comment that the dividend policy should be based on
80 the needs of the Corporation and not the needs of the, well
81 in this case, the Government, which is the shareholder, and
82 I'm wondering how that comment or that statement actually
83 comes into play practically for Hydro and I guess your
84 comment to the Chair a few minutes ago that the Board
85 really has no role there, that has to be something that
86 happens between Hydro and its shareholder, that they
87 have to have that discussion to come up with an
88 understanding, I guess, (inaudible) for where they're going.
89 But would the dividend policy as it exists have to change
90 either in substance or even in terms of the actual numbers
91 to allow that shift from it being a policy or a demand based
92 on the Government, the shareholder's needs as opposed to
93 the Corporation's needs?

94 MS. McSHANE: I'd like to preface my answer by stating
95 that if I said exactly what you said, I may have overstated
96 the, what the rights of the shareholder are. Clearly the
97 dividend policy of any corporation is going to be a balance
98 between what the shareholders want and what the
99 corporation needs. If, for example, we have a company that
100 is a utility and then the shareholders expect a certain
101 dividend policy from a utility that's different from the
102 dividend policy of a high growth (phonetic) company

1 which may pay no dividends. That having been said, I
2 mean, I think you can put an additional caveat on the
3 dividend policy which refer to the needs for, you know,
4 capital expenditures, but at the end of the day, I mean, the
5 policy is only a policy and perhaps there does need to be
6 some further tightening of the policy which reflects a
7 shareholder's understanding of what the needs of the
8 corporation are so that it's not just, for example, and this is
9 just an example, it's not just at 75 percent of net income but,
10 you know, perhaps it's, the level of that may be changed to
11 reflect the fact that there is an agreement between
12 shareholder and management that, for the target capital
13 structure ratios to be achieved there has to be some
14 different amount of operating income that's paid out.

15 COMMISSIONER WHALEN: And just the last question
16 on the issue of catch-up, I think it was referred to this
17 morning on redirect by Ms. Greene, do most investor-
18 owned utilities typically pay out the maximum dividend
19 allowed in every given year?

20 MS. McSHANE: I think we have to distinguish between
21 utilities that actually pay dividends as in a dollar per share
22 per quarter and utilities who pay first to the corporate
23 parent and then the corporate parent pays to the individual
24 shareholder.

25 COMMISSIONER WHALEN: That would be the case of
26 Fortis, Newfoundland Power, that it ...

27 MS. McSHANE: Right.

28 COMMISSIONER WHALEN: ... that last example.

29 MS. McSHANE: And I'm not ... if I use Fortis and
30 Newfoundland Power as an example, I'm only using it
31 totally illustratively. I don't ... you know, I'm not making
32 any comments about what they actually do but just what
33 they can do. A company like Fortis which has various
34 subsidiaries which will produce various flows of income in
35 every given year may take dividends from the individual
36 subsidiaries in very varying amounts from year to year,
37 depending on what those particular entities are doing, what
38 cash flows they're producing, so that it can ultimately
39 maintain a fixed dividend per share to its individual
40 shareholders, so typically what you'll see is that a utility
41 like Fortis will, you know, they may pay a dividend of \$1
42 per share and, you know, their policy is perhaps to, on
43 balance, pay out a certain amount of income, but really
44 what you observe is that they're going to try to maintain
45 the dividend per share and grow it over time. They're not
46 going to say, well, this year it's \$1, but next year I made less
47 money so it's going to be 95 cents. No, I mean, that's not
48 the way it's going to work. It's going to at least be \$1
49 unless for unforeseen reasons there is just no way that it
50 can pay the dividend, but it will make every attempt to
51 maintain and grow the dividend over time.

52 COMMISSIONER WHALEN: So if the owner doesn't take
53 out the maximum that they can take out based on policy or
54 what they are able to take, would there normally be sort of
55 a carry over amount that is understood it could be taken at
56 any, at a subsequent time?

57 MS. McSHANE: I have to say that I really haven't studied
58 what other companies have done in that regard, but I think
59 in principle there doesn't seem to be any reason why they
60 shouldn't be able to.

61 COMMISSIONER WHALEN: I guess that's fine then.

62 MS. McSHANE: Yeah.

63 COMMISSIONER WHALEN: That's ... yeah. It was just
64 really to, the issue came up this morning about the 40
65 percent since 1975 and the last three years. I was just
66 trying to understand that in principle there's ...

67 MS. McSHANE: I mean, they are entitled to the earnings
68 and, I mean, there's no reasoning in principle that they
69 shouldn't be able to play catch-up in that sense.

70 COMMISSIONER WHALEN: Okay. I apologize for the
71 disjoint ...

72 MR. NOSEWORTHY, CHAIRMAN: Thank you, Ms.
73 Whalen.

74 COMMISSIONER WHALEN: Thank you very much.

75 MR. NOSEWORTHY, CHAIRMAN: Thank you once
76 again, Ms. McShane. I apologize to those who have
77 dependence on nicotine or caffeine. *(laughter)* We're
78 running 20 minutes over but I thought it would be
79 appropriate to try and complete the Board questions, in any
80 event. We'll come back around 11:30 hopefully, 11:35, and
81 we'll begin questions on matters arising. Thank you.

82 *(break)*

83 *(11:40)*

84 MR. NOSEWORTHY, CHAIRMAN: Thank you. We can
85 proceed directly to questions now on matters arising. We
86 begin with Newfoundland Power, please, Ms. Butler.

87 MS. BUTLER, Q.C.: Thank you, Mr. Chairman. Ms.
88 McShane, I'm sure there won't be difficulty with anybody
89 else in the room, this question actually arises from Ms.
90 Greene's redirect that resulted from a correction to the
91 transcript from a question that I had asked on October 29th,
92 rather than a question from the Panel, if I might. Can we
93 see the transcript for October 29th, please, and it was page
94 15. And the question that was put to you started at line 11
95 in the hard copy. There you go. The question has now
96 been technically corrected so that it reads, "Okay. And Mr.
97 Wells, as President, testified that the increase in wholesale
98 rates over the five-year financial planning horizon would be

1 at total of 26 percent." And what I need to follow through
2 with you, Ms. McShane, is whether, in fact, with that
3 correction, your answer to the question at page 19 remains
4 ... I'm sorry, at line 19 remains the same?

5 MS. McSHANE: Well, that's sort of difficult to say, now,
6 that the answer is the same, since we've gone back and
7 looked at the transcript. So I'd say that my understanding
8 is the testimony of Mr. Wells.

9 MS. BUTLER, Q.C.: I guess the question was, though, that
10 an 11.25 percent return would be a significant contributor
11 to the increase, whether it's an increase ...

12 MS. McSHANE: Oh, I'm sorry, you're looking at those
13 lines?

14 MS. BUTLER, Q.C.: Yes.

15 MS. McSHANE: Yes, in principle the answer would remain
16 the same.

17 MS. BUTLER, Q.C.: Thank you. Mr. Chairman, the only
18 other question I have arises from **Exhibit KM-3** which was
19 entered this morning. I believe it's electronically stored.
20 What I'd like to do, Ms. McShane, if you can bear with me,
21 is indicate the impact if the debt equity ratios were, in fact,
22 80/20 and the cost of debt remained at 8.35 and the return
23 on equity remained at 3 percent. So we can do the math as
24 we sit here, can we not?

25 MS. McSHANE: Yes.

26 MS. BUTLER, Q.C.: Okay.

27 MS. McSHANE: We can do math. Sorry, have we gotten
28 as far as a question yet?

29 MS. BUTLER, Q.C.: Well, what I'd like the Board to see is
30 the effect on the return on rate base of debt to equity ratio
31 of 80/20 with the costs remaining as they are in your table,
32 at 8.35 and 3 respectively?

33 MS. McSHANE: So, you want me to take a rate base
34 number and multiply the ...

35 MS. BUTLER, Q.C.: No.

36 MS. McSHANE: Sorry.

37 MS. BUTLER, Q.C.: No, no, I don't want you to do the rate
38 base number, Ms. McShane. Bear with me.

39 MS. McSHANE: Okay.

40 MS. BUTLER, Q.C.: This concerns the issue of the Board
41 deeming a capital structure appropriate. And what I'm
42 suggesting to you was if the deemed capital structure
43 appropriate was, rather than 85/15, 80/20.

44 MS. McSHANE: Oh, I'm sorry, okay.

45 MS. BUTLER, Q.C.: Okay. And assuming the costs, as
46 you've indicated them in your table, remain the same. Can
47 we just indicate to the Board, please, what the weighted
48 components would be and what the return on rate base
49 would be. It should be lower, right?

50 MS. McSHANE: Well, that follows.

51 MS. BUTLER, Q.C.: Okay.

52 MS. McSHANE: The same thing as doing 75/25 and ...

53 MS. BUTLER, Q.C.: Well, we can do that too, if you wish.
54 But if you could bear with me and just follow through with
55 the example for the benefit of the Board. The 80 percent
56 times 8.5 would give you a weighted component of what?

57 MS. McSHANE: 668.

58 MS. BUTLER, Q.C.: Thank you. And the 20 times 3 would
59 give you .6?

60 MS. McSHANE: Yes.

61 MS. BUTLER, Q.C.: For a total of 7.28 as the return on rate
62 base?

63 MS. McSHANE: Yes.

64 MS. BUTLER, Q.C.: Can we do it again, then, for the 75/25?
65 Cost of debt should be 6.26? Am I correct?

66 MS. McSHANE: Yes.

67 MS. BUTLER, Q.C.: And the return in equity .75?

68 MS. McSHANE: Yes.

69 MS. BUTLER, Q.C.: For a total of 7.01 return on rate base?

70 MS. McSHANE: Yes.

71 MS. BUTLER, Q.C.: Okay. Thank you, very much. Thank
72 you, Mr. Chairman, those are my questions on redirect.

73 MR. NOSEWORTHY, CHAIRMAN: Thank you, Ms.
74 Butler. We move now to the Industrial Customers, please?
75 (11:45)

76 MR. HUTCHINGS: Thank you, Mr. Chair. Ms. McShane,
77 I just wanted to pick up on a point that Commissioner
78 Powell raised arising from page 20 of your pre-filed
79 evidence where you talk about the cost benefit to
80 customers being the exemption from income tax, and you
81 discussed that with Mr. Powell, to some extent, this
82 morning. Along those lines I take it you'd be familiar with
83 the type of financing that I understand exists in the United
84 States which I don't believe exists in Canada which is a tax
85 free municipal bond?

86 MS. McSHANE: Yes.

87 MR. HUTCHINGS: Okay. How do the ... I mean, can you
88 just explain for us what those are?

1 MS. McSHANE: They are bonds that are issued by
2 municipalities for public works, typically, and they are not
3 subject to ... the interest on them is not subject to income
4 tax.

5 MR. HUTCHINGS: Okay. So no matter who holds these
6 particular bonds there is no income tax on the interest that
7 is paid on them, is that correct?

8 MS. McSHANE: Correct.

9 MR. HUTCHINGS: Okay. Alright. And typically, how do
10 the yields on those sorts of bonds compare to normal
11 taxable bonds?

12 MS. McSHANE: They're lower.

13 MR. HUTCHINGS: They are lower. Do you know by how
14 much?

15 MS. McSHANE: No.

16 MR. HUTCHINGS: Okay. If I were to suggest to you that
17 the yield, in fact, may be 60 percent of a taxable bond is that
18 ... would you accept that?

19 MS. McSHANE: That makes sense, yes.

20 MR. HUTCHINGS: It makes sense, okay. Alright. So, in
21 the case of the equity that's held by the government in
22 Newfoundland and Labrador Hydro, there is no income tax
23 that accrues to the government on its dividend yield out of
24 the equity, is there?

25 MS. McSHANE: There's no income tax paid.

26 MR. HUTCHINGS: No.

27 MS. McSHANE: So, no, there's no tax allowance in the
28 revenue requirement required to cover off the return on
29 equity.

30 MR. HUTCHINGS: Okay. But from the point of view of the
31 investor, let's look at an investor in an investor owned
32 utility, a private individual, the return that that individual is
33 getting to the extent that it shows up in his income, either
34 as dividend or capital gain, is generally going to be taxable
35 in some form or another?

36 MS. McSHANE: Yes.

37 MR. HUTCHINGS: Okay.

38 MS. McSHANE: Unless it's in an RRSP or in a pension
39 fund it won't be taxable.

40 MR. HUTCHINGS: Okay. But in general, the returns that
41 are paid by investor owned utilities to their shareholders
42 result in those shareholders having to pay some tax?

43 MS. McSHANE: I don't know that you can say that's
44 generally true. I mean, a significant amount of the
45 investments are held in tax free funds and are not taxable.

46 MR. HUTCHINGS: Do you know what the proportion is?

47 MS. McSHANE: Not off the top of my head, no.

48 MR. HUTCHINGS: Okay. You referred to RRSPs ... I don't
49 know what the situation is with IRAs in the United States,
50 but when one takes money out of an RRSP one pays tax on
51 it, in any event.

52 MS. McSHANE: Right, that's correct.

53 MR. HUTCHINGS: So that even if the gains accrue without
54 tax for a period of time there's ultimately a tax associated
55 with it?

56 MS. McSHANE: Ultimately, yes.

57 MR. HUTCHINGS: Okay. So what other sorts of tax free
58 funds were you talking about?

59 MS. McSHANE: There are registered education savings
60 plans and there are all sorts of major pension funds, like the
61 teachers' pension fund, the KESS (phonetic) in Quebec, all
62 those kinds of funds.

63 MR. HUTCHINGS: Yeah. And those funds, to the extent
64 that they ultimately pay out a pension, those pensions are
65 taxable, are they?

66 MS. McSHANE: Then pensions would ultimately be
67 taxable.

68 MR. HUTCHINGS: Okay. So one way or another the tax
69 man gets his cut?

70 MS. McSHANE: At some point, yes.

71 MR. HUTCHINGS: At some point, yeah, okay, but in terms
72 of the return that an investor would require, if the investor,
73 at some point, as I say, has to pay some tax, the investor
74 needs a return that's going to cover his tax as well as what
75 he really wants to put in his pocket, correct?

76 MS. McSHANE: That's true for individual investors, yes.

77 MR. HUTCHINGS: Yes, okay. The individual's investor
78 focuses on after tax returns?

79 MS. McSHANE: The taxable individual retail investor?

80 MR. HUTCHINGS: Yes.

81 MS. McSHANE: Yes.

82 MR. HUTCHINGS: Okay. And so, to the extent that the
83 universe of investors in IOUs are taxable they need a larger
84 return than they would need if they were not taxable, do
85 you agree?

86 MS. McSHANE: Generally speaking, that's true, but that's
87 not the way that the required returns on equity for investor
88 owned utilities are typically evaluated. I mean, we do not,
89 in the context of regulatory proceedings, try to determine

1 what the tax position is of the individual investors.

2 MR. HUTCHINGS: No, because it would be practically
3 impossible to do that.

4 MS. McSHANE: Right, and a significant number of them
5 are not taxable.

6 MR. HUTCHINGS: Yeah. There would be some that would
7 be not taxable, others that would be taxable at different
8 rates?

9 MS. McSHANE: That's correct.

10 MR. HUTCHINGS: But overall, would you agree with me
11 that the effective universal tax rate for the universe of
12 investor owned utility investors is not zero?

13 MS. McSHANE: That's probably true.

14 MR. HUTCHINGS: Yes, okay. On the other hand, we do
15 know that the effective tax rate for the shareholder of
16 Newfoundland and Labrador Hydro is zero, correct?

17 MS. McSHANE: Yes.

18 MR. HUTCHINGS: And have you adjusted your required
19 rate of return downwards to take into account the fact that
20 Hydro doesn't need to recover ... the Government of
21 Newfoundland doesn't need to recover any tax?

22 MS. McSHANE: No, I have not.

23 MS. GREENE, Q.C.: Excuse me, I would like to object to the
24 line of questioning. I wonder if Mr. Hutchings could
25 indicate how this relates to a clarification of a question
26 arising from the Panel. This is not supposed to give the
27 opportunity to do cross one may have forgotten to do, and
28 I think I've been indulgent, to date, with this, and I wonder
29 if he could indicate how this does relate to a clarification
30 and how much more he has with this line of questioning?

31 MR. HUTCHINGS: Mr. Chair, Commissioner Powell raised,
32 this morning, the issue that is raised at the bottom of page
33 19 and the top of page 20 as to what are the actual cost
34 benefits to customers from the fact that Hydro is, in fact, a
35 Crown corporation. And this is one aspect of those
36 benefits, from our point of view, that was not raised by Ms.
37 McShane, in her discussion this morning with Mr. Powell.
38 I mean, I'm effectively very close to the end, if not at the
39 end of my discussion with Ms. McShane, but I don't think
40 that's relevant one way or the other. I think it is very
41 appropriate that this is a question that arose out of the
42 issue raised by Mr. Powell this morning which had not
43 been raised with Ms. McShane earlier.

44 MS. GREENE, Q.C.: But it certainly was raised in Ms.
45 McShane's evidence. And the opportunity was there of
46 Mr. Hutchings, as counsel, if the Industrial Customers
47 wished to pursue it. My concern is with respect to

48 questions arising from questions of the Commissioner, we
49 not sway back into cross-examination, which has happened
50 before with the Industrial Customers and which, in my
51 view, is happening again. Ms. Butler, with respect to hers,
52 did ask a question which, again, not necessarily from
53 redirect, but I didn't object at that time because it is helpful
54 to the Board from time to time for lawyers not to rely on
55 their strict legal rights and to ensure that all the information
56 is there before the Panel. However, I am concerned with
57 respect to the scope that has occurred twice now on
58 questions arising from the Commissioners. And I'll leave it
59 at that if Mr. Hutchings has said he's near the end of this
60 particular line of questioning.

61 MR. NOSEWORTHY, CHAIRMAN: Thank you, Ms.
62 Greene. Mr. Hutchings.

63 MR. HUTCHINGS: Thank you, Mr. Chair. I'm trying to get
64 back to exactly where we were, Ms. McShane. Did you
65 answer my question as to whether or not you had, in fact,
66 made any adjustment to your proposed allowed rate of
67 return to take into account the fact that the Government of
68 Newfoundland, as shareholder, did not need to recover any
69 tax allowance in respect of this investment in Hydro?

70 MS. McSHANE: No, I did not.

71 MR. HUTCHINGS: Okay. Thank you. I want to refer, also,
72 to a question that you discussed with the Chair this
73 morning in terms of how the Board could deal with the
74 issue of payment out of dividends by Newfoundland and
75 Labrador Hydro, and you said this was, in fact, a very
76 difficult question. Would you agree with me that dividends
77 can only be paid out of Hydro from retained earnings?

78 MS. McSHANE: Yes.

79 MR. HUTCHINGS: Okay. Would you agree with me that
80 the Board, in fact, has the power to direct the manner in
81 which Newfoundland and Labrador Hydro keeps its code
82 of accounts, keeps its financial accounts?

83 MS. McSHANE: Yes.

84 MR. HUTCHINGS: Okay. So, would there be a possibility
85 to accommodate the Chairman's request by the Board
86 directing Hydro to retain certain amounts in certain
87 accounts, which would, therefore, not be available out of
88 the retained earnings account for the purpose of payment
89 of dividends?

90 MS. McSHANE: I don't think I'm qualified to answer
91 whether that's in the Board's purview or not.

92 MR. HUTCHINGS: Okay. Alright, that's fine. That's a
93 question that you would defer, perhaps, to an accountant
94 or, I mean ...

95 MS. McSHANE: Well, no, I'm not sure it's a question for

1 an accountant. I mean, I think it's a question for somebody
2 who ... perhaps a lawyer who understands what the Board
3 can and cannot do.

4 MR. HUTCHINGS: Okay. That's fine. Thank you, Ms.
5 McShane. Thank you, Mr. Chair. Those are all my
6 questions.

7 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.
8 Hutchings. Consumer Advocate, Mr. Fitzgerald, please?

9 MR. FITZGERALD: Thank you, Mr. Chairman. Ms.
10 McShane, just one area. And this question really arises
11 from a line of questioning that was pursued by
12 Commissioner Powell and the Chair, again, regarding the
13 range of a rate of return on rate base. And just to go
14 through it, I think this morning you mentioned that if you
15 were pressed to put a range on the upper limit of rate of
16 return on rate base that that would be a figure of 9.25
17 percent?

18 MS. McSHANE: Yes.

19 MR. FITZGERALD: Did you say that? And that's based
20 on a capital structure of 85/15?

21 MS. McSHANE: Yes.

22 MR. FITZGERALD: Yes, okay. So now, I think you've also
23 given evidence that you believe that a range is not
24 something that the Board should be concerned with, it's
25 probably irrelevant in this case, because of, in your
26 estimation, the unlikelihood of Hydro achieving such
27 returns in the test year?

28 MS. McSHANE: Correct.

29 MR. FITZGERALD: But you have said, if pushed, it would
30 be nine and a quarter?

31 MS. McSHANE: Correct.

32 MR. FITZGERALD: Now, obviously that's a weighted
33 figure that would include a return on equity and a return on
34 debt. Could you quickly, for the Board, calculate what
35 return on equity would be if the weighted average rate base
36 was nine and a quarter? Would you have a figure in mind?

37 MS. McSHANE: What, what the upper end of the range of
38 the return ...

39 MR. FITZGERALD: Well, what would that wash out to, to
40 give Hydro on a rate of return on its equity alone?

41 MS. McSHANE: It's 13 and a quarter, approximately.

42 MR. FITZGERALD: Thirteen and a quarter?

43 MS. McSHANE: Right. The idea was that they would
44 have a spread of 200 basis points on the rate of return on
45 equity which represents about 15 percent of the capital.

46 MR. FITZGERALD: Okay. So you would say that, just to
47 get this straight, now, that if ... based on a capital structure
48 of 85/15?

49 MS. McSHANE: Right.

50 MR. FITZGERALD: Based on a total return rate base of
51 nine and a quarter?

52 MS. McSHANE: Correct.

53 MR. FITZGERALD: That if you spit that out the rate of
54 return on equity is only going to be 13 percent?

55 MS. McSHANE: The idea was that to determine what a
56 range would be.

57 MR. FITZGERALD: Yeah.

58 MS. McSHANE: Okay. I would say that given the fact that
59 85 percent of the capital is debt, and most of the debt cost
60 is embedded, that you don't need to make allowance for a
61 significant deviation from the forecast cost of debt in the
62 guarantee fee. So, what I did was took the 8.35 percent
63 debt cost and said, well, a reasonable allowance would be
64 at 25 basis points on the debt cost. So, perhaps the debt
65 cost could be as high as 855. That's ...

66 MR. FITZGERALD: Okay. I would suggest to you that
67 we've calculated that and we arrive at a figure that's
68 significantly higher than that as a return on equity. So I'm
69 wondering if I could request an undertaking from you to
70 actually illustrate your calculation for the Board?

71 MS. McSHANE: Absolutely.

72 MR. FITZGERALD: Okay. So, you would indicate,
73 however, to the Board, that based on your figures that the
74 rate of return on equity would be 13 and ...

75 MS. McSHANE: And a quarter.

76 MR. FITZGERALD: And a quarter?

77 MS. McSHANE: That was the intention.

78 MR. FITZGERALD: Okay.

79 MS. McSHANE: And so, I will go through and produce a
80 schedule showing how I arrived at that.

81 MR. FITZGERALD: Okay. Now, your evidence to the
82 Board, though, has been that a reasonable rate of return on
83 equity for Hydro, and I think this morning you said you
84 might even be prepared to put the mid range at 11 percent?

85 MS. McSHANE: That's correct.

86 MR. FITZGERALD: Eleven percent. Which you have
87 categorized as a fair and reasonable return on rate basis ...
88 I'm sorry, on equity?

89 MS. McSHANE: Correct.

1 MR. FITZGERALD: Correct. So, by implication, then, what
2 would a 13.25 percent return on equity be defined as?

3 MS. McSHANE: I'm not sure you'd define it as anything.

4 MR. FITZGERALD: Would you still classify it as a fair
5 return on equity?

6 MS. McSHANE: It's not unreasonable to expect the returns
7 for utilities to vary plus or minus two percent from the level
8 that's allowed.

9 MR. FITZGERALD: Have you presented any illustration,
10 whatsoever, indicating that any of your selected companies
11 have achieved a return like that on equity?

12 MS. McSHANE: Of 200 basis points above what's been
13 allowed?

14 MR. FITZGERALD: Um hm.

15 MS. McSHANE: Not to my knowledge, in this evidence,
16 but clearly, that's ... I mean, that's been the case in the past.

17 MR. FITZGERALD: Okay, but not as your evidence as
18 filed here?

19 MS. McSHANE: I have not presented a table in here which
20 does a comparison of actual and allowed returns, no.

21 MR. FITZGERALD: Okay, those are my questions, Mr.
22 Chairman.

23 MR. NOSEWORTHY, CHAIRMAN: Thank you, Mr.
24 Fitzgerald. Mr. Kennedy, Board counsel, do you have any?
25 (12:00)

26 MR. KENNEDY: I have no questions, Mr. Chair.

27 MR. NOSEWORTHY, CHAIRMAN: Thank you, very
28 much. Ms. Greene, anything arising from that?

29 MS. GREENE, Q.C.: I have no questions.

30 MR. NOSEWORTHY, CHAIRMAN: Thank you, very
31 much, Ms. McShane, for your testimony. Thank you. It is
32 five after. We have 25 minutes. I'm just trying to establish
33 now, would you be prepared to bring on your next witness,
34 Mr. Hall?

35 MS. GREENE, Q.C.: Yes, Mr. Chair, Mr. Hall is available as
36 the next witness to start at this time.

37 MR. NOSEWORTHY, CHAIRMAN: Okay.

38 MS. GREENE, Q.C.: I will not be very long with Mr. Hall.

39 MR. NOSEWORTHY, CHAIRMAN: Okay. Do you, Ms.
40 Butler, have an element or a component that you could get
41 through in 25 minutes.

42 MS. BUTLER, Q.C.: Sure, no problem, no problem.

43 MR. NOSEWORTHY, CHAIRMAN: Okay. Thank you,

44 Ms. McShane, once again. Good morning, Mr. Hall.

45 MR. HALL: Good morning.

46 MR. NOSEWORTHY, CHAIRMAN: Welcome. You have
47 the Bible. Do you swear on this Bible that the evidence to
48 be given by you shall be the truth, the whole truth, and
49 nothing but the truth, so help you God?

50 MR. HALL: I do.

51 MR. NOSEWORTHY, CHAIRMAN: Thank you, very
52 much. You can be seated. I'd ask Ms. Greene to continue.

53 MS. GREENE, Q.C.: Mr. Hall, pre-filed evidence was filed
54 in your name with Hydro's application on May 31st. Do
55 you adopt this pre-filed evidence as your evidence for the
56 purpose of this hearing?

57 MR. HALL: Yes, I do.

58 MS. GREENE, Q.C.: That concludes the direct examination
59 of Mr. Hall by Hydro.

60 MR. NOSEWORTHY, CHAIRMAN: Thank you, Ms.
61 Greene.

62 MS. BUTLER, Q.C.: Mr. Chairman, thank you.

63 MR. NOSEWORTHY, CHAIRMAN: Newfoundland Power.

64 MS. BUTLER, Q.C.: Good afternoon, Mr. Hall. I noticed in
65 your pre-filed evidence you work with the Royal Bank
66 Financial Group?

67 MR. HALL: Yes, that's correct.

68 MS. BUTLER, Q.C.: And you hold a chartered financial
69 analyst designation?

70 MR. HALL: Yes.

71 MS. BUTLER, Q.C.: Can you advise the Board, please, how
72 long RBC Dominion Securities has been advising Hydro?

73 MR. HALL: That's actually in the filed testimony. I went
74 back 50 years and got tired, so it's more than 50 years.

75 MS. BUTLER, Q.C.: In excess of 50 years?

76 MR. HALL: Yes.

77 MS. BUTLER, Q.C.: And during that time period did you
78 also check, Mr. Hall, to see what advice had been given to
79 Hydro on the capital structure that they should maintain?

80 MR. HALL: I haven't done an extensive review, although
81 partners of mine in the past have testified in previous rate
82 hearings.

83 MS. BUTLER, Q.C.: And the answer is, what advice has
84 been given in relation to the debt equity ratio?

85 MR. HALL: To my knowledge, we have not been asked on
86 debt equity ratios in the past because of the interest

- 1 coverage form of regulation in the past.
- 2 MS. BUTLER, Q.C.: Can you tell us, then, what form the
3 advice did take?
- 4 MR. HALL: Again, I'm sorry, I'm recalling it was the
5 partners rather than myself having done this, but the
6 testimony in the past was an adequate interest coverage
7 ratio that would allow the Company to access the capital
8 markets.
- 9 MS. BUTLER, Q.C.: And the form that that advice would
10 take, was it annual letters or what?
- 11 MR. HALL: No, I'm sorry, I'm referring to formal rate
12 hearings.
- 13 MS. BUTLER, Q.C.: Yes. But was there, in addition to
14 advice or a testimony at formal rate hearings, any reports
15 that were submitted to Hydro on an annual or other basis
16 in relation to financial advice?
- 17 MR. HALL: Not to my knowledge, but I could check for
18 that.
- 19 MS. BUTLER, Q.C.: I'm sorry?
- 20 MR. HALL: Not to my knowledge, no.
- 21 MS. BUTLER, Q.C.: Much of your testimony surrounds
22 credit ratings, is that correct?
- 23 MR. HALL: Yes, it does.
- 24 MS. BUTLER, Q.C.: Okay. And can you tell the Board,
25 please, the purpose of obtaining credit ratings?
- 26 MR. HALL: Now, the general purpose of a credit rating for
27 a corporation is to provide investors, potential investors in
28 the bonds of that company, with a snapshot of the credit
29 strength, credit worthiness of that company so they can be
30 compared on a fairly easy basis with other companies of
31 similar risk, so that the investors can determine whether
32 they wish to purchase those bonds or not.
- 33 MS. BUTLER, Q.C.: And specifically, can you tell us who
34 or what DBRS is?
- 35 MR. HALL: DBRS stands for the Dominion Bond Rating
36 Service which is one of the services that ... actually, it's
37 now the only service available in Canada that does that
38 sort of credit rating work on behalf of potential investors.
- 39 MS. BUTLER, Q.C.: I wonder if we might turn then
40 electronically, to your evidence, Schedule 1, and have a
41 quick glance of what you provided here? Schedule 1 has
42 three pages, which is up to the top right-hand corner. So
43 we have page 1 of 3, which is indicated as Provincial
44 Ratings, Long-term Debt, Province of Newfoundland and
45 Labrador. And then page 2, if we might? A different
46 document. Commercial Paper and Short-term Debt Ratings,
- 47 Newfoundland and Labrador Hydro. And then as page 3,
48 again, a third distinct document, Bond, Long-term Debt and
49 Preferred Share Ratings for Newfoundland and Labrador
50 Hydro, correct?
- 51 MR. HALL: Yes.
- 52 MS. BUTLER, Q.C.: And, Mr. Hall, am I correct in
53 suggesting that each of these distinct documents would be
54 generally longer than one page and that what you've
55 attached to your Schedule 1 summary ... I'm sorry, Schedule
56 1 evidence, is a summary page from each of these three
57 distinct documents?
- 58 MR. HALL: Yes.
- 59 MS. BUTLER, Q.C.: Can we go back, then to page 1 of 3?
60 And, of course, all three of these are by the same DBRS
61 Bond Rating Service. The first one is dated, in the top
62 right-hand corner, July 13th, 2000, indicating previous
63 report July 22nd, '99. So when this report is dated July
64 13th, 2000 it covers the period, the 12 month period in
65 between?
- 66 MR. HALL: Generally, no. That's the date that it's been
67 produced and they usually are covering the fiscal year
68 1999, which in that case is what they were doing. They
69 have to wait that long for the financial results to be
70 available.
- 71 MS. BUTLER, Q.C.: Okay. And given that this is now
72 October, 2001, I presume that this document, of which
73 you've provided us with the summary page only, would
74 have been redone?
- 75 MR. HALL: Yes, it has been.
- 76 MS. BUTLER, Q.C.: And do you have, with you, the
77 revised document?
- 78 MR. HALL: I have the Company's and I have the
79 commercial paper. I'm not sure, because I was just looking
80 while you were talking, whether I have the Province or not,
81 but it's easily obtainable, yes.
- 82 MS. BUTLER, Q.C.: Okay. Well, in fact, we have it with us.
83 Do you agree that generally that would be the current
84 version of the same information for the benefit of the
85 Board?
- 86 MR. HALL: If it's dated around October.
- 87 MS. BUTLER, Q.C.: Of 2001?
- 88 MR. HALL: Of 01, yes, it is.
- 89 MS. BUTLER, Q.C.: Okay. Well, I wonder, since we've got
90 that available and to be copied I'll just get that handed out.
91 The report is actually dated July 24th, 2001, Mr. Hall?
- 92 MR. HALL: Yes, I see that.

1 MR. NOSEWORTHY, CHAIRMAN: Do we need to mark
2 this?

3 MR. KENNEDY: Yes, Chair. It's NP No. 5.

4 **EXHIBIT NP-5 ENTERED**

5 MR. NOSEWORTHY, CHAIRMAN: Thank you.

6 MS. BUTLER, Q.C.: So you would be familiar with this
7 report, Mr. Hall?

8 MR. HALL: Yes.

9 MS. BUTLER, Q.C.: Okay, and to the extent that it is the
10 most current report, similar to the front page of what we
11 have on the screen, we'll just take a look. I think it's eight
12 pages in length?

13 MR. HALL: Is that a question? Yes, it is.

14 MS. BUTLER, Q.C.: The first four pages are text and the
15 last four are tables?

16 MR. HALL: Yes.

17 MS. BUTLER, Q.C.: Now, the asterisks at the top of the
18 page, please, page 1, in reference to the long-term debt?

19 MR. HALL: Yes.

20 MS. BUTLER, Q.C.: Indicates that this is, of course,
21 issued and guaranteed by the Province including
22 Newfoundland and Labrador Hydro and the Municipal
23 Financing Corporation?

24 MR. HALL: Yes. On this particular report that's just
25 highlighting for the reader that the Province also
26 guarantees those other two entities.

27 MS. BUTLER, Q.C.: Yes. Under the heading of Rating
28 Update as well as under the heading of Rating
29 Considerations, Strengths and Weaknesses, can you tell
30 us, please, what reference you note of the Province's debt
31 rating, including a consideration of Hydro's long-term
32 debt?

33 MR. HALL: There is no consideration of Hydro's long-term
34 debt on this report because it's dealt with on a separate
35 report for Hydro itself.

36 MS. BUTLER, Q.C.: Okay. And if you looked through the
37 remainder of the text of the report at pages 1 to 4 the only
38 other reference I noted to Hydro was on page 3 in the
39 second column. Towards the bottom one third of that
40 second column is a paragraph beginning with "The
41 difference between," do you see that?

42 MR. HALL: Yes, I do.

43 MS. BUTLER, Q.C.: The Bond Rating Service indicates
44 that the difference between the DBRS forecast and the
45 Province's 31 million budgeted deficit reflects adjustments

46 made by DBRS and the fourth of those adjustments is to
47 include the net income of Newfoundland and Labrador
48 Hydro instead of its dividend?

49 MR. HALL: Yes.

50 MS. BUTLER, Q.C.: Correct?

51 MR. HALL: Yes.

52 MS. BUTLER, Q.C.: Which is how the Province records its
53 return from Hydro on its own books?

54 MR. HALL: That's my understanding, the Province records
55 the dividend that it receives and not the net income, but
56 Dominion Bond Rating Service considers this to be a
57 wholly owned subsidiary of a company, and therefore it's
58 entitled to the entire net income of the company the way a
59 normal corporation would account, so they've made an
60 adjustment.

61 MS. BUTLER, Q.C.: Okay, and I think similar notes follow
62 in the tables on pages 5 through 8. Start with page 5, first.
63 There's a footnote about halfway down. Can you just read
64 that for me, Mr. Hall, please, "Historical DBRS"?

65 MR. HALL: I was afraid you were going to do this. Now
66 I have to get my reading glasses out and tell you how old
67 I am. I'll try it when I'm working. "Historical DBRS
68 suggested the fiscal results have been revised to be
69 comparable with other provinces. The revisions include
70 converting to a modified accrual basis and including the
71 net income of Newfoundland and Labrador Hydro rather
72 than the dividends paid. However, the budget and
73 projected numbers continue to be on a modified cash
74 basis."

75 MS. BUTLER, Q.C.: And a similar note at the bottom of
76 page 6, note 3, I believe. You want to try that?

77 MR. HALL: I'm ready. Oh, you want me to read that too?

78 MS. BUTLER, Q.C.: Please.

79 MR. HALL: Okay. I'm sorry. "DBRS includes, in revenues,
80 the net income of Newfoundland and Labrador Hydro
81 rather than the dividends paid to the Province. The
82 adjustment converts back to dividends. It includes
83 dividends in excess of less than earnings and special
84 dividends fees."

85 MS. BUTLER, Q.C.: Okay. Can we conclude, Mr. Hall, from
86 the few references in the Province's long-term debt rating
87 by DBRS to Hydro, that DBRS does not appear to consider
88 Hydro to be a significant strength or weakness in
89 establishing the Province's bond rating?

90 (12:14)

91 MR. HALL: No, I wouldn't say that. They clearly have
92 considered Newfoundland and Labrador Hydro's financial

1 results. In fact, they've created two separate reports which
2 talk very specifically about the Company. And I think
3 that's evidence that this is an important consideration for
4 DBRS in determining the Province's own credit rating.

5 MS. BUTLER, Q.C.: Okay. In terms of Hydro's debt equity
6 ratio currently, the range of 85/15 or 83/17, depending on
7 what time of year we take, certainly dealing with the current
8 debt equity ratio, do you have any indication that there has
9 been a negative effect on the Province's debt rating of
10 Hydro's debt equity ratio?

11 MR. HALL: That's a very difficult question to answer,
12 because, as you would expect DBRS to do, they don't have
13 formulas that are easily duplicated to determine their
14 ratings. They use a combination of quantitative and
15 qualitors (sic.) or subjective factors and come up with the
16 rating that they apply. And so, it's very difficult, indeed,
17 it's impossible for anyone outside of DBRS to determine the
18 specific strength of any particular factor that they use in
19 the rating they come up with. As I said, I think it's
20 important to recognize that they think it's important enough
21 to do individual credit analysis of those companies ... sorry,
22 of this Company, which is an indication that they consider
23 it quite important. But what weight they would apply and
24 if there was pressure on the rating because of that is
25 impossible for outsiders to tell.

26 MS. BUTLER, Q.C.: Well, do you have any evidence to
27 suggest that Hydro's debt equity ratio had negatively
28 impacted upon the Province's debt rating by DER?

29 MR. HALL: No, there has been never ... sorry, to my
30 knowledge, there has never been a downgrade which
31 would be clear evidence of the Province's rating because of
32 Hydro's performance. It's as heavy handed as that in terms
33 of being able to find an example. It is true, however, that
34 this particular rating agency has spent the last four or five
35 years emphasising to governments that have high
36 leveraged utilities like this that they are concerned.

37 MS. BUTLER, Q.C.: Concerned about?

38 MR. HALL: The level of the debt equity ratio.

39 MS. BUTLER, Q.C.: Okay. Perhaps we can just leave
40 Schedule 1 for the moment. I'm going to turn, now, to the
41 other two, but I need to break for a second and just go back
42 to the President, Mr. Wells' testimony on September 24th.
43 I think what I'm looking for was at page 32, lines 26 to 30 of
44 the hard copy. It turns out to be the same here. The
45 question I had put to Mr. Wells at that time, Mr. Hall, was
46 whether, to his knowledge, Hydro's operation with a debt
47 equity ratio of 80/20 or 83/17 had any negative impact on
48 the credit rating of the Province, and he indicated, "No, nor
49 should it, at that level for that term." Are you saying
50 something different?

51 MR. HALL: I don't think so, no.

52 MS. BUTLER, Q.C.: Okay. Do you agree with President
53 Wells when he suggests that with a debt equity ratio of
54 80/20 or 83/17 Hydro's debt equity ratio should not have a
55 negative impact on the credit rating of the Province?

56 MR. HALL: Yes, with a caveat, if I may. An 80/20 debt
57 equity ratio, in and of itself, does not mean that there would
58 be a negative impact on the credit rating of the Province, so
59 in that respect, he's right. I would have to assume that in
60 addition to that, however, that there's a proper rate of
61 return on the 20 percent equity that would allow sufficient
62 cash flow to make that so. In other words, that 80/20, by
63 itself, if the equity portion, the 20 percent was earning no
64 return, just to take an extreme example, then I would have
65 to disagree. But I don't believe that's what he is saying.

66 MS. BUTLER, Q.C.: Let's turn, then, if we might, to page 2
67 of your Schedule 1. Now, we have the Company's, that's
68 Newfoundland and Labrador Hydro's Commercial Paper
69 and Short-term Debt Rating, September 20th, 2000. And
70 just take a quick glance at page 3, the Company's bond,
71 etcetera, ratings, September 20th, 2000. You indicated that
72 both of these have been updated?

73 MR. HALL: Yes.

74 MS. BUTLER, Q.C.: And do you have either handy for the
75 Board?

76 MR. HALL: I have both here. You can make copies if
77 that's ... if you want them.

78 MS. BUTLER, Q.C.: If they're not yet copied then we
79 shouldn't give them out, but we have one of them copied.
80 I believe it to be the Company's Bond Long-term Debt and
81 Preferred Share Ratings, which is page 3. So perhaps we'll
82 just pass out page 3 and over the lunch maybe we can
83 accomplish page 2?

84 MR. HALL: Oh, sure.

85 MS. BUTLER, Q.C.: Okay.

86 MR. KENNEDY: NP No. 6, Chair.

87 **EXHIBIT NP-6 ENTERED**

88 MR. NOSEWORTHY, CHAIRMAN: Thank you.

89 MS. BUTLER, Q.C.: Now I want to take a very brief minute
90 to compare, because the format of the most recent report,
91 which is now dated October 2, 2001 is slightly different.
92 Looking at the screen we'll see that under the reference to
93 Newfoundland and Labrador Hydro the asterisks indicates
94 that the rating is a flow through of the rating of the
95 Province of Newfoundland and Labrador which guarantees
96 the Utility's debt, and this report analyses the Utility. On
97 the hand-out now **NP-6** I wonder, Mr. Hall, if you might

1 just read in the sentence that's in brackets under?

2 MR. HALL: "The rating is based on the Provincial
3 guarantee. This report specifically analyses Newfoundland
4 and Labrador Hydro."

5 MS. BUTLER, Q.C.: Okay. But under the update section of
6 NP-6, I believe they do indicate that Newfoundland and
7 Labrador Hydro's rating is a flow through of the rating of
8 the Province of Newfoundland?

9 MR. HALL: Yes.

10 MS. BUTLER, Q.C.: Okay. Am I correct in saying that
11 although the report presented here analyses Hydro's
12 financial situation, the rating afforded to Hydro is what it is
13 because the Province guarantees Hydro's debt?

14 MR. HALL: Yes.

15 MS. BUTLER, Q.C.: And the Company then gets the same
16 rating as the Province?

17 MR. HALL: Correct.

18 MS. BUTLER, Q.C.: And looking at the rating history on
19 the screen in comparison to the one that's in our hands
20 we'll see that historically it was low Triple D and that
21 changed between '97 and '98 to Triple B and remains at
22 Triple B. And Mr. O'Rielly, if we might just go back to page
23 1 of 3 of the Schedule 1? The same thing happened to the
24 Province in the same year, correct, it went from low Triple
25 B to Triple B?

26 MR. HALL: Yes.

27 MS. BUTLER, Q.C.: I'm going to move away from the
28 Schedule 1, for the moment, and into your testimony on
29 page 2, that's your pre-filed. Now, at line 23 when asked
30 what business entity you were reviewing you indicated
31 that you were reviewing the regulated portion of Hydro's
32 business, including the supply of power to its customers?

33 MR. HALL: Yes.

34 MS. BUTLER, Q.C.: Can I ask you where you obtained the
35 regulated business information, given that Hydro, as a
36 company, has both regulated and non-regulated portions?

37 MR. HALL: Yes. I just looked at the material that the
38 Company had prepared to file for this hearing.

39 MS. BUTLER, Q.C.: And can you be a little more specific
40 in terms of where we might look to find the portions that
41 were regulated and the particular documents on which you
42 concentrated or focused that would have assisted you in
43 determining what was regulated?

44 MR. HALL: No, I can't. Although, I didn't make the
45 determination of what was regulated and what was
46 unregulated, the Company itself did, and the reason for that

47 comment that I have put in there was to ensure that people
48 were aware that I was looking at the regulated assets that
49 this Board is concerned with and not the unregulated
50 assets. But the determination of that distinction was a
51 Company one.

52 MS. BUTLER, Q.C.: This is a point, though, that I need to
53 understand myself in going forward with your cross-
54 examination, Mr. Hall. So can you tell me, please, what you
55 understand to be a description of the regulated operations?

56 MR. HALL: Yes. The business of Hydro as pertaining to
57 the generation and transmission and small distribution arm
58 of the business that provides electrical service to
59 customers in Newfoundland and Labrador is the purpose
60 of this hearing, in my understanding. And it specifically
61 excludes the ownership that this company has in the
62 Labrador Hydro ... I said that wrong, Churchill Falls
63 developments.

64 MS. BUTLER, Q.C.: And the recall sales to Hydro Quebec,
65 are they, to your understanding, included or excluded?

66 MR. HALL: Excluded.

67 MS. BUTLER, Q.C.: And have you personally assessed,
68 from a financial statement point of view, what assets are
69 regulated verses non-regulated in the sense of perhaps
70 taking apart the consolidated financial statements of the
71 Company, was that an exercise that you, yourself, engaged
72 in?

73 MR. HALL: No, I did not.

74 MS. BUTLER, Q.C.: Was information provided to you by
75 Hydro in instructing you, that set out the regulated assets?

76 MR. HALL: Well, as I said, the materials that were filed for
77 this hearing, to my understanding, are the regulated assets
78 and the regulated business, so I reviewed those materials.

79 MS. BUTLER, Q.C.: Included in what you reviewed, Mr.
80 Hall, would have been the consolidated financial
81 statements though?

82 MR. HALL: I have seen the consolidated financial
83 statements, yes.

84 MS. BUTLER, Q.C.: Yes, which includes regulated verses
85 non-regulated?

86 MR. HALL: Correct.

87 MS. BUTLER, Q.C.: Right. And, as I understand it, Mr.
88 Hall, there are no such things as non-consolidated financial
89 statements for the regulated operations, are there?

90 MR. HALL: I'm not aware that there are any specific non-
91 consolidated or just regulated assets, no.

92 MS. BUTLER, Q.C.: Or just the non-regulated?

- 1 MR. HALL: Or just the non-regulated.
- 2 MS. BUTLER, Q.C.: That being the case, Mr. Hall, can you
3 tell us how you reconciled regulated verses non-regulated
4 assets for the purpose of the task or assignment given to
5 you by Hydro?
- 6 MR. HALL: I didn't reconcile them because I didn't feel
7 that I need to. I was looking at the regulated assets with
8 the materials filed by the Company and considered what I
9 believe to be an appropriate capital structure and cost of
10 debt for that entity.
- 11 MS. BUTLER, Q.C.: I'm sorry, for what entity?
- 12 MR. HALL: The regulated entity that's been filed in this
13 hearing.
- 14 MS. BUTLER, Q.C.: Okay. So, and we'll break in a moment,
15 Mr. Hall. But just so we're clear, the entity is, of course,
16 Newfoundland and Labrador Hydro, that is the
17 incorporated body?
- 18 MR. HALL: Okay. Sorry, I'll stop using that word.
- 19 MS. BUTLER, Q.C.: Alright. And there is no separate
20 company that contains the regulated assets, correct?
- 21 MR. HALL: Not to my understanding, no.
- 22 MS. BUTLER, Q.C.: Right. Which I know may be
23 somewhat unusual for this business, but that is the case.
24 So ...
- 25 MR. HALL: Actually, it's not unusual, no. There's a
26 number of companies in the utility world that have legally
27 separated their businesses between regulated and non-
28 regulated.
- 29 MS. BUTLER, Q.C.: Uh hum.
- 30 MR. HALL: So as to avoid confusion on the part of the
31 Board in determining what to look at and what not to look
32 at.
- 33 MS. BUTLER, Q.C.: Right.
- 34 MR. HALL: But there are also a number of companies that
35 have not done that, and it's, I'm sure, a cause of some
36 confusion from time-to-time, but generally speaking is not
37 a big issue.
- 38 MS. BUTLER, Q.C.: Is not a what?
- 39 MR. HALL: Is not a big issue.
- 40 MS. BUTLER, Q.C.: It's not a big issue?
- 41 MR. HALL: No.
- 42 MS. BUTLER, Q.C.: Okay. Because in preparing for
43 general cross-examination, on a generic basis, of various
44 witnesses, I must say, I had some difficulty trying to
- 45 separate out from the consolidated financial statements
46 what may be regulated and non-regulated. So if there is
47 something that you have found more helpful to you in
48 sorting out that confusion I'd be obliged if you could refer
49 us to it so that perhaps we might refer to that during the
50 course of your cross-examination. And, Mr. Chairman, I
51 can stop there for the lunch break.
- 52 MR. NOSEWORTHY, CHAIRMAN: Thank you, Ms.
53 Butler. Thank you, Mr. Hall. We'll reconvene at 2:00.
- 54 *(break)*
- 55 *(2:00 p.m.)*
- 56 MR. NOSEWORTHY, CHAIRMAN: Thank you and good
57 afternoon. Any preliminary matters, Counsel, before we
58 begin?
- 59 MR. KENNEDY: Not that I'm aware of, Chair.
- 60 MR. NOSEWORTHY, CHAIRMAN: No undertakings, Ms.
61 Greene?
- 62 MS. GREENE, Q.C.: There were no undertakings yesterday,
63 Mr. Chair, but we do have a copy of the third of the three
64 reports referred to by counsel for Newfoundland Power just
65 prior to the break, completed by DBRS, and I have copies
66 of that to distribute at this time, I believe that was a
67 request.
- 68 MR. NOSEWORTHY, CHAIRMAN: Thank you.
- 69 MR. KENNEDY: We should label that DH No. 1, Chair.
- 70 MR. NOSEWORTHY, CHAIRMAN: Thank you.
- 71 **EXHIBIT DH-1 ENTERED**
- 72 MR. NOSEWORTHY, CHAIRMAN: (inaudible), Ms.
73 Butler, thank you.
- 74 MS. BUTLER, Q.C.: So Mr. Hall, the exhibit that's now
75 been entered as DH-1, for the benefit of the record,
76 represents the full and updated copy of what was Schedule
77 2, page 2, of your pre-filed?
- 78 MR. HALL: Yes, I believe so.
- 79 MS. BUTLER, Q.C.: Thank you. Can I ask you whether
80 you gave any thought during the lunch break to my
81 request that you, or give me any references to any portion
82 of the cases you reviewed that may be particularly helpful
83 to resolving any confusion between consolidated versus
84 the regulated only portion of Hydro's financial statements?
- 85 MR. HALL: Yes, I thought about it. I'm sorry, I didn't come
86 up with anything that I think would be helpful to your
87 request, except for what's been filed by the company.
- 88 MS. BUTLER, Q.C.: I wonder if we might look then to NP-
89 6, which was the updated version of the DBRS rating on

1 Hydro bonds, and what I'm pursuing here is your evidence,
2 of course, Mr. Hall, that in giving your evidence, and
3 reviewing information provided by Hydro, of course, you
4 were concerned about regulated operations only.

5 MR. HALL: Yes.

6 MS. BUTLER, Q.C.: And the DBRS bond rating for Hydro,
7 under the heading of "update", and this is the hard copy,
8 of course, because ... oh, okay, grand, you've got it entered
9 already ... indicates about halfway down, the sentence
10 starting with ... oh, sorry, no halfway down the update
11 section. The utility's net earnings and cash flows fell
12 significantly in 2000, largely due to the revenue cap on
13 export sales to Hydro Quebec under the three year recall
14 agreement which ended in March 2001, is that correct?

15 MR. HALL: It's funny, I can't see that but I remember
16 reading it. Yes, that's right.

17 MS. BUTLER, Q.C.: Okay, and at the end of that same
18 section, update, the favourable renegotiation of the recall
19 agreement with Hydro Quebec for another three years such
20 result in a rebound in the utility earnings in 2001 and a
21 further increase in 2002, correct?

22 MR. HALL: Yes.

23 MS. BUTLER, Q.C.: These references tell me that, of
24 course, DBRS is looking at Hydro's consolidated situation
25 as opposed to its regulated only situation.

26 MR. HALL: Yes, I believe that's correct.

27 MS. BUTLER, Q.C.: In the section, Considerations, which
28 is just below. Yeah, there you go. The DBRS indicates that
29 it considers one of its strengths, that is Hydro's strengths,
30 is two thirds interest in Churchill Falls.

31 MR. HALL: Yes.

32 MS. BUTLER, Q.C.: Which is also not something that
33 you've considered because you're looking at regulated
34 only?

35 MR. HALL: Yes.

36 MS. BUTLER, Q.C.: And in the Challenges section,
37 likewise, it makes reference to large Labrador projects which
38 could pressure key debt ratios should construction
39 commence. Is that outside what you reviewed as well?

40 MR. HALL: Yes, though, I don't think those are in or out
41 of regulation because they're not in existence yet, but I did
42 not consider them, no.

43 MS. BUTLER, Q.C.: Now, in the DBRS report, in the table
44 at the bottom there, the net debt in capital structure for,
45 and it's the second line there, yeah, percentage net debt in
46 capital structure for 2000 is 66.4 percent.

47 MR. HALL: Yes.

48 MS. BUTLER, Q.C.: And of course, in your evidence, we
49 don't need to look at it specifically, but you are referring to
50 the debt ratios being, or the debt to equity ratios being 83.2
51 percent.

52 MR. HALL: Yes.

53 MS. BUTLER, Q.C.: The difference between the 66.4
54 percent and the 83.2 percent represents the non-regulated
55 operations?

56 MR. HALL: Yes.

57 MS. BUTLER, Q.C.: Does DBRS or any other rating
58 service, to your knowledge, rate Hydro's regulated only
59 operations?

60 MR. HALL: No.

61 MS. BUTLER, Q.C.: So how do bondholders obtain
62 information on the regulated only portion of Hydro?

63 MR. HALL: They don't.

64 MS. BUTLER, Q.C.: Can I turn now, Mr. Hall, to your
65 evidence on the debt guarantee and the fee that's paid for
66 it, and page 5 of your pre-filed addresses this in part, line 8.

67 MR. HALL: And while you're finding that reference, I
68 should qualify that any potential bond investors that really
69 wanted to find the regulated business portion could read
70 the transcripts and the filings from the Public Utilities
71 Board and they could find it. I don't imagine many of them
72 do.

73 MS. BUTLER, Q.C.: Sorry, Mr. Hall, while you're back at
74 that point then, can I ask you whether in your experience,
75 bondholders actually do that?

76 MR. HALL: No, they don't.

77 MS. BUTLER, Q.C.: What we're addressing now in terms
78 of the debt guarantee and the fee that's paid for it, is that
79 your evidence at line 8 here, which addresses the question
80 of whether there are advantages associated with a
81 provincial guarantee, and which, of course, you say,
82 provides a number of benefits, all of which you list there,
83 and I don't think I'm going to ask you to read them all but
84 can I suggest to you, Mr. Hall, that in fact, you are in
85 favour of the provincial guarantee of Hydro's debt?

86 MR. HALL: I'm going to have to ask you in what context
87 you would want me to judge whether I'm favourable or not.

88 MS. BUTLER, Q.C.: I don't particularly have a context.
89 You addressed the benefits that are provided by the
90 guarantee, so perhaps you could just tell me whether you,
91 in the capacity for which you're called today, support the
92 fact that there is a guarantee?

1 MR. HALL: Yes, I do think it's favourable in that context
2 because with the guarantee of the province, the company
3 can access the capital markets using the provincial credit
4 rating and therefore can raise the funds that they need
5 when they need them, and that without that provincial
6 guarantee, given the financial results of the company and
7 the leverage that it has, there would certainly be times
8 when that was questionable, and it would be more
9 expensive.

10 MS. BUTLER, Q.C.: Do you also support the guarantee fee
11 as reasonable?

12 MR. HALL: I listened with great interest to analysis that
13 comes up with a conclusion that it does, because it's a first
14 time I've seen a calculation that rationalizes the percentage,
15 but it certainly doesn't seem out of line, particularly in the
16 context of other utilities in Canada that pay a similar fee.

17 MS. BUTLER, Q.C.: And you're referring to Kathleen
18 McShane's evidence today or yesterday?

19 MR. HALL: Yes.

20 MS. BUTLER, Q.C.: Back one page then, I think to page
21 four, lines 9 and 10 of your pre-filed, you state that a
22 reasonable target for Crown corporations without
23 guarantees is a debt level of 55 to 60 percent?

24 MR. HALL: Yes.

25 MS. BUTLER, Q.C.: And on the same page at lines 22 to
26 25, I think you suggest that Hydro should, in your view,
27 target a debt level of 55 to 60 percent?

28 MR. HALL: Yes.

29 MS. BUTLER, Q.C.: Currently with the guarantee in place,
30 are there any debt rating implications to Hydro of not
31 reaching the 60 percent debt level?

32 MR. HALL: No, if you're at 83.17 and don't deteriorate
33 further, the answer is no.

34 MS. BUTLER, Q.C.: And have you prepared any studies to
35 determine the impact to consumers of eliminating the debt
36 guarantee?

37 MR. HALL: No.

38 MS. BUTLER, Q.C.: Okay, the province pays one percent
39 for the ... I'm sorry, Hydro pays the province one percent
40 for the debt guarantee?

41 MR. HALL: Yes.

42 MS. BUTLER, Q.C.: And accepting what you heard this
43 morning or yesterday from Ms. McShane as reasonable,
44 have you seen the May 1995 report prepared by Scotia
45 McLeod?

46 MR. HALL: Yes, I've read that. I'm sorry, is that on the

47 dividend policy?

48 MS. BUTLER, Q.C.: It does address the dividend policy,
49 but I think it also addresses the guarantee fee.

50 MR. HALL: Okay, yeah.

51 MS. BUTLER, Q.C.: Perhaps we might get that on the
52 screen. It's **NP-169**, page 5 of 11, please? Okay, here we
53 have a Scotia McLeod review of electric utility dividend
54 compatibles, at least as it stood in 1995, and the column
55 that's headed up, Guarantee Fee, Long Term Debt ... just
56 queue right over, thank you ... suggests BC Hydro had no
57 guarantee fee, nor did Sask Power. Manitoba Hydro paid
58 a half a percent and so did Ontario Hydro, Hydro Quebec.
59 New Brunswick Power paid .65 percent, and Newfoundland
60 and Labrador Hydro paid one. Were you aware of that
61 comparable?

62 MR. HALL: Yes.

63 MS. BUTLER, Q.C.: And in column eight, Scotia McLeod
64 looks also at the long-term debt to capital ratios which at
65 that point ranged from 68.9 for Saskatchewan Power, to as
66 high as 93.7 for Manitoba Hydro.

67 MR. HALL: Yes.

68 MS. BUTLER, Q.C.: Looking at this comparable table, Mr.
69 Hall, I wonder if you can tell us what relationship there
70 appears to be between the guarantee fee to the level of
71 long-term debt to capital?

72 *(2:15 p.m.)*

73 MR. HALL: I'm not sure, I know I can't answer that
74 question in any completeness because the method of
75 determining what the guarantee fee is is a mystery to me
76 because it's within the provincial government's negotiation
77 with their Crowns. I would say one influence would be the
78 relative business risks of those utilities, for example,
79 comparing Manitoba Hydro to this utility would be ...
80 Manitoba Hydro is almost entirely hydroelectric, a stable
81 business that probably one could argue had a lower
82 business risk and therefore less risk of financial disaster,
83 and therefore the fee could be slightly lower, but I'm not
84 aware of any calculation or any report that's ever been
85 done to explain the difference.

86 MS. BUTLER, Q.C.: On the basis of this table, clearly
87 Newfoundland Hydro paid the highest guarantee fee.

88 MR. HALL: Yes.

89 MS. BUTLER, Q.C.: And at the time that it paid the highest
90 guarantee fee, I believe it had the second lowest debt to
91 capital ratio.

92 MR. HALL: Yeah, I'm not sure whether that was the
93 regulated utility numbers that Scotia Capital put in that

1 letter, or whether that was consolidated, so I wouldn't be
2 able to comment on that 71 percent. I could check it, but I
3 just don't know.

4 MS. BUTLER, Q.C.: Well let's look at another example.
5 Ontario Hydro paid only one half a percent to its guarantor
6 while it had a debt of 91.6 percent.

7 MR. HALL: Yes.

8 MS. BUTLER, Q.C.: I guess what's jumping off the table at
9 me is that Hydro paid the highest rate, while it had the
10 second lowest debt to capital ratio, and I'm wondering
11 whether if other guarantors accepted less, why should our
12 ratepayers pay more?

13 MR. HALL: Well, as I said, I have to caution on the 71
14 percent because it looks similar to the 66 percent which the
15 company now has which is consolidated, not regulated, so
16 I'm not sure that that comparable is as direct as it might be.
17 The only thing that I might say is that there are all of five
18 data points on that chart and so to determine that it's the
19 right rate because of another province in Canada is
20 probably a little too easy, but there should be some
21 analysis of what advantages there are to the, sorry, to the
22 guarantee fee ... to the guarantee, and therefore what fee
23 should be paid for it, and that's the analysis that I think
24 we've done here reasonably well to justify the one.

25 MS. BUTLER, Q.C.: Have you done any independent
26 analysis or study in assessing the fee that Newfoundland
27 and Labrador Hydro pays to the government for its
28 guarantee?

29 MR. HALL: No, I should also point out on that chart, just
30 to clarify that Ontario Hydro since 1995 no longer exists as
31 it did then, and of course, does not pay a guarantee fee any
32 longer. It has restructured.

33 MS. BUTLER, Q.C.: Great. I'm going to turn now if I might
34 to issues of capital structure which are also addressed in
35 your testimony at page 11, line 29, and here, I think, Mr.
36 Hall, if you don't mind, I'd like you to read, starting with,
37 "There are two", which is the sentence at the end of that
38 line, going to page 12.

39 MR. HALL: There are two parameters that are seen as
40 integral to the assessment by rating agencies of its
41 financial self-sufficiency ... it is Hydro. The first is a history
42 of consistent and healthy financial ratios. The second is an
43 adequate equity base supported by an appropriate return
44 on equity, and a reasonable dividend payout ratio. Both
45 factors are necessary to provide a level of protection
46 against unforeseen events.

47 MS. BUTLER, Q.C.: Okay, I'd like to address the second of
48 the two first, and that is the adequate equity base. In your
49 opinion, and we already saw this, I believe, at page five of

50 your testimony, the debt level of Hydro at 83.2 percent is
51 too high.

52 MR. HALL: I believe it is, yes.

53 MS. BUTLER, Q.C.: Okay, and the reverse of that has to be
54 that the 15.3 percent equity component, or 17.3 is too low.

55 MR. HALL: Yes, in general. Are you asking in context of
56 financial self-sufficiency?

57 MS. BUTLER, Q.C.: I'm asking in the context of the
58 reference made by yourself at page 11 and 12.

59 MR. HALL: Yeah, okay, well in the context, there is a
60 slightly different definition of financial self-sufficiency
61 which is used in this context, and it doesn't require, let's
62 say the 60/40 debt equity ratio that I do recommend that
63 this company operate under. In order to attain financial
64 self-sufficiency, you can get there with a higher leverage
65 and lower equity base.

66 MS. BUTLER, Q.C.: Okay, but looking at the evidence
67 that's on our screen, we're talking about parameters integral
68 to the assessment by rating agencies.

69 MR. HALL: Yes.

70 MS. BUTLER, Q.C.: And you talk about an adequate
71 equity base and the question is is 15 or 17 percent an
72 adequate equity base?

73 MR. HALL: In isolation it's difficult to answer that
74 question, as I alluded to earlier, because you need to ask
75 the return on equity that comes with that low equity base
76 as well. In other words, you have to look at the three
77 things actually that are in that sentence in order to answer
78 the question, but in danger of leaping ahead somewhat,
79 with a reasonable rate of return, I think that the 80/20 or
80 83/17 ratio would be considered by the rating agencies to
81 be sufficiently financially self-sufficient, and that's
82 evidenced by the fact that they are not downgrading or
83 impacting the province at these levels.

84 MS. BUTLER, Q.C.: To be fair to the evidence as you gave
85 it in your pre-filed, wouldn't you also have to say that there
86 would have to be a reasonable dividend payout ratio too?

87 MR. HALL: Yes.

88 MS. BUTLER, Q.C.: Okay, so you're suggesting that the
89 second of your parameters has to be a review of not only
90 the adequate equity base, but an appropriate return on
91 equity and a reasonable dividend payout ratio?

92 MR. HALL: Yes.

93 MS. BUTLER, Q.C.: Okay, now you did suggest in your
94 pre-filed, a 75 percent debt to equity ratio as a reasonable
95 short-term goal for Hydro?

1 MR. HALL: Yes.

2 MS. BUTLER, Q.C.: Can you tell us what you define as
3 short-term?

4 MR. HALL: Well, I'm an investment dealer, so my
5 definition of short-term is different than Ms. McShane's.

6 MS. BUTLER, Q.C.: Yes.

7 MR. HALL: I thought that two or three years was, at least
8 in my world, two or three years is considered a short-term,
9 call it five to seven medium-term, and anything longer than
10 that is long. I wasn't specifically suggesting 2.3 or any
11 particular number but just a directional move towards the
12 75/25.

13 MS. BUTLER, Q.C.: Okay, that's fine. Now in your pre-
14 filed you did say that an IOU or a Crown corporation
15 operating in commercial terms with no guarantee should
16 have a 40 or 45 percent equity component.

17 MR. HALL: Yes.

18 MS. BUTLER, Q.C.: Is that the short-term goal, or medium
19 term goal, or long-term goal that you recommend for
20 Hydro?

21 MR. HALL: Again, my perspective is from a financial side
22 only and so as soon as it's practically possible to get to
23 that level, I think it would serve the province well. The
24 mechanics of getting there and the time it takes and the
25 impact on rates that comes with that is something that I did
26 not judge, or didn't make a recommendation on.

27 MS. BUTLER, Q.C.: Okay, I accept that and I accept that
28 your perspective is from the financial side only but do you
29 have a perception of what you meant in terms of achieving
30 that goal, five, seven, ten years?

31 MR. HALL: The 60/40 or the 75/25?

32 MS. BUTLER, Q.C.: The 45 percent equity component.

33 MR. HALL: No, I didn't have a particular time, but I think
34 it's reasonable to say in the mid-term as defined as five to
35 seven years, but I haven't worked out the numbers that
36 would get you there, and it does obviously depend upon
37 the economic activity in this province.

38 MS. BUTLER, Q.C.: Okay, I accept that. I also accept that
39 you, as you say, have not looked at the mechanics of
40 getting there, or the effect on rates of achieving the goal,
41 but are you aware of any specific plans that Hydro has to
42 move towards 40 percent equity?

43 MR. HALL: No, I am not aware of any, I don't believe there
44 are any in place. My understanding is that the company is
45 waiting for some direction from this Board as to their
46 indication of what the Board would like to see before they
47 formulate a formal plan.

48 MS. BUTLER, Q.C.: So to the extent that Hydro awaits the
49 determination of this Board which is fair, to implement a
50 particular, or develop and implement a plan, they may very
51 well accept your advice, that is Hydro may accept your
52 advice to move towards that target if the Board also
53 accepts that target as reasonable. Is that what you're
54 suggesting?

55 MR. HALL: Yes.

56 MS. BUTLER, Q.C.: Are you aware that in a previous
57 hearing, Hydro was directed by this Board, as previously
58 constituted, to move towards an 80/20 debt to equity ratio?

59 MR. HALL: Yes, I am.

60 MS. BUTLER, Q.C.: I wonder if we can look at **IC-197**
61 please? The attached schedule, thanks, and can you
62 enlarge it a bit? I think we'll have to go back to about 150,
63 Terry. Okay. Now here we have the equity portion of the
64 debt equity ratios for the period '92 to 2002, starting at 1992,
65 the company was at 17.61, and managed to get in 1995 as
66 high ... I'm sorry, 1994, 19.55, almost to 20, and '95, 19.43.
67 And then 1997 and 1998, 1999, they were actually above the
68 80/20 ratio in the sense that equity was over 20 percent, but
69 in 2000 it slipped and the forecast for 2001 and 2002 is
70 significant slippage to 17.7 or 12.93. You're obviously
71 aware of this forecast and this history. Can you tell us, Mr.
72 Hall, whether you have given Hydro any advice with
73 respect to their forecasts for 2001 and 2002 relevant to the
74 equity component of their debt equity ratio?

75 MR. HALL: No, I have not.

76 MS. BUTLER, Q.C.: Do you accept that the large dividends
77 forecast for 2002 is the primary contributor to the decline in
78 the equity portion of the ratio?

79 MR. HALL: That and the inadequate earnings, between
80 the two of them, yes.

81 MS. BUTLER, Q.C.: Okay, thank you. I wonder if I can just
82 go back to Schedule 2 of your pre-filed testimony, and here
83 we have the financial ratios, first of all of government
84 owned utilities, and then towards the bottom of the table,
85 investor-owned utilities, from the DBRS report. I believe
86 this report speaks from 1999, is it, Mr. Hall?

87 MR. HALL: Yes.

88 MS. BUTLER, Q.C.: Now can you just read Newfoundland
89 and Labrador Hydro's figure there for 1999?

90 MR. HALL: 63.1.

91 MS. BUTLER, Q.C.: Okay, and the group average?

92 MR. HALL: 70.3.

93 MS. BUTLER, Q.C.: And of those utility companies,
94 government owned, that had higher debt equity ratios, can

1 we just identify them?

2 MR. HALL: Higher ... the 63.1 is the consolidated, I
3 believe. It's not the ... (inaudible) higher than that 63.1.

4 MS. BUTLER, Q.C.: Thank you, yeah.

5 MR. HALL: BC Hydro, Manitoba Hydro, Hydro Quebec,
6 New Brunswick Power.

7 MS. BUTLER, Q.C.: Now Schedule 6 of your testimony, we
8 see the common dividend payout ratio, but before I actually
9 get into this, I should ask you on Schedule 2 that we were
10 just looking at, when you spoke of the ratio for Hydro
11 being ... I'm sorry, consolidated.

12 MR. HALL: Yes.

13 MS. BUTLER, Q.C.: Do you have any information to assist
14 us in how Hydro's regulated only debt equity ratio
15 compared to the electric industry?

16 MR. HALL: Well, we have the ratios of the regulated utility
17 available as filed testimony. I'm not sure that they would
18 be as easily dropped into that table because you'd have to
19 be careful about what was in the other ones in terms of
20 comparability.

21 MS. BUTLER, Q.C.: Okay, but in terms of suggesting to me
22 that maybe the 63.1 may not be an appropriate figure for
23 comparison purposes, if you've got some other document
24 that you can refer me to ...

25 MR. HALL: No.

26 MS. BUTLER, Q.C.: That might make it clear ...

27 MR. HALL: I don't.

28 MS. BUTLER, Q.C.: ... then we can look at that. Okay,
29 looking at Schedule 6 of your testimony as it relates to
30 common dividend payouts, and this is relevant, of course
31 to the first parameter that you had addressed, being the
32 evidence that I had you read a moment ago at page 11, and
33 that was healthy financial ratios, and ... I'm sorry, maybe I'll
34 just get the actual quote here ... a reasonable dividend
35 payout ratio, I think. Have you seen Hydro's dividend
36 policy, Mr. Hall?

37 MR. HALL: I don't have it with me, but yes, I've seen it.

38 MS. BUTLER, Q.C.: Okay, the one for 2000 as well as the
39 one for 1995?

40 MR. HALL: Yeah.

41 MS. BUTLER, Q.C.: So you're aware that it was 75 percent
42 payout ratio with a caveat on the effect on the debt equity
43 ratio?

44 MR. HALL: Yes.

45 MS. BUTLER, Q.C.: In your pre-filed evidence you said

46 that Hydro's dividend policy was reasonable when
47 compared to various peer group companies.

48 MR. HALL: Yes.

49 MS. BUTLER, Q.C.: And are these the peer group
50 companies that we see on the screen?

51 MR. HALL: Yes.

52 MS. BUTLER, Q.C.: We saw a moment ago that there were
53 four companies, I believe ... and just go back to Schedule 2
54 for one second ... with higher debt equity ratios than
55 Newfoundland Hydro's ... BC, Manitoba, Hydro Quebec,
56 and New Brunswick Power?

57 MR. HALL: Yes.

58 (2:30 p.m.)

59 MS. BUTLER, Q.C.: And can we look at those same four
60 companies on the Schedule 6? Of the four companies that
61 had higher debt equity ratios than Hydro, BC Hydro had a
62 common dividend payout of 62.9 percent.

63 MR. HALL: Yes.

64 MS. BUTLER, Q.C.: Manitoba Hydro paid no dividend at
65 all. Hydro Quebec paid 50 percent and New Brunswick
66 Power paid no dividend at all, is that correct?

67 MR. HALL: Yes.

68 MS. BUTLER, Q.C.: And can you just turn, with that
69 background, to **NP-72** which shows the dividend history
70 for Newfoundland Hydro? Page 2, thank you, and we saw
71 from earlier evidence, Ms. McShane and others actually,
72 that Grant Thornton, in their 2001 report spoke of the
73 dividend proposed for 2002 as being a primary factor in
74 deriving the debt equity ratio to the level that it is forecast
75 to be. Have you provided any advice to Hydro relative to
76 the dividend proposed for the test year 2002?

77 MR. HALL: No, they haven't asked me for advice on that.

78 MS. BUTLER, Q.C.: Can you tell us in the capacity in
79 which you were retained, what signal it gives to the capital
80 markets of the world if Hydro pays a dividend of 730
81 percent in 2002, with the effect that we saw on the debt
82 equity ratio which obviously moves below 20 percent for
83 equity?

84 MR. HALL: I'll try to put it into two contexts. One is what
85 signal does the actual payment of the dividend and
86 excessive earnings in one year, if that's alright. That's
87 certainly not unprecedented even with investor-owned
88 utilities for that to happen. Trans Alta utilities for a number
89 of years did that and I think if you look back on that table
90 that screamed by, that there was a number of years when
91 BC Hydro was doing the same, and so the payment of the
92 dividend in excess of 100 percent of earnings in one

1 particular year is not necessarily a red flag for capital market
2 participants. I have to confess that I've never seen 730
3 percent before, but the other signal that I'm presuming that
4 you want to comment on is whether this payment of this
5 dividend is inconsistent with the direction to maintain an
6 80/20 debt equity ratio, and in fact, to move it towards a
7 recommended 60/40 that certainly I have recommended, and
8 I would say that the market would identify that as being
9 inconsistent.

10 MS. BUTLER, Q.C.: It would develop (inaudible) market
11 would see that it's inconsistent?

12 MR. HALL: Yes.

13 MS. BUTLER, Q.C.: Yeah, clearly, and although you say,
14 Mr. Hall, that of course the company hasn't sought your
15 advice on the issue, you have advised them with respect to
16 what is a reasonable target, and this does take them away
17 from that target, so have you offered anything
18 gratuitously?

19 MR. HALL: I'm always good for gratuitous comments. No,
20 I mean I was, I was giving a comment about the 75 percent
21 payout ratio which, as I pointed out in the first part of the
22 previous answer, is to me a policy over time, not a policy
23 on a year-by-year basis, to be slavishly kept, and that's
24 because there are circumstances in any company where
25 sometimes it makes sense to pay out the dividend and
26 sometimes it does not. It's my understanding with this
27 company that there have been a number of years actually
28 prior the ones shown here, where there were no dividends
29 paid out, and then there were a number of years where
30 there are reasonably large dividends paid, so I wasn't
31 looking at any one particular year when I was providing my
32 gratuitous comment, but simply saying that 75 percent
33 payout in a utility of this nature with relatively stable
34 business operations is not unusual.

35 MS. BUTLER, Q.C.: Okay, can we turn now to what you
36 said in your evidence at page 9 please, and this relates to
37 the return on equity? I think it's line 28. This is relevant to
38 a point that was actually made by one of the
39 Commissioners earlier today. You say lowering the
40 measurement criteria results in the taxpayers of the
41 province subsidizing the consumers of the region because
42 they are accepting a lower than reasonable rate of return on
43 their equity investment, so you're, of course, talking about
44 the three percent return on equity.

45 MR. HALL: Yes.

46 MS. BUTLER, Q.C.: Now in saying that, are you familiar
47 with the social policies that Hydro might execute on behalf
48 of the province such as the subsidization of the rural
49 deficit?

50 MR. HALL: Yes, I'm aware of those.

51 MS. BUTLER, Q.C.: And are you aware of Mr. Brickhill's
52 schedule which calculates the deficit at \$30 million?

53 MR. HALL: I heard the testimony about that yesterday so,
54 yes, I'm aware of that.

55 MS. BUTLER, Q.C.: Okay, we can get that on the screen if
56 you wish, it's **Brickhill Schedule 1.2**. It may be one of the
57 ones that's not electronically entered. If it's not
58 electronically entered I won't bother.

59 MR. HALL: I'm happy to wing it if you just want to confirm
60 that it was his 30, that's fine.

61 MS. BUTLER, Q.C.: I think it was \$30.6 million at a 318 cost
62 of service. This is an example of a social policy directive to
63 Hydro by government. You accept that, do you?

64 MR. HALL: Yes.

65 MS. BUTLER, Q.C.: Okay, so in this case, or in this
66 example, Mr. Hall, do we not have some consumers
67 subsidizing taxpayers, the opposite of what you're
68 suggesting on page 9, line 28 of your testimony?

69 MR. HALL: Now you've got me there. Some consumers
70 are subsidizing taxpayers. How do they do that? I'm not
71 supposed to ask you questions, sorry, but I don't
72 understand, sorry.

73 MS. BUTLER, Q.C.: Okay, let's look at the screen. What
74 you've said is that if the shareholders, or the taxpayers of
75 the province, because the shareholder is the Province of
76 Newfoundland ...

77 MR. HALL: Correct.

78 MS. BUTLER, Q.C.: ... only gets three percent return, then
79 you say taxpayers are subsidizing the consumers?

80 MR. HALL: Correct.

81 MS. BUTLER, Q.C.: Okay, and I'm saying if there are some
82 consumers who don't pay the full cost of service in your
83 region, and in fact cause Hydro to run a deficit of \$30
84 million which other customers, Newfoundland Power and
85 Labrador Interconnected, pay ...

86 MR. HALL: Right.

87 MS. BUTLER, Q.C.: Newfoundland Power and Labrador
88 Interconnected ratepayers are actually subsidizing
89 taxpayers?

90 MR. HALL: No, I'm still not with you. If there is a cross
91 subsidization of rates between different classes of
92 customers, which is very typical within a jurisdiction, in my
93 view there are some consumers in the province paying
94 more than they should, if you take should to be the cost of
95 service, and there are some consumers who are paying less
96 than they should because of whatever circumstances are

1 germane, and that that's a cross-subsidization between
2 ratepayers, not anything to do with the taxpayer. For
3 example, if Newfoundland Power was told, and I believe
4 there must be some cross-subsidization within
5 Newfoundland Power's jurisdiction, between rate classes,
6 that that is between the ratepayers within the region, not
7 anything to do with the shareholders of Newfoundland
8 Power.

9 MS. BUTLER, Q.C.: Your answer though assumes that
10 there wasn't the option of government as shareholder not
11 passing the deficit on.

12 MR. HALL: That is correct, and that's my position, that
13 there should not be that option, that there should be a
14 complete isolation between the role of government as a
15 shareholder of a business which this is, in a very
16 comparable business to Newfoundland Power, and the role
17 of government as a developer of social policy, and when
18 the government chooses to give a social policy directive to
19 other companies, let's take Newfoundland Power as an
20 example, they don't absorb the cost of that, at least I'm not
21 aware that they've done that, and I don't believe they
22 should do that here.

23 MS. BUTLER, Q.C.: Okay, and I'll just go to another quote
24 from there then and see if we can address it in a slightly
25 different way, page seven, lines 24 to 26, but it's the same
26 point ... you say, my view is that Hydro operates a
27 commercially viable energy business that happens to be
28 owned by the province. The province's shareholder is no
29 different than any other investor. How does the social
30 policy of incurring a deficit in one area which the
31 government then passes on to other customers fit into that
32 view? How is the province then the same as any other
33 investor?

34 MR. HALL: Because if the, if the policy of sharing costs
35 between one region and another region is something that
36 this province and this Board thinks is appropriate, it
37 doesn't have to affect the shareholder of the utility that
38 implements that policy in the same way that it doesn't affect
39 Newfoundland Power in their jurisdiction to do that cross-
40 subsidization if it affects the consumers of Newfoundland
41 Power but not the company, so in my view, if the
42 government or the Board said we want a particular outcome
43 for social policy reasons they could state that policy
44 reason overtly and direct both utilities within their
45 jurisdiction to implement that policy. If Newfoundland
46 power assessed that social policy directive and said it's
47 going to cost shareholders of our company a certain
48 amount of money to implement this social policy, they
49 would quite rightly, in my view, appear before this Board
50 and ask for recovery of that from ratepayers, and in the
51 same context, this company, in my humble view of the
52 world, should do the same.

53 MS. BUTLER, Q.C.: Okay, but I think your answer assumes
54 that this Board has given some direction on the covering of
55 that deficit.

56 MR. HALL: Yes.

57 MS. BUTLER, Q.C.: And to what do you refer when you
58 say that?

59 MR. HALL: I don't know. Your question was do I assume
60 it, and yes I do.

61 MS. BUTLER, Q.C.: You do assume it?

62 MR. HALL: Yeah.

63 MS. BUTLER, Q.C.: Are you aware of any other
64 shareholder of an investor-owned utility who requests the
65 utility to undertake significant social policy on behalf of
66 their shareholder?

67 MR. HALL: No.

68 MS. BUTLER, Q.C.: Now in recommending a return on
69 equity range of 10 to 12 percent as appropriate for Hydro,
70 which is at page 9 of your testimony, can I ask you whether
71 you considered the equity risk premium model, discounted
72 cash flow model, and comparable earnings model, or any
73 other model, a similar analysis to what Ms. McShane did?

74 MR. HALL: No, I didn't. I'm coming at this from the
75 perspective of the capital markets and that would be
76 redundant to what Ms. McShane did.

77 MS. BUTLER, Q.C.: Okay, so can you just assist me with
78 how you determine the recommended range of 10 to 12
79 then?

80 MR. HALL: I tried to say it's reasonable to suggest rather
81 than recommend so that you wouldn't press me too hard on
82 this point, but the truth of the matter is, from a capital
83 market perspective are level of analysis of the
84 recommended return would be slightly different. We tend
85 to be much more simplistic in the approach, because we're
86 not asked to make specific recommendations, and so my
87 analysis was contained to looking at Newfoundland Power
88 which I considered to be a perfect example of a comparable
89 utility in the same jurisdiction and subject to the same
90 Board that we're before here, and saying what's different
91 about Hydro that would make their reasonable request for
92 a return on equity different than what Newfoundland Power
93 has been successful in achieving, and it's largely on the
94 basis of that overview and then comparison to other
95 utilities in Canada which was listed in the schedule that I
96 came up with, that range. I did not want to put a range
97 down at all but it was suggested that maybe something like
98 this would be helpful, so that's why the range is so wide.
99 10 to 12 percent is quite a wide range.

100 MS. BUTLER, Q.C.: Alright, can you look at page 9 of your

1 ... I'm sorry, page 8 of your testimony, line 30, and this is
2 where you start some discussion on business risk, etcetera.
3 I wonder could you just read for me, starting with, "In
4 general, generating companies"?

5 MR. HALL: In general, generating companies in the
6 electricity industry seemed to be exposed to greater
7 business risks than distribution utilities, since they are
8 subject to operational challenges, commodity price
9 fluctuations, market demand variability, service
10 requirements under all conditions in many regions an
11 increasing inability to recover these costs from their
12 customer base due to competitive pressures.

13 MS. BUTLER, Q.C.: Okay, so what you're discussing here
14 are four factors that you say in general cause generating
15 companies to be exposed to greater business risks, and the
16 first is operational ... sorry, operational challenges, and you
17 have commodity price fluctuations, market demand
18 variability would be three, service requirements under all
19 conditions would be four, and then the fifth, I think, is
20 increasing inability to recover these costs from their
21 customer base due to competitive pressures, five. Let me
22 ask you first about commodity price fluctuations and
23 whether you're aware of the operation in this jurisdiction of
24 the Rate Stabilization Plan?

25 (2:45 p.m.)

26 MR. HALL: Yes, I am.

27 MS. BUTLER, Q.C.: And does the Rate Stabilization Plan
28 to your knowledge protect Hydro from fluctuations in the
29 price of No. 6 fuel?

30 MR. HALL: Yes, it does.

31 MS. BUTLER, Q.C.: So the issue of commodity price
32 fluctuations is really not of concern for Hydro.

33 MR. HALL: It's still of concern but these are general
34 comments about a general utility, sorry, a generation utility
35 versus a distribution utility. They weren't stated to be in
36 reference to Hydro.

37 MS. BUTLER, Q.C.: Okay, market demand variability,
38 which is at line 2 there at page 9. Are you aware that the
39 Rate Stabilization Plan also protects Hydro from
40 fluctuations in demand for the energy it sells?

41 MR. HALL: Yes, with a lag time in both cases, yes, it does.

42 MS. BUTLER, Q.C.: And finally, competitive pressures,
43 line 4 of page 9. Relevant to that, I wonder if we might look
44 at the **DBRS report**, Schedule 1, page 3 of 3? Okay, and
45 this is the bond for Hydro which has been updated by
46 Exhibit DH-1. I don't think that has yet been entered, has
47 it, Terry?

48 MR. O'RIELLY: Yes, it has.

49 MS. BUTLER, Q.C.: Okay, in the considerations section,
50 just below where you are ... strengths, there you go. The
51 DBRS acknowledges as its fourth bullet there, the
52 geographic isolation and unavailability of gas minimizes
53 competitive pressures and the impact of industry
54 deregulation, so they're not as big an issue for Hydro.

55 MR. HALL: Well, it's still a big issue for Hydro to the
56 extent that the company provides electricity as a residential
57 load and is therefore competitive with fuel oil and wood for
58 that matter. I don't think anyone would presume that
59 Hydro is not subject to competitive pressures. Indeed, I
60 don't. I think that the rationale for the company asking for
61 a revenue requirement which resulted in a lower than
62 acceptable rate of return on equity, in my view, was driven
63 by their concern about the ability of their customers to pay
64 those revenue increases and that to me is a competitive
65 issue. Granted, competition is not as intense as it is in
66 other jurisdictions, that's true.

67 MS. BUTLER, Q.C.: And in your evidence, your pre-filed
68 evidence, what I think you were talking about was the
69 generic comparison of the generating companies to a
70 distribution company.

71 MR. HALL: Yes.

72 MS. BUTLER, Q.C.: And to the extent that Hydro is the
73 generation company in this province, it has little or no
74 competition.

75 MR. HALL: I believe Newfoundland Power generates.

76 MS. BUTLER, Q.C.: Some.

77 MR. HALL: Thank you, and I also think there are
78 independent companies that generate their own power.

79 MS. BUTLER, Q.C.: Uh hum, some, that's correct, but in
80 terms of percentages, I don't know whether you're familiar
81 with how that sits.

82 MR. HALL: This is definitely the largest utility and the
83 largest generator, but it doesn't take away from the
84 competitive generation model because it's the incremental
85 power that causes prices to be set.

86 MS. BUTLER, Q.C.: Alright, are you aware that Dr. Basil
87 Kalymon who is the cost of capital expert for the Consumer
88 Advocate disagrees with your view on risk and states that
89 the overall risk of Hydro would be comparable to that of the
90 average utility and somewhat below that of Newfoundland
91 Power?

92 MR. HALL: I don't think that Dr. Basil Kalymon disagrees
93 with, or sorry, I don't think I disagree with him.

94 MS. BUTLER, Q.C.: You don't disagree with that?

95 MR. HALL: No, I wasn't arguing in the evidence that there

- 1 is a higher, when all is said and done, a higher business
2 risk, because if you go back to my testimony, I did go on to
3 say that the RSP can offset a great number of those risks,
4 so I didn't come out (inaudible) conclusion, but what I was
5 trying to do was direct the Board toward the concept that
6 if you begin your analysis with Newfoundland Power and
7 consider the differences, that that's a reasonable way to
8 approach the problem of what to do about Hydro's debt
9 equity and rate of return.
- 10 MS. BUTLER, Q.C.: Okay, so if you're pre-filed evidence
11 doesn't actually state a conclusion there, can you tell me
12 whether your conclusion is, in fact, the same as Dr.
13 Kalymon's?
- 14 MR. HALL: With the availability of the RSP I wouldn't
15 disagree with his assessment.
- 16 MS. BUTLER, Q.C.: Okay, Mr. Hall, can I ask you now
17 about the rate of return which Hydro has requested, of
18 course, in the test year, which is three percent?
- 19 MR. HALL: Yeah.
- 20 MS. BUTLER, Q.C.: And do you know what the interest
21 coverage ratio on regulated operations is in the test year?
- 22 MR. HALL: I believe it's 1.08, subject to check if it isn't.
- 23 MS. BUTLER, Q.C.: Okay, and because I believe that it is
24 also 1.08, and I'll move on. Is that not the same interest
25 coverage ratio that Hydro was previously allowed by this
26 Board in 1992 to your knowledge?
- 27 MR. HALL: To my knowledge it was 1.10, but it was
28 certainly close to that.
- 29 MS. BUTLER, Q.C.: Okay, and if we turn to the DBRS bond
30 ratings, Schedule 3 of 3 ... well the new one is DH-1, and the
31 DBRS, of course, rate on the basis of interest coverage
32 ratios, correct?
- 33 MR. HALL: That's one of the factors they consider in
34 coming up with the rating.
- 35 MS. BUTLER, Q.C.: And then the commentary section of
36 this one, can you just assist the Board with what they said
37 in relation to the interest coverage ratio?
- 38 MR. HALL: No, because I can't find it, sorry.
- 39 MS. BUTLER, Q.C.: You can probably find it on the old
40 one, and maybe we can scroll over. Terry, can I just get
41 you to scroll to the top so I can see where you are there
42 please? Okay, go back to page one of the older version,
43 which is Schedule 1, page 3 of 3, and in the commentary
44 section. Debt to capital ratio compares favourably, do you
45 see that there, Mr. Hall?
- 46 MR. HALL: Yes.
- 47 MS. BUTLER, Q.C.: Okay, and can you just read what it
48 says so that we can see what it says about interest
49 coverage ratios there?
- 50 MR. HALL: The debt to capital ratio compares favourably
51 to the 70 percent government utility average but remains
52 well above the 48 percent typical of the private sector,
53 while interest coverage ratios are in line with government
54 utility group averages.
- 55 MS. BUTLER, Q.C.: Okay.
- 56 MR. HALL: That 70 percent that they're comparing is the
57 consolidated number.
- 58 MS. BUTLER, Q.C.: Yes, well I think, as you've made clear,
59 there is no DBRS document that helps us compare the
60 regulated only.
- 61 MR. HALL: Right.
- 62 MS. BUTLER, Q.C.: Right. The last area I want to address
63 with you, Mr. Hall, if I might, is at page 13 of your
64 testimony pre-filed, and this is lines 5 to 8, and could you
65 read that first sentence for us please?
- 66 MR. HALL: If there is evidence of continually declining
67 performance measures with no positive regulatory or
68 corporate moves to address the problem, there will be
69 mounting concern about the self-supporting
70 characterization of Hydro's debt.
- 71 MS. BUTLER, Q.C.: Okay, and what I'm interested in, Mr.
72 Hall, is what you mean by corporate moves?
- 73 MR. HALL: I had nothing specific in mind, but just to say
74 that there are two influences that can address performance
75 issues, and one is the regulatory side, and one is things
76 that were within the ability of the company to do itself.
77 Presumably that could be rate design which would require
78 regulator approval, but could be brought forward by the
79 company itself. It could be pricing, competitive pricing
80 versus the alternative sources of energy in the province.
- 81 MS. BUTLER, Q.C.: Okay, would corporate moves include
82 reducing costs, operating costs?
- 83 MR. HALL: That's certainly a corporate move, yes.
- 84 MS. BUTLER, Q.C.: Would managing capital structure
85 differently be considered a corporate move?
- 86 MR. HALL: I don't know how you'd manage the capital
87 structure differently without getting into the regulatory
88 side and the performance measures that I spoke of, but yes.
- 89 MS. BUTLER, Q.C.: Okay, well I'll accept your answer, but
90 just to elaborate a bit, in terms of perhaps management and
91 the shareholder getting together on the hill to discuss the
92 dividend, would that be a corporate move?

1 MR. HALL: I didn't specifically reference that one, so sure,
2 that would be a corporate move.

3 MS. BUTLER, Q.C.: Mr. Chairman, thank you very much,
4 those are my questions for Mr. Hall.

5 MR. NOSEWORTHY, CHAIRMAN: Thank you very much,
6 Ms. Butler, it's close to 3:00 and we'll break for 15 minutes,
7 and then we'll come back with cross of the Industrial
8 Customers. Thank you.

9 (break)

10 (3:15)

11 MR. NOSEWORTHY, CHAIRMAN: Good afternoon.
12 Could we proceed with the Industrial Customer's cross. I
13 guess Mr. Hutchings, will you be ...

14 MR. HUTCHINGS: Yes.

15 MR. NOSEWORTHY, CHAIRMAN: ... doing this? Thank
16 you.

17 MR. HUTCHINGS: Mr. Hall, a couple of questions initially
18 arising out of points you discussed with Ms. Butler. The
19 three ratings that we've had before us now, the three new
20 ones, I'd just like to ask you, as a general point, do you or
21 officials at Newfoundland and Labrador Hydro get any
22 opportunity to have any input or reaction to these
23 documents before they're finalized?

24 MR. HALL: Certainly I don't. I'm just a member of the
25 capital market community, so they don't ask me. It is
26 typical for ... I don't know the answer to whether Hydro
27 does. It's typical for the rating agencies to present a draft
28 of their materials for factual error correction, but I'm not at
29 all sure whether this happens here because it's a flow
30 through guarantee, they may not.

31 MR. HUTCHINGS: Okay. So it's more likely, perhaps, that
32 there were discussions between officials of government
33 and DBRS about the Provincial rating?

34 MR. HALL: I think that's a reasonable assumption, they
35 would have had those conversations, yes.

36 MR. HUTCHINGS: Yeah, okay. I noticed, for instance, that
37 on the Newfoundland and Labrador Hydro rating, which,
38 looking for comparison purposes at the bond, long-term
39 debt and preferred ratings for Newfoundland and Labrador
40 Hydro, it's your page 3 of 3 in Schedule 1 and NP-6 which
41 is the updated version. I had highlighted that the first of
42 the challenges that are listed in the consideration section
43 which said, in the old version, "Earnings sensitive to water
44 levels and oil prices", and I had regarded that as being
45 inaccurate, given the existence of the RSP, and I notice that
46 on the new version it doesn't say the same thing. It says
47 cash flows are sensitive to water levels and oil prices. Do
48 you have any idea of how that change came about?

49 MR. HALL: I don't have any specific idea that can help
50 you. I would say that the author of the report is recorded
51 as a different individual from one to the other and she
52 presumably has a slightly different turn of phrase. I don't
53 think there's anything necessarily to read into the
54 difference between cash flows and earnings. And I would
55 also point out that challenges of water levels and oil prices
56 is a challenge for Hydro. It's mitigated by the RSP, but it's
57 there. And the RSP, although it's seen as a reducer of risk,
58 which it is, it only defers those costs and puts them back
59 on the ratepayers, as you know, over the next three years,
60 and that means that the Company still has to be concerned
61 about their competitive pricing position. So, yes, they can
62 recover it, but even regulated utilities need to worry about
63 how much their customers can pay, as evidenced by this
64 application, so it's a residual concern and it's not one I
65 would have raised.

66 MR. HUTCHINGS: No, I mean, it strikes me as an odd one
67 to top the list of challenges in this rating, given the
68 existence of the RSP which makes Hydro fully whole in
69 respect of variations in water levels and oil prices within a
70 fixed period by reason of an order of this Board.

71 MR. HALL: Yeah. I can only speculate that it certainly is
72 true about the capital market observers, that although they
73 can take great comfort in a Rate Stabilization Plan such as
74 this, they don't have as much confidence as perhaps you
75 do that it will be there forever. And so, they are concerned
76 about the fundamental risks that the company has, and
77 then they're mitigated, as you see in number 5 on the other
78 side is the Rate Stabilization Plan. So it's a proper offset,
79 probably, in their minds, but I'm just speculating.

80 MR. HUTCHINGS: Okay. You indicated to Ms. Butler that
81 you did not agree with her suggestion that Hydro was
82 regarded as either a significant strength or weakness in the
83 Provincial rating. Am I correct in that statement?

84 MR. HALL: I was really trying not to disagree with
85 anything, but I don't think I said that it wasn't either way.
86 I said that you can interpret the existence of a separate
87 credit analysis as being indicative that it was pretty
88 important to them, but only in the narrow sense.

89 MR. HUTCHINGS: Alright. I've looked at the two
90 Newfoundland and Labrador Hydro ratings that we have
91 here, and each of them, in the first sentence of the update,
92 in parenthesis, says ... refers to the Province of
93 Newfoundland, and it says "see separate report dated July
94 24th, 2001." I don't find any reference in the Provincial
95 report to the existence of the Newfoundland and Labrador
96 Hydro report. Do you find that to be significant?

97 MR. HALL: No. But let me explain, if I can, what I think is
98 the process that the rating agencies take with respect to
99 Crown corporations such as this, commercial Crown

1 corporations, because it probably helps with that view.
2 When you're rating the Province of Newfoundland and
3 Labrador as an entity, the rating agency will consider their
4 tax income and their expenditures and promises and so on,
5 and when it comes to the Crown corporations that they
6 own and control, they will look at the ones that the debt
7 has been guaranteed and they test it for this financial self-
8 sufficiency measure that we chatted about earlier today.
9 And the financial self-sufficiency test tends to be, is this
10 company being run in such a fashion that it's going to get
11 into financial trouble to the point where it's going to turn to
12 its parent, and/or guarantor, in this case and say help, I
13 need some money, which would then be a credit impact on
14 the Province of Newfoundland and Labrador. So they do
15 an assessment of Hydro to say, how well are they doing in
16 this relatively tight test called financial self-sufficiency and
17 say is it probable that they're going to come within the
18 forecast period to the Province and say we're in trouble.
19 And if the answer to that question is it's not likely that they
20 will do that because they're operating at, let's say an 80/20
21 debt equity ratio with reasonable earnings, and therefore,
22 reasonable interest coverage, then the rating agency will
23 put that aside and continue with the Provincial rating and
24 finish it off. In other words, it's not an impact because they
25 seem to be holding their own.

26 MR. HUTCHINGS: Uh hum.

27 MR. HALL: What I alluded to this morning was that with
28 Dominion Bond Rating Service that New Brunswick Power,
29 which managed to successfully get to 100 percent debt
30 through a reduction in earnings, the Dominion Bond Rating
31 Service, many times, was pointing out that this was just
32 about to go on the provincial credit, and I would obviously
33 be subject to check, but I think if you looked at the
34 Province of New Brunswick's main credit report in those
35 days, there would have been a reference to it.

36 MR. HUTCHINGS: Okay, and I seem to recall many years
37 ago seeing a report from the Province of Nova Scotia that
38 made a similar reference to Nova Scotia Power, as it then
39 was, which was perceived to be a drain on the Provincial
40 credit?

41 MR. HALL: Well, it was a danger.

42 MR. HUTCHINGS: Yes.

43 MR. HALL: It represented, I believe, half of the entire
44 loans outstanding of the Province of Nova Scotia was
45 Nova Scotia Power.

46 MR. HUTCHINGS: Uh hum, okay. This is, undoubtedly,
47 an overly simplistic approach, but the potential bond
48 purchaser who reads the rating of the Province of
49 Newfoundland is not thereby told that there exists another
50 rating for Newfoundland and Labrador Hydro, is it?

51 MR. HALL: No, that's correct.

52 MR. HUTCHINGS: But if one is looking at Newfoundland
53 and Labrador Hydro it becomes immediately obvious that
54 there is another rating for the Province of Newfoundland?

55 MR. HALL: Yes, because it's, of course, far more relevant
56 in that latter case.

57 MR. HUTCHINGS: Yeah. So the Province is much more
58 important to Hydro than Hydro is to the Province?

59 MR. HALL: Yes.

60 MR. HUTCHINGS: Okay. A small point that I want to
61 clarify in respect of your Schedule 2. These are the
62 financial ratios that you looked at with Ms. Butler, and
63 there is a ratio there at 63.1 percent for Newfoundland and
64 Labrador Hydro which you, I think you referred to as likely
65 being the consolidated ratio. I just question that, given
66 that there's a separate ratio listed there for Churchill Falls
67 and a group average taken. Does that change your view of
68 whether or not that's, in fact, a consolidated ratio?

69 MR. HALL: No. I think it still is. I said likely because it
70 never seems to be exactly the number that the Company
71 produces, which presumably is an accounting argument
72 between the credit rating agency and the Company, but I
73 think that Churchill Falls is separated out simply because
74 it is available to be separated out and looked at separately,
75 but it is included in the one above it.

76 MR. HUTCHINGS: So you're saying that the 63.1 for
77 Hydro actually includes the effect of Churchill Falls and
78 then Churchill Falls itself is put in separately?

79 MR. HALL: That's my understanding.

80 MR. HUTCHINGS: As a separate entity?

81 MR. HALL: Yeah.

82 MR. HUTCHINGS: And then they take a group average?

83 MR. HALL: It's not my table.

84 MR. HUTCHINGS: Yeah. But that's a bit of an odd thing
85 to do, you'd agree with that?

86 MR. HALL: Yes.

87 MR. HUTCHINGS: Okay. Looking at your evidence, then,
88 at page 2, and at line 30 one, of the items that you're
89 commenting on is the appropriate level of debt and equity
90 in the capital structure. Can you define what you mean
91 when you say the appropriate level, how do we know what
92 the appropriate level is?

93 MR. HALL: Not what I feel (inaudible) on the day that I
94 was asked. Appropriate in that sense is with reference to
95 the business risks, at least that's the way I look at it. That
96 there is a company that ... a company has a combination of

1 business and financial risks. And once you've assessed
2 the business risks of the company and determined what
3 their competitive position is and what their cost of
4 generation is relative to other energy sources and so on
5 that we've discussed, then you look at the financial
6 leverage that that company is therefore able to absorb, and
7 that's an appropriate debt equity ratio. You know, it's not
8 surprising that companies in the technology area don't
9 have very much, if any, debt, because the appropriate debt
10 equity ratio is usually zero because of the volatility of their
11 business and earnings. And it's equally not surprising, in
12 this business, that there's quite a bit of debt because of the
13 more stable nature of the cash flows in the business.
14 That's what I meant.

15 MR. HUTCHINGS: All right. Do you take the view that
16 there is a single optimal debt equity structure for a utility
17 such as Hydro?

18 MR. HALL: No, I don't. I think there's a ... I always think
19 of it in terms of targets that companies are ... or should, I'm
20 sorry, have targets for payout ratio, targets for return on
21 equity and targets for leverage within the company that
22 they work towards, hurdle rates for the capital spending
23 budgets and so on. And that the recommendation that I
24 did put in here of 60/40 is a target, that is something that is,
25 in my view, appropriate for this company to work towards.
26 Once they got to 60/40, if they went to 59.9 I wouldn't, you
27 know, ring a bell and say this is the end of life, no.

28 MR. HUTCHINGS: No. But I guess from a theoretical
29 point of view is there a debt equity ratio that has
30 advantages to Hydro above all others?

31 (3:30)

32 MR. HALL: Well, yes. I think that if Hydro was operating
33 this Company with a 60/40 debt equity ratio and a return on
34 equity that was similar to the one recommended by Ms.
35 McShane and, therefore, had an interest coverage ratio
36 which would be favourably compared to others in the
37 industry, then not only, in my view, could the Company
38 consider removing the guarantee, because it wouldn't be
39 necessary or cost effective for them to have it at that level,
40 but it would also be a clear indication, and this is more
41 qualitative, to the Company that this is a business that they
42 run and that they are competing with other businesses in
43 the marketplace. And that has a salutary (sic.) effect, in
44 my opinion, on the way that the Company is run in terms of
45 the management decisions that they're able to make.

46 MR. HUTCHINGS: When you refer in that answer to
47 competitive with other companies in the marketplace, do
48 you mean in competition for capital or in business
49 competition with other entities?

50 MR. HALL: I meant in business competition because the

51 competition for capital only are as is once the guarantee is
52 gone. But if you go to my (inaudible) that I just described,
53 yeah, it would be competition for capital, as well.

54 MR. HUTCHINGS: But your principle reference, at the time
55 that you gave the answer, was to refer to the competition
56 that Hydro is subject to in its own markets?

57 MR. HALL: Yeah.

58 MR. HUTCHINGS: And who do you regard the
59 competitors of Hydro to be?

60 MR. HALL: I think that anybody that provides a source of
61 energy is a competitor. So that's people who own trees,
62 Newfoundland Power, to the extent they generate as well as
63 distribute, Abitibi, anybody that generates power for their
64 own site and could easily sell that power into the grid in
65 circumstances that would make it effective for them to do
66 that. Anybody that generates an energy source.

67 MR. HUTCHINGS: Okay. In terms of competitors in the
68 field of electricity generation, are you familiar with what
69 would be required for someone like Abitibi or Corner Brook
70 Pulp and Paper to become involved in actually selling
71 power into the grid?

72 MR. HALL: I'm familiar, generally speaking, with the
73 concept, but not those specific situations, no.

74 MR. HUTCHINGS: Okay. But I mean, in terms of going
75 into business in competition with Hydro there would be a
76 necessary implication that these companies would
77 themselves become public utilities, correct?

78 MR. HALL: I'll take your word for that.

79 MR. HUTCHINGS: Okay. Alright.

80 MR. HALL: The reason I would take your word for that in
81 this jurisdiction, if I may interject, is because in most
82 jurisdictions that's no longer the case.

83 MR. HUTCHINGS: No, quite so, but you don't disagree
84 with that in the context of the Province of Newfoundland?

85 MR. HALL: No. As I say, I'll take your word.

86 MR. HUTCHINGS: Yeah, okay. Just to follow along from
87 where we were, then, and this notion of operating
88 Newfoundland Hydro, you know, as a utility on commercial
89 terms. You refer in your evidence to there being
90 meaningful and tangible benefits to doing so. Can you just
91 elaborate for us on what you feel those meaningful and
92 tangible benefits are?

93 MR. HALL: Don't tell me I said tangible benefits, because
94 then I have to give you one. Can you refer me to that?

95 MR. HUTCHINGS: Page 4, line 17. "Meaningful and
96 tangible," I was right.

1 MR. HALL: Oh, darn. I'm sorry, I just can't find it.
2 MR. HUTCHINGS: Line 17.
3 MR. HALL: Thank you. The second sentence, I think,
4 helps to give you meaningful and tangible benefits in terms
5 of what I was referring to, and that is, for example, that in
6 most jurisdictions it is standard practice for a company in
7 the private sector, investor owned companies, to complain
8 about inappropriate competition from companies that are
9 owned by governments and therefore have various
10 different structures and perceived advantages and
11 therefore argue for level playing fields. For example, in
12 Ontario, where they have deregulated the marketplace, the
13 government owned utility has been told very explicitly by
14 the way it's structured that it must operate on a commercial
15 term the way I'm ... terms the way I am recommending, and
16 that there are tangible and meaningful benefits to doing so,
17 so much that they have asked them to pretend that they
18 pay income taxes and calculate their results accordingly.
19 Because they truly believe, as do I, that there are such
20 benefits from providing the Hydro 1 management with the
21 same incentives as investor owned utilities have. And my
22 strongly held view is that that would be the case in this
23 province if the management of Hydro had the same
24 dynamics as the management at Newfoundland Power did,
25 that that would result in meaningful and tangible benefits
26 to everybody, including them.
27 MR. HUTCHINGS: So primarily we're dealing with the
28 elimination of any potential public subsidization of the
29 operation and the incentive to management to show profit?
30 Is that fair?
31 MR. HALL: Yeah. Your subsidization, you mean accepting
32 a less than adequate rate of return, is that what you're
33 referring to?
34 MR. HUTCHINGS: Yes.
35 MR. HALL: Yes, those would be the key ones. There's
36 certainly lots more. It's the intangible, which is what I was
37 rather hoping I'd said, benefits that are also difficult to
38 define, but very much there, and that's evident in my own
39 experience with Nova Scotia Power that you referred to. I
40 participated in the privatization of that company and,
41 therefore transformed it from a Crown owned utility to an
42 investor owned utility. It's difficult, obviously, in
43 hindsight, to see exactly what would have happened had
44 another set of circumstances occurred. But to most viewers
45 it's been a quite good experience for, not only the
46 shareholders of (unintelligible) it's now called, but also to
47 the ratepayers of Nova Scotia. So I think there is some
48 advantage to that process.
49 MR. HUTCHINGS: Are you talking about an attitudinal
50 change on the part of management?

51 MR. HALL: Yes. Not so much the attitude of the
52 management as the guidelines and constraints that the
53 management has to work under, yes. For example, if I may
54 dig the hole a little deeper, a commercially run utility tends
55 to get social policy directives more overtly, so it's easier to
56 deal with them, and that just makes it easier for the
57 company to get on with what they do than when those
58 directions are not as clear.
59 MR. HUTCHINGS: So, we have to identify and be explicit,
60 I guess, about such differences that exist from the actual
61 situation of Newfoundland and Labrador Hydro and an
62 investor owned utility, is that fair?
63 MR. HALL: I'm sorry, we have to do that?
64 MR. HUTCHINGS: I mean, in terms of this Board
65 regulating and coming up with appropriate returns and
66 capital structures and all of the other issues that it has to
67 deal with relative to Hydro, your suggestion is that it
68 should, to the greatest extent possible, be treated as if it
69 were an investor owned utility. But I'm taking from you
70 that if there are differences then they do have to be
71 accommodated in some fashion?
72 MR. HALL: Yes, I would agree with that. I mean, as I said
73 earlier, in my simplistic view of the world, the Board could
74 treat Hydro in the same way they treat Newfoundland
75 Power in the same industry in the same province doing
76 virtually the same things with differences, of course, that
77 need to be identified, and that only in those areas where
78 there are clear differences do they need to treat them any
79 differently. For example, the return on equity that's
80 required by Hydro, assuming it was 11 percent in both
81 cases, if I may, for the moment, that that would require a
82 higher revenue requirement for Newfoundland Power
83 because they're taxable and less for Hydro. But that should
84 be the only distinctions in my view.
85 MR. HUTCHINGS: I'm probably not quite accurately
86 paraphrasing Ms. McShane in her evidence, but is it fair to
87 say that to the extent that Hydro is treated like an investor
88 owned utility it should act like an investor owned utility?
89 MR. HALL: Well, I think it would act like an investor
90 owned utility.
91 MR. HUTCHINGS: And it should act like an investor
92 owned utility?
93 MR. HALL: Yes.
94 MR. HUTCHINGS: Yeah, okay. But you recognize there
95 are differences simply because it is a Crown owned utility?
96 MR. HALL: My length of differences is very narrow, but
97 yes, there are differences.
98 MR. HUTCHINGS: Yeah, okay. I think you were fairly

1 specific in answer to Ms. Butler in saying that there should
2 be complete isolation between government as owner of the
3 business and as the setter of legal policy or social policy,
4 rather?

5 MR. HALL: Yes.

6 MR. HUTCHINGS: Yeah, okay. Are you familiar with the
7 provisions of Section 5.1 of the Electrical Power Control
8 Act?

9 MR. HALL: Not if you'd like me to quote them, but I've
10 looked at it, yes.

11 MR. HUTCHINGS: Okay. Do you know the intent of that,
12 do you recall what 5.1 deals with?

13 MR. HALL: All right, I give. I'll have to look it up.

14 MR. HUTCHINGS: It's not a section that I can recite from
15 memory, either. But can we just bring up Section 5.1? 5.1,
16 yeah, okay. That section provides for the Lieutenant
17 Governor in Council who, I think we'll agree, is effectively
18 the shareholder of Newfoundland and Labrador Hydro, to
19 direct the Public Utilities Board with respect to policies and
20 procedures to be implemented by the Board with respect to
21 the determination of rate structures of public utilities and
22 without limiting the generality, the direction as to the
23 setting and subsidization of rural rates, fixing of debt equity
24 ratio for Hydro and the phase in of rate of return
25 determination. And the Board shall implement those
26 policies and procedures. Is that the section you were
27 thinking about when I mentioned 5.1?

28 MR. HALL: No, it wasn't, so I'm glad you found it.

29 MR. HUTCHINGS: No, okay. There are a lot of sections in
30 there.

31 MR. HALL: Yes.

32 MR. HUTCHINGS: Okay. In light of that, would you agree
33 with me that the legislative framework that this Board has
34 to operate under is not necessarily consistent with your
35 view that there be complete isolation between government
36 as shareholder, and government as legislator?

37 MR. HALL: No, I wouldn't agree with that at all.

38 MR. HUTCHINGS: No? Do you feel that it is still open to
39 this Board to deal with Hydro as if it was not owned by the
40 Crown?

41 MR. HALL: Yes.

42 MR. HUTCHINGS: Okay.

43 MR. HALL: Because ... can I dig a hole?

44 MR. HUTCHINGS: Sure.

45 MR. HALL: Do you mind? Okay. Because what I read into

46 that, which is not surprising to see, is that the government,
47 in their legislation, has said let's be very clear, we own this
48 Company, and if we want to direct the Board to do certain
49 things on behalf of the people of the Province we will do so
50 and the Board will do what they're told. That seems to be
51 a reasonable directive to an entity that operates on behalf
52 of the government. That's the way I interpret that, that
53 they can direct the Board to make certain things done.
54 That's not inconsistent with telling the Company to operate
55 on commercial terms, and to the extent that the government
56 and, indeed, the Board itself, either of those entities, to the
57 extent that they direct the Company to do things that are
58 different then they do them, because they're owned by the
59 government. But they're explicit directions and they're not
60 inconsistent with telling the Company to continue to
61 operate under commercial terms.

62 MR. HUTCHINGS: Uh hum. Does the existence of
63 something like Section 5.1 affect your view of the business
64 risk of Hydro?

65 MR. HALL: We tend to call that regulatory risk, not
66 business risk. So, I mean, the fundamental business risks
67 that the Company is exposed to, I don't think are changed
68 by this, unless they were directed to do something that
69 would enhance those risks.

70 MR. HUTCHINGS: Okay. So do you regard ... well, maybe
71 we're having a terminological problem here. Would you
72 regard regulator risk as being part of business risk for a
73 utility?

74 MR. HALL: I see. You can throw it into a basket, yes,
75 okay.

76 MR. HUTCHINGS: Okay. So, would you agree, then, that
77 5.1 effectively, from the point of view of the shareholder of
78 Hydro tends to seriously reduce its regulatory risk?

79 (3:45)

80 MR. HALL: No, I guess I'm not ... sorry. I guess I am
81 misunderstanding where you're going here, and maybe I
82 need to read this more carefully again, but this is the kind
83 of direction that I wouldn't have been surprised to see the
84 legislation in Alberta have, which is to say that the
85 Province of Alberta, where they're all investor owned
86 utilities, could say we reserve the right to direct the Public
87 Utilities Board to do things on our behalf and you will do
88 them. That doesn't seem to me to be counter to anything
89 to do with Trans Alta's (phonetic) operations or Canadian
90 Utilities Operations.

91 MR. HUTCHINGS: But isn't it clear that under Section 5.1
92 if this Board is moving in a direction that government,
93 which is the shareholder, doesn't particularly like,
94 government has the power to undo the Board's decision?

1 MR. HALL: Oh, absolutely, but not as shareholder. It's
2 not the government, as shareholder, that has that right, it's
3 the government as the legislator of this Province.

4 MR. HUTCHINGS: But it's still the same government?

5 MR. HALL: That's a coincidence, because they can do this
6 to Newfoundland Power, too. They don't have to be a
7 shareholder to do this.

8 MR. HUTCHINGS: Okay. There is specific reference in the
9 section to Hydro but ...

10 MR. HALL: I'm sorry, not in this particular clause.

11 MS. GREENE, Q.C.: I think, in fairness to the witness, Mr.
12 Hutchings should allow him to read it. It says "may give
13 direction to the" ... "with respect to the policies and
14 procedures to be implemented by the Board with respect to
15 the determination of rate structures of public utilities."
16 And then they go on to say "without limiting the generality
17 of the foregoing." And in the specific there's examples of
18 Hydro, but the direction is with respect to determination of
19 rate structures of public utilities as defined under the Public
20 Utilities Act which would be broader than Hydro.

21 MR. HUTCHINGS: We can, no doubt, address all that in
22 argument, Mr. Chair. It'll ...

23 MS. GREENE, Q.C.: But I think, in fairness to the witness,
24 you should allow him to understand what the section says.

25 MR. HUTCHINGS: The significance, I think, is found in the
26 fact that it's the same government that is the shareholder
27 that has the power under 5.1. But as I say, we'll
28 undoubtedly address that at another time. At page 7 of
29 your evidence, Mr. Hall, at line 20, you speak of the
30 situation if a utility gets into financial difficulties of any
31 kind the taxpayers are exposed to any liabilities. Is this
32 intended to be a general statement in respect of all Crown
33 owned utilities?

34 MR. HALL: Yes, I think it would apply to any Crown
35 owned utility.

36 MR. HUTCHINGS: Would you agree with me that it would
37 really only apply to a Crown owned utility that had a debt
38 guarantee from government?

39 MR. HALL: No. It would apply to any Crown owned
40 utility where there was any equity invested in the company
41 which would be exposed to repayment to those liabilities.
42 This company has \$250 million, approximately, in retained
43 earnings, which is exposed to liabilities to creditors if there
44 were financial problems.

45 MR. HUTCHINGS: Okay. So if we read your comment to
46 say that the taxpayers, to the extent of their investment in
47 the utility, are exposed to the liabilities that would be
48 correct?

49 MR. HALL: That would certainly be correct.

50 MR. HUTCHINGS: Yes.

51 MR. HALL: It's probably somewhat limiting, because
52 governments tend to have more non-legal exposure, but,
53 yes.

54 MR. HUTCHINGS: Yes. Okay. No, that's fine. There was
55 a remark at page 9 of your evidence at line 16, line 13 to 16,
56 I guess. You're speaking of your review of actual rates of
57 returns on equity of Canadian utilities, and you refer to
58 your schedules where investor owned utilities reported
59 results near 10 percent and government owned utilities
60 reported results for the same period at considerably higher
61 levels. What degree of confidence should we have in the
62 reported results of ROEs of government owned utilities?

63 MR. HALL: You have to be cautious about that, because
64 the variability is quite high, and that's largely because the
65 equity component is quite low, and so, you can see huge
66 variability. It was, in this context, a gratuitous comment,
67 not the focus of the sentence.

68 MR. HUTCHINGS: Okay. And I raise the question,
69 obviously, because if we look at the Schedule 5 it
70 specifically states exactly that, that the thin equity base of
71 government owned utilities distorts this ratio. It also goes
72 on to say, "and unduly raises the return." So, the bias is,
73 in fact, an upward one in respect of government owned
74 utilities? That's correct?

75 MR. HALL: I'm sorry, I'm not sure I quite got what you
76 said at the last there. I read the note, yes.

77 MR. HUTCHINGS: Yes. You said in your answer that you
78 had to be careful of looking at the numbers because they
79 were so thinly capitalized. The note, in fact, goes on and
80 says that the result of this is, in fact, a bias upward in the
81 reported returns?

82 MR. HALL: I didn't see that in the note.

83 MR. HUTCHINGS: "And unduly raises the return."

84 MR. HALL: Oh, there, I'm sorry. Yes, that's what I said, as
85 well, yeah.

86 MR. HUTCHINGS: Yeah, okay. And you agree with that?

87 MR. HALL: Yes.

88 MR. HUTCHINGS: Yeah, okay. Getting back to this notion
89 of being treated like an investor owned utility and acting
90 like an investor owned utility. Is it fair to say that investor
91 owned utilities, when facing any significant capital
92 expenditures, are more likely to look at some restriction in
93 dividend payments?

94 MR. HALL: No. I don't know that there'd be much
95 difference between the two. Restricting dividend payments

1 is a source of capital, yes, and it would be the same
2 whether you're investor owned or Crown owned, but that's
3 only one source of capital, as you would know.

4 MR. HUTCHINGS: Yes.

5 MR. HALL: And you can access the capital markets in
6 different ways.

7 MR. HUTCHINGS: Uh hum. But one option that most
8 private corporations would look to in facing capital
9 expenditures would be whether or not they should retain
10 additional retained earnings, is that fair?

11 MR. HALL: It is an option, although you will be aware that
12 in the electric utility business in investor owned companies
13 it's an option that is used at the very last moment and only
14 under significant duress. I refer you to Trans Alta Utilities,
15 which has had the same dividend of a dollar per share for
16 the last seven or eight years now, through a period of time
17 when they could not afford to pay that dividend in terms of
18 the earnings of any particular year and were paying out
19 more than their reported earnings in years because they
20 were so reluctant to reduce the dividend payout. So they
21 don't do it easily, no.

22 MR. HUTCHINGS: Yeah. No, I understand that. But are
23 there not generally categories of companies, one of which
24 pays, as you say, like Trans Alta, fixed dividend dollar per
25 share and others that pay a certain proportion of their
26 incomes?

27 MR. HALL: I think there are, actually, but it's quite an
28 unusual event for a company to declare a dividend payout
29 ratio as a firm policy and pay that amount out year after
30 year. I do recall Great Lakes Forest Products, which is
31 going to age me a little bit, that did that in the mid 1980s,
32 but it was quite unusual to do that. Most companies will
33 set a dividend level that they feel comfortable that they're
34 able to maintain over a period of time through cycles in the
35 business world and pay that dividend out, just like utilities
36 do, frankly.

37 MR. HUTCHINGS: It is fair to say, I presume, though, that
38 most investor owned utilities are not in a position where
39 they simply respond automatically to any demand by their
40 shareholder/shareholders for a particular dividend?

41 MR. HALL: It's difficult to answer that. I think you're right,
42 but it's difficult to answer that because there's nothing
43 written and there's nothing ... there's no formal directions
44 that come to the shareholders meeting to please pay us
45 more dividend or if they are they're ignored. But it's
46 difficult to answer that in respect to single shareholders,
47 because single shareholders, of course, don't publicize their
48 conversations.

49 MR. HUTCHINGS: Uh hum, quite so. Okay. I think, Mr.

50 Chair, that might be a good time to break. I won't be very
51 much longer, but I may have another few questions in the
52 morning.

53 MS. GREENE, Q.C.: Mr. Chair, if I could have your
54 indulgence for a few moments?

55 MR. NOSEWORTHY, CHAIRMAN: Sure.

56 MS. GREENE, Q.C.: We do have the update of the 2002
57 cost of service that we had talked about earlier. I'd like to
58 distribute it now and take just a couple of minutes to
59 explain what we've done, because I think it would be easier
60 to understand the documentation if I do that.

61 MR. NOSEWORTHY, CHAIRMAN: Sure.

62 MS. GREENE, Q.C.: Because I do have copies which we
63 thought for the Halloween treats earlier.

64 MR. NOSEWORTHY, CHAIRMAN: Thank you.

65 MS. GREENE, Q.C.: If everyone has a copy I'll just take
66 you briefly through what's included in the package. The
67 first document that you should have is an update of the
68 2002 capital budget which should be the first document
69 that's in the package. You will recall that we had agreed to
70 file this update on the basis of actual experience to the end
71 of August. So this would reflect updates based on our
72 experience and revised forecast as of the end of August,
73 2001. For simplification, we've tried to identify all of the
74 changes. For example, if you look on page A-1, which is
75 the second page in on the 2002 capital budget, you will see
76 that there is a reduction in the capital budget being
77 proposed for 2002, the test year, and there's a reduction
78 from \$48 million to \$43 million, which is indicated on the
79 bottom of page A-1.

80 What we have done is to file a revised page for
81 each of the pages that gets changed as a result of the two
82 changes shown on the bottom of page A-1. While there
83 are only two changes it affected a number of pages in the
84 proposed 2002 capital budget, so we have filed only the
85 revised pages and have indicated with an asterisks where
86 the changes are.

87 We have also filed supplementary evidence of the
88 relevant witnesses to explain the changes. For example the
89 change in the 2002 capital budget I just mentioned affects
90 a number of things, such as the rate base. You will see that
91 flow through in the evidence of Mr. Roberts. And similarly,
92 in the next document that you have, which is a second
93 supplementary testimony of Mr. Budgell. You will see in
94 there, for example, how he explains the change in the 2002
95 capital budget which ... the responsibility of the production
96 division, and he explains the other changes that were
97 relevant to his pre-filed testimony such as the changes in
98 the load that have occurred as a result of this update.

1 I won't take you through each of the others, but
2 the idea was that for each of the remaining witnesses where
3 there are changes required as a result of this update we
4 have filed supplementary evidence and have attempted to
5 identify what the change is as a result of this update.

6 The other thing that I wanted to mention is to
7 remind the parties that, as I had said when we agreed to do
8 this, this is another what I call snapshot. It's still not the
9 final picture of what the base rates will be following the
10 completion of the hearing. There will still have to be an
11 another cost of service filed which will include such matters
12 as any direction received by the Board on the price of No.
13 6 fuel, as an example, to be used for setting base rates
14 around the ROE. So these numbers are still only
15 illustrative, and as I mentioned earlier, reflect actual
16 experience to the end of August. It would not, for example,
17 reflect any change in forecast interest rates or fuel prices
18 that may have occurred post September 11th, and as I
19 mentioned, the reason for doing this was the amount of
20 time required to complete the cost of service run, including
21 all of the updates. So hopefully this will ... that helped
22 explain what we filed. And the first witness who will be
23 affected by the revised evidence is Mr. Budgell, who is
24 scheduled to start his testimony on Monday coming.
25 Thank you, very much.

26 MR. NOSEWORTHY, CHAIRMAN: Thank you, Ms.
27 Greene. Do we need to mark this, counsel?

28 MR. KENNEDY: I was going to ask counsel. I don't think
29 so. It's all revisions to previously filed documents, so will
30 be included as just part of the application material that's
31 already been filed.

32 MR. NOSEWORTHY, CHAIRMAN: Thank you, very
33 much. We'll reconvene at 9:30 tomorrow morning.

34 *(hearing adjourned to November 1, 2001)*