

1 (9:40 a.m.)

2 MR. SAUNDERS, CHAIRMAN: Good morning.

3 MS. GREENE, Q.C.: Good morning.

4 MR. SAUNDERS, CHAIRMAN: Any preliminary
5 matters or motions.

6 MS. GREENE, Q.C.: I have none, Mr. Chairman.

7 MR. HUTCHINGS, Q.C.: None here, Mr. Chairman.

8 MR. SAUNDERS, CHAIRMAN: If not, then Mr.
9 Hutchings, you're ready to resume?

10 MR. HUTCHINGS, Q.C.: I am, thank you.

11 MR. SAUNDERS, CHAIRMAN: The witnesses are in
12 place, I see.

13 MR. HUTCHINGS, Q.C.: Good morning, gentlemen.

14 MR. DOWNTON: Good morning.

15 MR. HUTCHINGS, Q.C.: I just want to get back for the
16 moment to the issue of the various reports that we
17 discussed at the end of the day yesterday. The
18 telecommunications report, you told us, was an internal
19 report, so I take it we can take that as Hydro's position
20 on the issues that are dealt with in it?

21 MR. DOWNTON: Yes.

22 MR. HUTCHINGS, Q.C.: Okay, the IT Technical
23 Architecture Strategy was somewhat a joint effort. It
24 involved X-Wave and NewTel. Has Hydro adopted
25 that report as its position in respect of those issues?

26 MR. DOWNTON: We have adopted it as a general
27 road map.

28 MR. HUTCHINGS, Q.C.: Okay.

29 MR. DOWNTON: But on a go forward basis we will
30 basically look at what, I guess, the IT Architectural
31 Strategy says and I guess also where technology is at
32 the point in time, and that strategy document is
33 intended to be refreshed on an 18 to 24 month cycle
34 anyway, so like I say, it provides a road map, but at the
35 same time you continually look at other alternatives.

36 MR. HUTCHINGS, Q.C.: Okay, so you have not
37 committed at this stage to doing the LAN and the
38 WAN and all these things necessarily that are included
39 in that report?

40 MR. DOWNTON: We basically have put forward
41 budgets to address various aspects of the IT
42 Architectural Strategy, and what you will basically find
43 is that there are some refinements, if you want to call it
44 that, to the IT Architectural Strategy, in basically how
45 we interpret what is there and are looking at ways to
46 further reduce costs.

47 MR. HUTCHINGS, Q.C.: Uh hum, okay, but to get back
48 to my question, the only projects to which you are
49 committed at this stage from Hydro's point of view, are
50 the ones that are reflected in your current capital
51 budget filing?

52 MR. DOWNTON: That's correct.

53 MR. HUTCHINGS, Q.C.: And the third report that we
54 talked about yesterday was the KEMA report, has that
55 been adopted as Hydro's position?

56 MR. DOWNTON: I will let Mr. Haynes speak to that.

57 MR. HAYNES: The KEMA report basically reviewed
58 the Energy Control Centre, the state of its condition,
59 how easy it is to repair, parts availability, and I guess,
60 technology, and basically that, the KEMA report is
61 (inaudible) in part, along with our own internal
62 overview of that report, the justification for proceeding
63 with that particular project, which is to replace the
64 Energy Management System of Newfoundland and
65 Labrador Hydro.

66 MR. HUTCHINGS, Q.C.: Okay, so you accept as
67 Hydro's position, the recommendations of the KEMA
68 report.

69 MR. DOWNTON: When you say position, I don't
70 regard it as a position. It is our intention to replace the
71 Energy Management System, and as we go along and
72 dialogue with KEMA and the vendors and see what
73 opportunities are there, what enhancements can be
74 made or what things can be changed, we will address
75 those as we go. It was basically to come up with a
76 suggested approach to replace the Energy Management
77 System, the cost estimates to do so, and that is what we
78 are proposing.

1 MR. HUTCHINGS, Q.C.: KEMA has within its report
2 and implementation plan. Is it Hydro's intention to
3 proceed with that plan?

4 MR. DOWNTON: Generally.

5 MR. HUTCHINGS, Q.C.: Okay, and are there any
6 particular aspects in the plan that Hydro does not
7 intend to proceed with?

8 MR. DOWNTON: I would suggest that we have not
9 included all things. There are things in that report
10 along the lines of changing around the organizational
11 structure, there's options, and they are things that we
12 will certainly look at, but we have not concluded that
13 we are going to separate the Energy Management
14 System from the IS and T Department. That is a
15 recommendation as one of the options that were put
16 forward, but we have not decided we are going to do
17 that.

18 MR. HUTCHINGS, Q.C.: Okay.

19 MR. DOWNTON: What we have concluded is that we
20 do need to act on the replacement of the Energy
21 Control Centre.

22 MR. HUTCHINGS, Q.C.: Alright, getting down then to
23 some of the specific projects that are included in the
24 capital budget for IS and T, I'd like to look first of all at
25 the West Coast PLC Replacement, and that's in your
26 filing at page B-109, and dealt with in the
27 telecommunications plan, Section H. Specifically,
28 there's a technical report at the back as Appendix F to
29 the telecommunications plan, and it's dated August the
30 20th, 2002, and just so we have all the references that
31 we might be looking at, Section 3.1 of the
32 telecommunications plan itself at page 6, talks about the
33 west coast microwave radio system and so on.

34 MR. DOWNTON: Can you indicate what page that is
35 again please?

36 MR. HUTCHINGS, Q.C.: The last reference I made I
37 think was page 6 where it's talking about the
38 telecommunications infrastructure, and it talks about
39 the west coast microwave radio station system, and
40 then into 3.2, it talks about the powerline carrier.

41 MS. NEWMAN: So we had Appendix F, and that's the
42 last big document in this report

43 MR. HUTCHINGS, Q.C.: Yes, yeah, that's the final
44 appendix to the telecommunications report.

45 MS. NEWMAN: It looks like it's about 30 pages from
46 the back or so, maybe 40 pages.

47 MR. HUTCHINGS, Q.C.: I would guess about that,
48 yeah. So I presume the starting point here, Mr.
49 Downton, is that the existing powerline carrier system
50 on the west coast is obsolete.

51 MR. DOWNTON: Yes.

52 MR. HUTCHINGS, Q.C.: Okay, so the issue becomes
53 then what one does to provide the service that that
54 powerline carrier system is presently providing. Had
55 there been specific failures on that system that have
56 caused problems in recent years?

57 MR. DOWNTON: Basically it's, the technology itself is
58 obsolete. The manufacturer no longer supports the
59 equipment, and because it carries our teleprotection
60 signalling as well as operational voice and data, I guess
61 we are being proactive to replace the infrastructure prior
62 to the fact that we have excessive failures. We have
63 had significant problems on other powerline carrier
64 systems in that area, so again, we are replacing them
65 before they cause us problems.

66 MR. HUTCHINGS, Q.C.: Okay, so what we're talking
67 about are the systems on 243, 245, 234, and 247?

68 MR. DOWNTON: Yes.

69 MR. HUTCHINGS, Q.C.: Okay, now as regards
70 powerline carrier systems generally, I take it that Hydro
71 has accepted in the past, and continues to accept for
72 some applications in the future that that type of service
73 provides adequate teleprotection?

74 MR. DOWNTON: Yes.

75 MR. HUTCHINGS, Q.C.: Okay.

76 MR. DOWNTON: For specific areas.

77 MR. HUTCHINGS, Q.C.: Yes, I notice in Appendix F to
78 the telecommunications plan, you say at the end of the
79 first paragraph on page 6 that the PLC link between Cat
80 Arm generating station and Deer Lake terminal
81 station will be replaced with a new double channel PLC

1 as there is no economic alternative, so you are planning
2 to continue to use PLC for teleprotection in the future.

3 MR. DOWNTON: In specific cases.

4 MR. HUTCHINGS, Q.C.: Yes, okay, so we should look,
5 I presume then, to some justification for using
6 something else other than PLC if the cost of the PLC is
7 less than the alternative, correct?

8 MR. DOWNTON: Yes.

9 MR. HUTCHINGS, Q.C.: Yes, okay, so PLC provides an
10 adequate service.

11 MR. DOWNTON: For specific cases.

12 MR. HUTCHINGS, Q.C.: Yes, for teleprotection on
13 powerlines.

14 MR. DOWNTON: For specific cases, yes. The thing is
15 is powerline carrier provides more than teleprotection.
16 It also provides operational voice and data service as
17 well, so basically you have to look at the broader brush
18 rather than just looking at specific instances.

19 MR. HUTCHINGS, Q.C.: Yeah, I understand that, but
20 the most critical function is teleprotection, would you
21 agree with that? That was a yes, was it?

22 MR. DOWNTON: That was a yes.

23 MR. HUTCHINGS, Q.C.: Okay, alright, so looking at
24 page 7 of that Appendix F report, you're dealing with
25 TL-243 and 245. You are proposing at an additional
26 cost of \$158,500, to use a digital microwave radio
27 system instead of a powerline carrier, correct?

28 MR. DOWNTON: Yes.

29 MR. HUTCHINGS, Q.C.: Okay, and your reasons for
30 preferring that are in the second full paragraph on that
31 page and the first of them is stated, it provides a higher
32 system availability, for example, communications are
33 not lost when the transmission line is removed from
34 service due to a forced or planned outage. That notion
35 of communications being lost when a transmission line
36 is out is inherent in the PLC system, isn't it?

37 MR. DOWNTON: Yes.

38 MR. HUTCHINGS, Q.C.: Okay, so anywhere where
39 you're using PLC that will happen.

40 MR. DOWNTON: Yes.

41 MR. HUTCHINGS, Q.C.: And you're prepared to live
42 with that between Cat Arm and Deer Lake, for instance.

43 MR. DOWNTON: Well, between Cat Arm and Deer
44 Lake, there is no alternative.

45 MR. HUTCHINGS, Q.C.: Okay.

46 MR. DOWNTON: Typically where we do, in other
47 cases where we have forecasted outages on our
48 transmission system, and as such, when we ground it,
49 we lose our powerline carrier, we will institute, if
50 possible, alternative routing for our voice and data
51 systems.

52 MR. HUTCHINGS, Q.C.: Yes, and that can be done
53 between any two points.

54 MR. DOWNTON: No.

55 MR. HUTCHINGS, Q.C.: I mean there are ...

56 MR. DOWNTON: It can't be done between any two
57 points if basically the services are not available at the
58 points.

59 MR. HUTCHINGS, Q.C.: No, but I mean is there
60 anywhere that there is not a satellite service available,
61 satellite telephone service?

62 MR. DOWNTON: Basically satellite telephone service
63 is primarily used for voice communications, so yes, you
64 could use it for that, but for the actual data, that would
65 be another question.

66 MR. HUTCHINGS, Q.C.: Okay, in cases of outage, how
67 often will it happen that there will be data that will be
68 required to be transmitted while the outage is in effect?

69 MR. DOWNTON: I would not ... well, I'll attempt to
70 answer it. Primarily, especially for generating stations
71 where you have water levels that you need to
72 constantly monitor, that would be the primary concern
73 as well as terminal stations where you also need that
74 information to support our customers, etcetera, so it
75 really depends on the situation, and that's why in some
76 cases for a very small station, we may not elect to

1 monitor, and in other cases for our larger, more
2 important stations, that we would elect to provide some
3 kind of a route diversity for voice and data.

4 MR. HUTCHINGS, Q.C.: Okay, so with respect to the
5 generating station justification, that wouldn't have
6 anything to do with the Howley to Deer Lake terminal
7 station line, would it?

8 MR. DOWNTON: Could you repeat that question
9 please?

10 MR. HUTCHINGS, Q.C.: You suggested that it was
11 important to have a data link at the end of a line where
12 there was a generating station, correct?

13 MR. DOWNTON: Yes.

14 MR. HUTCHINGS, Q.C.: Okay, on TL-245, which goes
15 from the Howley terminal station to the Deer Lake
16 terminal station, there is no generating station, correct?

17 MR. DOWNTON: From Howley to Deer Lake?

18 MR. HUTCHINGS, Q.C.: Right.

19 MR. DOWNTON: There is no generating station at
20 either end there.

21 MR. HUTCHINGS, Q.C.: No.

22 MR. DOWNTON: However, Cat Arm does tie into Deer
23 Lake, and Hines Lake does tie into Howley, so you
24 have generating tying into both ends of it.

25 MR. HUTCHINGS, Q.C.: No, I understand that, and I
26 mean it might be a different issue on TL-243 where
27 Hines Lake is at the end of the line.

28 MR. DOWNTON: Yes.

29 MR. HUTCHINGS, Q.C.: Okay, so the issue becomes
30 whether there is any available way of moving your data
31 from Hines Lake to Howley other than the digital
32 microwave that you're proposing, and have you looked
33 into that possibility?

34 MR. DOWNTON: We have not looked into that
35 specific possibility.

36 MR. HUTCHINGS, Q.C.: What sort of data are you
37 talking about?

38 MR. DOWNTON: Well, basically data for providing
39 status of the breakers, voltage levels on transmission
40 lines, control, the ability to control the breakers in the
41 station.

42 MR. HUTCHINGS, Q.C.: Uh hum, and in what form
43 does that exist at the Hines Lake station, for instance?

44 MR. DOWNTON: You mean the Howley data?

45 MR. HUTCHINGS, Q.C.: No, I'm understanding you to
46 say that there is data at the Hines Lake generating
47 station that you need to move out of there, whether or
48 not your transmission line is up, is that correct?

49 MR. DOWNTON: Yes.

50 MR. HUTCHINGS, Q.C.: So in what form ... and that
51 data presumably exists in Hines Lake, at Hines Lake, is
52 that where the data is that you need to move?

53 MR. DOWNTON: Repeat the question again please?

54 MR. HUTCHINGS, Q.C.: Okay, the data that we're
55 talking about moving over the digital microwave radio
56 system, which is being suggested as the alternative to
57 the PLC, I'm assuming exists in Hines Lake in some
58 form, is that correct?

59 MR. DOWNTON: No.

60 MR. HUTCHINGS, Q.C.: Okay, where is the data?

61 MR. DOWNTON: The Howley data will exist in the
62 Energy Control Centre. It doesn't exist in Hines Lake.

63 MR. HUTCHINGS, Q.C.: Okay, well ...

64 MR. DOWNTON: Basically what happens is that the
65 data from Howley now is brought back over the
66 powerline carrier to Hines Lake, and then there it's put
67 on other telecommunications infrastructure and brought
68 back to the Energy Control Centre here in St. John's.

69 MR. HUTCHINGS, Q.C.: Okay, I'm obviously
70 misunderstanding what you said earlier then because
71 you spoke of the importance of having a data link to the
72 generating station. Did I misunderstand that, that
73 there's data at the generating station you need to
74 move?

75 MR. DOWNTON: Yes, yes.

1 MR. HUTCHINGS, Q.C.: Okay, so what data is at the
2 generating station in Hines Lake that you need to
3 move?

4 MR. DOWNTON: All the data that's required for the
5 operation and control of the plan including water levels,
6 etcetera.

7 MR. HUTCHINGS, Q.C.: Okay, and in what form does
8 that exist at the Hines Lake plant?

9 MR. DOWNTON: It exists in the form of, I guess, data
10 that is put into a proprietary protocol, that's sent back
11 to the Energy Control Centre.

12 MR. HUTCHINGS, Q.C.: Okay, so it's in an electronic
13 form?

14 MR. DOWNTON: Yes, yes.

15 MR. HUTCHINGS, Q.C.: Okay.

16 MR. DOWNTON: It's in digital, yes, digital electronic
17 form.

18 MR. HUTCHINGS, Q.C.: Okay, alright, the Hines Lake
19 station is not a manned station now, is it?

20 MR. DOWNTON: It is a remote controlled station.

21 MR. HUTCHINGS, Q.C.: Yes.

22 MR. DOWNTON: And basically there are roving
23 operators which frequent the stations on an as required
24 basis, but it is classified as a remote station, yes.

25 MR. HUTCHINGS, Q.C.: Okay, so are these operators
26 capable of reducing the data which exists there in
27 digital form to paper form?

28 MR. DOWNTON: Yes.

29 MR. HUTCHINGS, Q.C.: So while there was an outage,
30 you could have someone at the Hines Lake station put
31 that on paper and fax it to St. John's?

32 MR. DOWNTON: Yes, that is a possibility.

33 MR. HUTCHINGS, Q.C.: Okay.

34 MR. DOWNTON: However, with that said, are you
35 going to have someone there 24 hours a day, seven
36 days a week while you have an outage?

37 MR. HUTCHINGS, Q.C.: No, presumably for planned
38 outages, you can plan to have someone there. You say
39 they're roving and they're in there ... it sounds like
40 they're in there a fair bit.

41 MR. DOWNTON: Not really.

42 MR. HUTCHINGS, Q.C.: Was I getting, was I getting
43 the wrong impression with your answer?

44 MR. DOWNTON: Yes, you are getting the wrong
45 impression. They are not in there on a regular basis.
46 They frequent, they have a schedule to frequent the
47 station, but the station is not a manned station.

48 MR. HUTCHINGS, Q.C.: No, no, I understand that.
49 You said they frequented the station, so I presume ...
50 how often would there be someone there?

51 MR. DOWNTON: I can't answer that ...

52 MR. HUTCHINGS, Q.C.: You don't know.

53 MR. DOWNTON: ... question specifically.

54 MR. HUTCHINGS, Q.C.: So you haven't looked into
55 that.

56 MR. DOWNTON: No.

57 MR. HUTCHINGS, Q.C.: No, okay.

58 MR. HAYNES: Can I ... would I be able to respond?

59 MR. HUTCHINGS, Q.C.: Oh sure.

60 MR. HAYNES: We don't treat all of these hydroelectric
61 stations the same way. We don't put the same amount
62 of effort into automatic data that comes back to the
63 Control Centre for, say, Snook's Arm and Venom's
64 Bight. We may have it for Paradise River, but that's,
65 you know, that is a 9 megawatt plant. Hines Lake is
66 maybe an 84 megawatt plant, it's an integral part of the
67 production, and when the Control Centre says they
68 need 84 megawatts, they need it, and they need it now.
69 The telemetry that comes back is the water levels, it's
70 breaker status, it's the megawatts and megabars on the
71 machine, there's hoards of data that comes back, and it

1 may be okay to fax back, you know, a daily or a
2 midnight report from Snook's or Venom's, but it will not
3 suit for Hines Lake or Cat Arm or Granite Canal or Bay
4 d'Espoir. It's not a small, I won't say insignificant, but
5 it's not a ... it is a key component of the generation and
6 it's required.

7 MR. HUTCHINGS, Q.C.: Okay, how is that data getting
8 from Hines Lake to the Energy Control Centre now?

9 MR. DOWNTON: Okay, pass it back to ...

10 MR. HUTCHINGS, Q.C.: I'm easy, whoever wants to
11 answer.

12 MR. DOWNTON: Actually, it basically ... it goes over
13 the microwave infrastructure from Hines Lake through
14 to Stoney Brook. At present it goes over NewTel's fibre
15 system as far as Sunnyside, and then it basically gets
16 on the power infrastructure and goes from Sunnyside
17 to the Energy Control Centre.

18 MR. HUTCHINGS, Q.C.: Okay, so in the event of a
19 forced or planned outage, presumably the Aliant
20 microwave radio system is there and available for use to
21 move that data, is that correct?

22 MR. DOWNTON: From where?

23 MR. HUTCHINGS, Q.C.: From Hines Lake?

24 MR. DOWNTON: No.

25 MR. HUTCHINGS, Q.C.: Didn't you just tell me that's
26 what's happening now?

27 MR. DOWNTON: No, basically the data goes over our
28 infrastructure from Hines Lake to Grand Falls, and then
29 it gets on Aliant's fibre system at Grand Falls and goes
30 to Sunnyside, and then at Sunnyside it gets on our
31 infrastructure and goes to the Energy Control Centre.

32 MR. HUTCHINGS, Q.C.: Okay, I'm trying to get back to
33 TL-243, okay.

34 MR. DOWNTON: Yeah, the other point I should make
35 is that as much as, if that plant is in production, one of
36 the things that you will lose by not having the data
37 available is the fact that automatic generation control
38 will not function, will only operate in manual, so you'll
39 lose your water efficiencies as well.

40 MR. HUTCHINGS, Q.C.: Yeah, okay, I understand that,
41 but your proposal here is, among other things, to
42 replace the existing PLC on the TL-243 with digital
43 microwave, correct?

44 MR. DOWNTON: Yes.

45 MR. HUTCHINGS, Q.C.: Okay, one of the things that
46 you're saying is that you will get through that a higher
47 system availability, for example, communications won't
48 be lost when the transmission line is removed from
49 service due to a forced or planned outage, correct?

50 *(10:00 a.m.)*

51 MR. DOWNTON: Yes, that's correct.

52 MR. HUTCHINGS, Q.C.: From what you've said now,
53 I take it that the information coming from Hines Lake to
54 the Energy Control System, does not now travel over
55 TL-243, is that correct?

56 MR. DOWNTON: Yes, what comes from Hines Lake
57 does not travel over TL-243.

58 MR. HUTCHINGS, Q.C.: Okay, so how that gets from
59 Hines Lake to the Energy Control System has nothing
60 to do with this project, correct?

61 MR. DOWNTON: That's right.

62 MR. HUTCHINGS, Q.C.: Okay, what data travels over
63 TL-243 that you need to move during a forced or
64 planned outage?

65 MR. DOWNTON: Okay, basically right now what goes
66 over TL-243 is the data from the Indian River terminal
67 station, the Springdale terminal station, and the Howley
68 terminal station.

69 MR. HUTCHINGS, Q.C.: Okay, so none of those, none
70 of that relates to data from a generating station that you
71 have the greater need to move during outages, correct?

72 MR. DOWNTON: Could you repeat the question
73 again?

74 MR. HUTCHINGS, Q.C.: The three routes of data that
75 you just spoke of, from Indian River, Springdale, and
76 Howley, none of that is data that is coming from a
77 generating station, correct?

1 MR. DOWNTON: That's correct.

2 MR. HUTCHINGS, Q.C.: Okay.

3 MR. DOWNTON: However, I mean it's still coming
4 from terminal stations that you need to know whether
5 the lines are in or out and what the voltages are so you
6 can dispatch.

7 MR. HUTCHINGS, Q.C.: Okay, how do you find that
8 out now?

9 MR. DOWNTON: Basically it comes over the, the data
10 comes over the powerline carrier, from Springdale,
11 through to Indian River, through to Howley, and then
12 through to Hines Lake, and then it gets on our
13 infrastructure and goes to the Energy Control Centre as
14 I indicated before.

15 MR. HUTCHINGS, Q.C.: Okay, so ...

16 MR. DOWNTON: If you take out the, if you take out
17 the powerline carrier between Howley and Hines Lake,
18 what you will lose is visibility of the Howley terminal
19 station, and also Indian River and Springdale.

20 MR. HUTCHINGS, Q.C.: Okay, and that's what
21 happens now?

22 MR. DOWNTON: And that's what happens now, yes.

23 MR. HUTCHINGS, Q.C.: Okay, and how long has it
24 been like that?

25 MR. DOWNTON: It's been like that since probably
26 1979/1980.

27 MR. HUTCHINGS, Q.C.: Okay, so the information that
28 you're saying would be moved under this digital
29 microwave radio system during outages, how are you
30 getting that information now as regards to information
31 that would travel over TL-243 PLC when it's up?

32 MR. DOWNTON: I don't know specifically.

33 MR. HUTCHINGS, Q.C.: You're probably not getting it,
34 I think is the answer.

35 MR. DOWNTON: Well, I don't know specifically.

36 MR. HUTCHINGS, Q.C.: Okay.

37 MR. DOWNTON: I know in certain cases we do
38 provide alternate communications.

39 MR. HUTCHINGS, Q.C.: Alright, and you've done that
40 with a reasonable degree of success since the 1970s, is
41 that correct?

42 MR. DOWNTON: Yes.

43 MR. HUTCHINGS, Q.C.: Okay.

44 MR. DOWNTON: The other point that should be
45 made, and it's the third point, it provides increased
46 balance for existing and future operational
47 administrative voice and data.

48 MR. HUTCHINGS, Q.C.: Yeah, I'm getting there.

49 MR. DOWNTON: Okay.

50 MR. HUTCHINGS, Q.C.: Okay, the second items that's
51 mentioned as the justification for the extra \$158,000 is
52 the performance of teleprotection is greatly improved
53 and reliability, security and speed, but I think we've
54 agreed already that the teleprotection function is
55 adequate under the PLC, is that correct?

56 MR. DOWNTON: For certain cases, yes.

57 MR. HUTCHINGS, Q.C.: I mean is there some reason
58 that it wouldn't be adequate for 243 or 245?

59 MR. DOWNTON: What we look, I guess, the short
60 answer is we would, the existing teleprotection, if we
61 were to put powerline carrier back in there, we would
62 not put in the same design as what was there before,
63 because it does not perform as well.

64 MR. HUTCHINGS, Q.C.: No, you'd put in, it would be
65 an improvement, you'd have a better PLC in there and
66 you'd get better teleprotection.

67 MR. DOWNTON: That's right.

68 MR. HUTCHINGS, Q.C.: Okay, but you wouldn't get as
69 good as microwave.

70 MR. DOWNTON: That's right.

71 MR. HUTCHINGS, Q.C.: Right, okay, we've just got to
72 decide which level we're prepared to pay for here, is this
73 issue. Okay, so the third item, you say it provides

1 increased bandwidth for existing and future operational
2 administrative voice and data traffic. Let's deal first
3 with the existing operational and administrative voice
4 and data traffic. What sort of traffic is now moving
5 over ... well, are you talking about when you refer to
6 that existing operational and administrative voice and
7 data traffic?

8 MR. DOWNTON: Basically what is carried over that
9 now is the data that supports the Control Centre, and
10 basically allows the remote terminal unit in the station
11 to communicate with the Energy Control Centre, which
12 is what we call operational data, and also carries the
13 operational voice traffic as well, so that's basically,
14 when I talk about operational voice and data, that's
15 what I refer to.

16 MR. HUTCHINGS, Q.C.: Okay, so that's travelling over
17 the PLC now?

18 MR. DOWNTON: Yes.

19 MR. HUTCHINGS, Q.C.: Okay, and could travel it over
20 the enhanced PLC?

21 MR. DOWNTON: Maybe.

22 MR. HUTCHINGS, Q.C.: Does the advanced PLC
23 provide any increased bandwidth over what exists
24 today?

25 MR. DOWNTON: One of the issues which basically
26 we've tried to address here, in the KEMA report, what
27 it basically indicates is that on a future basis, we should
28 be looking at a minimum of 9,600 bits per second as the
29 bandwidth or data speed ...

30 MR. HUTCHINGS, Q.C.: Yeah.

31 MR. DOWNTON: ... to the RQ's.

32 MR. HUTCHINGS, Q.C.: Yeah, okay, just let me ...

33 MR. DOWNTON: Just let me finish now.

34 MR. HUTCHINGS, Q.C.: ... interrupt you there for a
35 second because I wanted to talk first about existing
36 operational and administrative voice and data traffic.

37 MR. DOWNTON: Okay.

38 MR. HUTCHINGS, Q.C.: And then we're going to get
39 to the future in a minute, okay?

40 MR. DOWNTON: Okay.

41 MR. HUTCHINGS, Q.C.: So in terms of the existing, it's
42 travelling over the PLC now and could travel over the
43 enhanced PLC, is that correct?

44 MR. DOWNTON: Yes.

45 MR. HUTCHINGS, Q.C.: Okay, would the enhanced
46 PLC provide any additional bandwidth over what
47 you've got now?

48 MR. DOWNTON: Yes.

49 MR. HUTCHINGS, Q.C.: Okay, to what extent?

50 MR. DOWNTON: To, it will basically provide
51 bandwidth for about, well what we call 9,600 bits per
52 second.

53 MR. HUTCHINGS, Q.C.: Okay, that's the new PLC
54 could do that?

55 MR. DOWNTON: Yes.

56 MR. HUTCHINGS, Q.C.: Alright, okay, let's move on
57 now to the future operational and administrative voice
58 and data traffic, and I think that's what you had talked,
59 started to talk about, and that's what KEMA is talking
60 about.

61 MR. DOWNTON: Yes.

62 MR. HUTCHINGS, Q.C.: Okay, so once ... there's a
63 connection then between this west coast PLC
64 replacement and the EMS project that KEMA's talking
65 about, is there?

66 MR. DOWNTON: There is, I guess, a connection in the
67 sense that we know that down the road we will require
68 additional bandwidth.

69 MR. HUTCHINGS, Q.C.: Uh hum.

70 MR. DOWNTON: And I guess when it was identified
71 in the KEMA report, the reason that we elected to go
72 with the digital microwave is because the digital
73 microwave will handle our future requirements, but
74 putting in a powerline carrier system will not. We

1 would have to put in three powerline carrier systems
2 over that transmission line to provide the requirements
3 to meet what's defined in the KEMA report.

4 MR. HUTCHINGS, Q.C.: Okay, so you're saying that if
5 the Board approves the EMS replacement plan in the
6 form that is before them now, you will need this
7 additional bandwidth on these two power lines?

8 MR. DOWNTON: I guess what I'm saying is down the
9 road that is a future possibility and I guess what we
10 did, we recommended to management that we should be
11 proactive on this and the investment of an additional
12 \$158,000 was, was the thing that we should do.

13 MR. HUTCHINGS, Q.C.: Okay, just, I wanted to try to
14 pin this down a little bit further. If the project for
15 replacement of the EMS as contained in this year's
16 capital budget application is approved, how much
17 bandwidth are you going to need on these two
18 powerlines at the time that that project is
19 commissioned?

20 MR. DOWNTON: Well, basically when the EMS is
21 turned up, it will basically be turned up to support the
22 existing bandwidth, and then it will be increased at a
23 future time.

24 MR. HUTCHINGS, Q.C.: I'm not following you now. If
25 the project that's in here for the new EMS is approved
26 ...

27 MR. DOWNTON: Yes.

28 MR. HUTCHINGS, Q.C.: The day that you flick the
29 switch and start the new system, how much bandwidth
30 do you need on these two powerlines?

31 MR. DOWNTON: When we turn up the new Energy
32 Management System, it will be turned up such that it
33 will support the existing bandwidth, and it will be
34 increased at a future time as we change from the
35 proprietary protocol to the open protocols.

36 MR. HUTCHINGS, Q.C.: Okay, my technical
37 understanding of this is obviously nowhere close to
38 yours, but I had, I was approaching this from the point
39 of view that what the EMS was doing would have to be
40 supported by a certain amount of bandwidth. You're
41 telling me that the EMS is supporting the bandwidth.
42 Can you help me out with that?

43 MR. DOWNTON: I guess we know that right now we
44 do have issues with bandwidth going into some of our
45 stations.

46 MR. HUTCHINGS, Q.C.: Uh hum.

47 MR. DOWNTON: And it is our goal to increase that
48 bandwidth, so basically you will provide better
49 operational performance by the EMS and also by the
50 Control Centre staff. We know that, and ... however, to
51 my ... I guess from our perspective, to go and do both
52 an upgrade on the bandwidths and also the
53 replacement of the EMS at the same time is a risk, so
54 what we would do is to put the Energy Management
55 System in place using the existing bandwidth, and then
56 upgrade to the additional bandwidth on a go forward
57 basis.

58 MR. HUTCHINGS, Q.C.: Okay, and what will the
59 additional bandwidth do for the EMS?

60 MR. DOWNTON: Well, just to give you an example,
61 basically if you were operating a breaker at a certain
62 station now, it could take upwards to a minute to
63 basically get the indication back that you have a
64 breaker change. With faster bandwidth, you will get
65 that back in a much quicker timeframe, I'd say within
66 anywhere from four to ten seconds.

67 MR. HUTCHINGS, Q.C.: Okay.

68 MR. DOWNTON: So you will basically have provided
69 additional performance through the EMS by the
70 dispatchers.

71 MR. HUTCHINGS, Q.C.: Okay.

72 MR. DOWNTON: Also for other parts you will actually
73 improve some of the restoration in other parts of the
74 province.

75 MR. HUTCHINGS, Q.C.: Uh hum, so why does that
76 difference of 50 to 56 seconds make a difference, why is
77 that important?

78 MR. DOWNTON: I guess just from the fact of, well I
79 guess you could look at it the other way, most
80 customers would like their power restored as soon as
81 possible.

82 MR. HUTCHINGS, Q.C.: Uh hum.

1 MR. DOWNTON: And that's really what the issue
2 comes down to, is trying to provide the best service
3 that you can with the infrastructure that you have.

4 MR. HUTCHINGS, Q.C.: Okay, is that a cumulative
5 effect in the sense that there's going to be 20 of these
6 breakers that you need to get these indications back
7 from, so we're talking about 80 seconds instead of 20
8 minutes, or are we just talking about one, so we're
9 talking about one minute instead of four seconds?

10 MR. DOWNTON: Well, the way that it works is that
11 each, each station is set up to be scanned, if you want
12 to call it that, on a certain frequency.

13 MR. HUTCHINGS, Q.C.: Uh hum.

14 MR. DOWNTON: And that frequency in a lot of cases
15 is dependent on the bandwidth into that station, so
16 basically if you don't have the bandwidth then you
17 can't scan it at a faster speed to get the information
18 back in a timely fashion.

19 MR. HUTCHINGS, Q.C.: Yeah, no, I understand that.
20 What I'm trying to do is sort of bring this down to the
21 ground in terms of how long the lights are going to be
22 off, and if it's a difference between four seconds and a
23 minute, that's one thing, but if it's a difference between
24 a minute and a half and 20 minutes, that's another thing.
25 Can you tell me which situation we're in?

26 MR. DOWNTON: If you have multiple operations to be
27 done in that station, you're only going to do one at a
28 time.

29 MR. HUTCHINGS, Q.C.: Uh hum.

30 MR. DOWNTON: So I guess in a certain case it could
31 be a cumulative.

32 MR. HUTCHINGS, Q.C.: It could be. Do you know
33 whether that will be the typical situation or is that the
34 odd situation?

35 MR. DOWNTON: I really have no idea, it really
36 depends on, I guess, what happens as far as the power
37 interruption.

38 MR. HUTCHINGS, Q.C.: Yeah, okay, so far as you can
39 tell us, the difference may be between four to ten
40 seconds or four to six seconds and a minute that we're

41 looking at in terms of outage, that's what you're trying
42 to get at, is that correct?

43 MR. DOWNTON: I'm just telling you, I guess, the time
44 that it takes to actually, to process a, say a change in
45 breaker operation through the EMS.

46 MR. HUTCHINGS, Q.C.: Uh hum, okay.

47 MR. DOWNTON: Whether it will be any longer than
48 that, I can't speak to that.

49 MR. HUTCHINGS, Q.C.: Yeah, okay, I believe you said
50 with the new PLC you'd be up to 9,600 bits per second,
51 is that correct?

52 MR. DOWNTON: Yes.

53 MR. HUTCHINGS, Q.C.: And what does KEMA
54 recommend for the EMS system? What speed do they
55 think is required?

56 MR. DOWNTON: What they are recommending is that
57 Hydro should be looking at 9,600 bits per second
58 across the board.

59 MR. HUTCHINGS, Q.C.: And that's what this PLC will
60 give you, the enhanced PLC.

61 MR. DOWNTON: The enhanced PLC will give me 9,600
62 bits for Howley, but it will not be able to support Indian
63 River and Springdale which are downstream and will
64 have to go over that powerline carrier as well.

65 MR. HUTCHINGS, Q.C.: Okay.

66 MR. DOWNTON: The way ... maybe, the way the data
67 is transferred, it actually goes, say from Indian River to
68 Howley and then Howley to Hines Lake, so that
69 powerline carrier between Hines Lake and Howley will
70 have to carry the bandwidth to support those two
71 stations as a minimum.

72 MR. HUTCHINGS, Q.C.: Okay, so what link exists now
73 from Indian River to Howley?

74 MR. DOWNTON: It's a powerline carrier.

75 MR. HUTCHINGS, Q.C.: And what powerline is that
76 on?

77 MR. DOWNTON: TL-224.

1 MR. HUTCHINGS, Q.C.: Okay, so you ...

2 MR. SAUNDERS, CHAIRMAN: Is that in the
3 microphone there, Mr. Downton?

4 MR. DOWNTON: Sorry, TL-224.

5 MR. HUTCHINGS, Q.C.: Okay, you don't have any
6 plan at the present time to upgrade that do you?

7 MR. DOWNTON: TL-224 and the line beyond that
8 from Indian River to Springdale is being replaced this
9 year.

10 MR. HUTCHINGS, Q.C.: Is being replaced this year?

11 MR. DOWNTON: Yes.

12 MR. HUTCHINGS, Q.C.: And with what?

13 MR. DOWNTON: It's being replaced with powerline
14 carrier.

15 MR. HUTCHINGS, Q.C.: This enhanced one that we're
16 talking about here?

17 MR. DOWNTON: Yes.

18 MR. HUTCHINGS, Q.C.: So that already could carry
19 the 9,600 bits, could it?

20 MR. DOWNTON: Yes.

21 MR. HUTCHINGS, Q.C.: Alright, I may be lost again
22 now, so if the, if with the enhanced powerline carrier
23 from Hines Lake to Howley, you can get 9,600 bits per
24 second on that, and with the new line to Indian River,
25 you're getting 9,600 bits on that, where is the
26 slowdown?

27 MR. DOWNTON: The slowdown comes from the fact
28 that as the, as you come backwards from say Indian
29 River to Howley, Howley to Hines Lake, is that it
30 becomes, it becomes cumulative, so rather than
31 carrying, say one 9,600 bog (*phonetic*) channel, if you
32 want to call it, over that TL-243, you'll end up having to,
33 say, carry two, and that powerline carrier will not
34 support two.

35 MR. HUTCHINGS, Q.C.: Okay, so the issue is more
36 with respect to the configuration of Howley and Indian
37 River, and Howley ... or Indian River and Springdale,

38 Springdale and Grand Falls, whatever it is, rather than
39 necessarily something inherent in TL-243 itself. It's a
40 combination of things rather than what you're
41 suggesting for TL-243 that's creating the problem,
42 correct?

43 MR. DOWNTON: It's basically a combination.

44 MR. HUTCHINGS, Q.C.: Okay, how long has the
45 KEMA report been in preparation?

46 MR. DOWNTON: I think we started the study, if I'm
47 not mistaken maybe January, January or February.

48 MR. HUTCHINGS, Q.C.: 2002?

49 MR. DOWNTON: Yes.

50 MR. HUTCHINGS, Q.C.: Okay, were you aware at the
51 time that you sought approval to upgrade the PLC on
52 the Indian River/Howley stretch, that you would, had
53 the possibility of replacing that with a microwave
54 anyway?

55 MR. DOWNTON: Could you say that question again?
56 I get the ...

57 MR. HUTCHINGS, Q.C.: You're telling me that the
58 Indian River to Howley TLC was, is being replaced this
59 year?

60 MR. DOWNTON: Yes.

61 MR. HUTCHINGS, Q.C.: With the enhanced PLC?

62 MR. DOWNTON: Yes.

63 MR. HUTCHINGS, Q.C.: I mean were you aware at the
64 time that you sought approval for that project that you
65 were going to do the digital microwave which I presume
66 will mean that this PLC won't need to perform that
67 function at all?

68 MR. DOWNTON: Which PLC, the ...

69 MR. HUTCHINGS, Q.C.: Indian River/Howley.

70 MR. DOWNTON: Indian River/Howley is required
71 anyway.

72 MR. HUTCHINGS, Q.C.: So if the current project is
73 approved, you're telling me that the data will travel

1 Indian River/Howley on the PLC that's going in this
2 year.

3 MR. DOWNTON: Yes.

4 MR. HUTCHINGS, Q.C.: And then will go to the digital
5 microwave.

6 MR. DOWNTON: Yes.

7 MR. HUTCHINGS, Q.C.: And that does not give you
8 the same problem as two PLCs, is that correct?

9 MR. DOWNTON: Well, what we are ... I'm not sure
10 what you mean by giving the same problems as two
11 PLCs.

12 MR. HUTCHINGS, Q.C.: Well, you told me that if you
13 had to go over two spans, you wouldn't get the 9,600
14 bits per second on the PLC.

15 MR. DOWNTON: Yes.

16 MR. HUTCHINGS, Q.C.: Are you telling me that you
17 can go one span on PLC and one span on digital
18 microwave and still get the 9,600?

19 MR. DOWNTON: I can basically ... well one PLC will
20 support 9,600.

21 MR. HUTCHINGS, Q.C.: Yes, and the digital microwave
22 obviously supports 9,600.

23 MR. DOWNTON: Yes.

24 MR. HUTCHINGS, Q.C.: But I mean you're still talking
25 two spans, are you not?

26 MR. DOWNTON: What do you mean by two spans?

27 MR. HUTCHINGS, Q.C.: Well, I'm asking you about the
28 problem that you described if you had two spans of
29 PLC, you couldn't get 9,600 cumulatively over the two
30 of them.

31 MR. DOWNTON: Well, basically what I need is rather
32 than 9,600, I need 19.2, that's what I'm trying to say, is
33 that over the powerline carrier on 243, to support the
34 future, you'll be wanting a minimum of 19.2. That's what
35 I mean by cumulative, as the bandwidth comes back
36 you accumulate it, and you would want 19.2.

37 MR. HUTCHINGS, Q.C.: Okay, are you going to need
38 19.2 on the Indian River to Howley?

39 MR. DOWNTON: Possibly or possibly not. It's ...

40 MR. HUTCHINGS, Q.C.: My question is, does the
41 digital microwave radio that you're proposing to replace
42 the PLC with on 243 and 245 solve the problem of
43 getting you 9,600 bits per second from Indian River to
44 Hines Lake?

45 MR. DOWNTON: There might ... let me answer it in a
46 different way, if I will. The microwave infrastructure
47 that's been proposed from Hines Lake to Howley, the
48 reason that we proposed it is because it gives us
49 operational flexibility for the future ... that putting in a
50 powerline carrier now, we know it will cause us
51 problems in the not-to-distant future, before the life of
52 the, probably before the life of that powerline carrier
53 expires, so we basically felt it was prudent to go ahead
54 and recommend an expenditure of an additional
55 \$158,000 to provide that flexibility, and with that extra
56 flexibility will come enhanced teleprotection, not only
57 over, between Howley and Hines Lake, but also we will
58 carry the teleprotection from Howley to Deer Lake as
59 well to cover off that transmission line.

60 MR. HUTCHINGS, Q.C.: The closing words of the
61 paragraph on page 7 say, the PLC alternative provides
62 little opportunity to increase the bandwidth to Howley,
63 Indian River and Springdale terminal stations for future
64 power system or administrative applications such as
65 substation automation or WAN connectivity over
66 Hydro owned facilities. Is it planned to automate those
67 substations in the near future?

68 MR. DOWNTON: There are no plans that I know of.

69 MR. HUTCHINGS, Q.C.: Yes, and the WAN
70 connectivity issue is still one that I think you're only
71 asking for some money to conduct some studies on this
72 year?

73 MR. DOWNTON: Yes, that's correct.

74 *(10:15 a.m.)*

75 MR. HUTCHINGS, Q.C.: So those are future
76 possibilities?

77 MR. DOWNTON: Those are future possibilities.

1 MR. HUTCHINGS, Q.C.: Okay, and we don't know
2 when they may or if they will come about?

3 MR. DOWNTON: They will come about, but we don't
4 know specifically when.

5 MR. HUTCHINGS, Q.C.: You don't know when, okay,
6 so to the extent that there is a benefit for the digital
7 microwave system related to bandwidth, that will all
8 depend upon whether or not this Board at some point
9 in the future approves capital money to allow some of
10 the other projects that are now mere possibilities, is that
11 correct?

12 MR. DOWNTON: Not really.

13 MR. HUTCHINGS, Q.C.: And why don't you think
14 that's correct?

15 MR. DOWNTON: I guess the reason I say it in that
16 respect is because, I mean we may elect to upgrade the
17 bandwidth requirements on the existing infrastructure
18 that we have and if we basically put a powerline carrier
19 between Hines Lake and Howley, then basically we will
20 not even be able to upgrade it to what we feel is
21 required with that particular infrastructure, so I'm not
22 sure ... I guess what we looked at, it will be an
23 operational bottleneck, and I guess we felt that now is
24 the time to deal with it rather than to deal with it again
25 at some future date.

26 MR. HUTCHINGS, Q.C.: Okay, but the PLC you're
27 talking about now will, in fact, increase your bandwidth
28 from what you've been operating with up to now?

29 MR. DOWNTON: Yes.

30 MR. HUTCHINGS, Q.C.: Yeah, okay. Alright, I want to
31 turn now to the east/west microwave project, and that's
32 dealt with at page B-106 in your filing, and in the
33 telecommunications plan which is Section H of your
34 filing, page 15, Section 3.4, and just an item for
35 clarification first of all, on page 16 of the
36 telecommunications plan at the bottom, in paragraph
37 numbered (i), you say digital microwave radio facilities
38 will provide a reliable and secure teleprotection circuit
39 between the Bay d'Espoir generating station and the
40 industrial load on the Avalon Peninsula. What do you
41 mean by the industrial load on the Avalon Peninsula?

42 MR. DOWNTON: I guess, I can't speak to the exact
43 words, but I know the way the wording used to be, it

44 used to be load centre, so what we're looking at is we'd
45 look at NARL as a significant industrial load, but also
46 the fact that the Avalon is the largest load centre that
47 we have on the island.

48 MR. HUTCHINGS, Q.C.: Okay, so you're talking more
49 ...

50 MS. GREENE, Q.C.: We affectionately ...

51 MR. HUTCHINGS, Q.C.: Sorry.

52 MS. GREENE, Q.C.: I'm sorry, I just want to explain
53 NARL, we affectionately refer to one of our large
54 industrial customers, North Atlantic Refining is NARL.

55 MR. DOWNTON: Sorry.

56 MR. HUTCHINGS, Q.C.: That's fine, Mr. Chair.

57 MS. HENLEY ANDREWS: So do we, so we weren't
58 surprised.

59 MR. HUTCHINGS, Q.C.: We knew exactly what he
60 meant, so the reference really is to the size of the load
61 in the area rather than necessarily an industrial load,
62 because obviously there's larger industrial loads in
63 other parts, in other places.

64 MR. DOWNTON: It's the importance of the load
65 centres, yes.

66 MR. HUTCHINGS, Q.C.: Uh hum, okay, at the bottom
67 of page 15, there's a sentence included in the plan
68 which says to meet this goal, and that's the reduced
69 reliance on leased services, it was proposed and
70 approved by the Board to install an east/west
71 interconnection microwave radio system between the
72 existing Sandy Brook Hill and the new Bull Arm
73 repeater sites, and I guess my question really is just
74 one of internal perception at Hydro since there was
75 some expenditure on this project approved for last year,
76 is that correct?

77 MR. DOWNTON: Yes.

78 MR. HUTCHINGS, Q.C.: So just your ... I mean I'm not
79 asking you for any legal interpretation, but just your
80 perception within Hydro, is that the project now has
81 been approved?

82 MR. DOWNTON: No.

1 MR. HUTCHINGS, Q.C.: No?

2 MR. DOWNTON: No, it's not approved until it's
3 approved at the Board. What was approved was for us
4 to do the actual engineering, which is what we've,
5 which is what we are doing this year.

6 MR. HUTCHINGS, Q.C.: Okay.

7 MR. DOWNTON: It's no different than when we did
8 the east coast, it was done in a very similar fashion.

9 MR. HUTCHINGS, Q.C.: Okay, so you would not agree
10 with the statement that's made in the plan that it has
11 been proposed and approved by the Board to install a
12 microwave system?

13 MR. DOWNTON: It's been approved by the Board to
14 go ahead with the engineering.

15 MR. HUTCHINGS, Q.C.: Yeah.

16 MR. DOWNTON: We are hopeful that the Board will
17 approve the second half of the project which is for
18 2003.

19 MR. HUTCHINGS, Q.C.: Okay, and there hasn't been
20 any installation done yet though, has there?

21 MR. DOWNTON: No.

22 MR. HUTCHINGS, Q.C.: No, okay, the reference to
23 industrial load at the bottom of page 16 was in part of,
24 the paragraph that begins, the justification for the
25 proposed east/west microwave connection may be
26 itemized as follows, and you talk about a reliable and
27 secure teleprotection circuit between Bay d'Espoir and
28 the industrial load on the Avalon Peninsula. I take it
29 there is teleprotection in place there now?

30 MR. DOWNTON: Yes.

31 MR. HUTCHINGS, Q.C.: And how is that provided?

32 MR. DOWNTON: That's ... the existing teleprotection
33 for 202 and 206 are provided over powerline carrier.

34 MR. HUTCHINGS, Q.C.: Okay, we won't repeat the
35 discussion we've had about the teleprotection provided
36 by PLC, I think that's already on the record. The
37 second item here says that the infrastructure installed
38 through the microwave radio system will enable the

39 company to relocate approximately half of its VHF
40 mobile radio repeaters to company-owned facilities.
41 This will better position the company to be able to react
42 to the downsizing of Aliant's infrastructure. I take it the
43 reference there is to the VHF mobile radio system that's
44 discussed in Section 3.7 of the telecommunication plan,
45 is that correct?

46 MR. DOWNTON: That's correct.

47 MR. HUTCHINGS, Q.C.: Okay, and that's the system
48 that you applied to the Board last year to replace,
49 correct?

50 MR. DOWNTON: Yes.

51 MR. HUTCHINGS, Q.C.: And that application was not
52 permitted and I understand from page 23 of the plan
53 now, that's planned to be applied for for 2004/2005?

54 MR. DOWNTON: That's correct.

55 MR. HUTCHINGS, Q.C.: Okay, so in the event that the
56 Board does not approve the replacement of that system
57 in 2004/2005, I presume that this advantage of the
58 interconnection microwave radio system wouldn't have
59 any application any longer, is that correct?

60 MR. DOWNTON: Could you repeat that question
61 please?

62 MR. HUTCHINGS, Q.C.: If the VHF mobile radio
63 system is not approved by the Board, the new one for
64 next year, I take it that this business of putting your
65 repeaters on the structure you're going to create under
66 this plan won't be an issue.

67 MR. DOWNTON: We will basically leave it on
68 NewTel's infrastructure where it is now and pay the
69 leasing, the associated leasing costs on a go forward
70 basis.

71 MR. HUTCHINGS, Q.C.: Okay, and the third potential
72 justification for the east/west microwave is reduction of
73 your dependency on a third party.

74 MR. DOWNTON: That's one of the justifications, yes.

75 MR. HUTCHINGS, Q.C.: That's in ... okay, so those are
76 the three items that are listed on page 16 to 17 as the
77 justification, correct?

1 MR. DOWNTON: Yes.

2 MR. HUTCHINGS, Q.C.: That's the third one, okay.

3 MR. DOWNTON: Yes.

4 MR. HUTCHINGS, Q.C.: On page B-107 of your filing,
5 you note that you've agreed to meet with
6 Newfoundland Power to review some areas of potential
7 cooperation relative to this, but you say then,
8 collaboration with NP will not reduce the costs of the
9 project?

10 MR. DOWNTON: That's right.

11 MR. HUTCHINGS, Q.C.: Can you explain to me why
12 the costs aren't reduced if you collaborate with NP?

13 MR. DOWNTON: Well, basically we'll be providing
14 them pretty much with ... as a for instance, if we're
15 going to provide teleprotection for them, say between
16 Sunnyside and Clarenville, as a for instance.

17 MR. HUTCHINGS, Q.C.: Uh hum.

18 MR. DOWNTON: What we will do over the microwave
19 infrastructure is provide the channel, the bandwidth, if
20 you want to call it that, between those two points, and
21 then on each end of the point, they will still have to
22 provide the infrastructure, if you want to call it, to
23 actually process the signalling, so there's really no
24 reduction in the infrastructure that we would add,
25 whether Newfoundland Power is there or not.

26 MR. HUTCHINGS, Q.C.: Okay, but I mean the channel
27 that you would provide them over that line, as a for
28 instance, is that a channel that's going to be there
29 anyway if you proceed with the project as planned?

30 MR. DOWNTON: Yes.

31 MR. HUTCHINGS, Q.C.: So presumably they'll pay you
32 something for that?

33 MR. DOWNTON: Yes.

34 MR. HUTCHINGS, Q.C.: If they use it?

35 MR. DOWNTON: Yes, yes.

36 MR. HUTCHINGS, Q.C.: Okay, so wouldn't you regard
37 that as a reduction in your costs?

38 MR. DOWNTON: Well, it is a reduction in our
39 operational costs.

40 MR. HUTCHINGS, Q.C.: Yes.

41 MR. DOWNTON: As opposed to the capital costs of
42 the project.

43 MR. HUTCHINGS, Q.C.: Yeah, okay, yeah. Alright, I
44 want to talk a little bit now about the EMS project and
45 the KEMA Consulting report which is at Tab 5 of
46 Section G of your filing, and the EMS capital budget
47 explanation starts at page B-91. First of all, I want to try
48 to understand a little bit better the interaction between
49 the EMS per se, as dealt with in the project at page B-
50 91, and the SCADA system which is dealt with as part
51 of the migration study in B-120, because when I was
52 reading the KEMA report it seemed to me that the EMS
53 and SCADA or SCADA, whatever you call it, system,
54 were basically going to be dealt with all at once and the
55 description at B-91 seems to be directed towards EMS,
56 while SCADA looks to be studied a bit more in 120, so
57 can you just see if you can bring that together for me a
58 little?

59 MR. DOWNTON: Yeah, basically B-91 refers directly
60 to the KEMA report and basically speaks to the
61 replacement of the Energy Management System, and B-
62 120 speaks to the, to a study to be carried out to look at
63 the replacement of the infrastructure that carries our
64 operational voice and data systems now. Basically
65 they are two separate entities. One is the EMS and then
66 the other one is really the, the voice and data
67 equipment that brings the voice and data from the field
68 into the Energy Control Centre.

69 MR. HUTCHINGS, Q.C.: Okay, so are we in a situation
70 where you can proceed with the replacement of the
71 EMS as recommended by KEMA using the existing
72 voice and data system and then migrate that to a new
73 system at a later date?

74 MR. DOWNTON: Yes.

75 MR. HUTCHINGS, Q.C.: Okay, so there's no advantage
76 to doing that all together, is there, or is there, in fact, a
77 disadvantage?

78 MR. DOWNTON: Well, basically it speaks to two
79 different projects. The B-91 speaks to, I guess, the
80 technical obsolescence of the energy management
81 infrastructure, and B-120 speaks to the obsolescence of

1 the infrastructure that's in the field that carries the
2 operational voice and data, so basically it speaks to
3 two, two different sets of infrastructure, admittedly that
4 both of them do integrate at the front of the Energy
5 Management System, and the Energy Control Centre.

6 MR. HUTCHINGS, Q.C.: I mean the KEMA report, in
7 my reading of it, seems to talk as much about the
8 SCADA system as it does about EMS.

9 MR. DOWNTON: No.

10 MR. HUTCHINGS, Q.C.: You don't think that's
11 accurate?

12 MR. DOWNTON: Well, show me where it speaks to
13 SCADA is probably the easiest thing.

14 MR. HUTCHINGS, Q.C.: Well, if you look at the table
15 of contents, when you get into, (3), assessment of
16 existing systems and processes, and just talking about
17 the general assessment, and then they talk about
18 SCADA assessment, and that's ...

19 MR. DOWNTON: Okay, well maybe I'll help clarify
20 that.

21 MR. HUTCHINGS, Q.C.: And I mean it's the same thing
22 in driving forces for change, the largest section seems
23 to be SCADA, 4.3, and future system definition, one of
24 the larger sections is SCADA requirements, 7.2.

25 *(10:30 a.m.)*

26 MR. DOWNTON: Okay, let me clarify that. Let me
27 explain what the Energy Management System is and
28 basically how it is built in a building block fashion. An
29 Energy Management System starts off with a building
30 block called a SCADA, which is Supervisory Control
31 and Data Acquisition. So that's the fundamental
32 portion of an Energy Management System. Then on
33 top of that you put in another subsystem called, some
34 people call it Automatic General Control and Economic
35 Dispatch, so again, that layers on top of SCADA. Then
36 you basically put in another set of applications which
37 are often called power system applications or power
38 network analysis tools, and then they layer on top of
39 SCADA and AGC, so an Energy Management System
40 actually consists of SCADA, AGC, and economic
41 dispatch and power system analysis tools, plus there's
42 other applications you can get as well, so as much as
43 the energy management document here speaks to

44 SCADA, what it's speaking to is an assessment of the
45 SCADA functionality that is inherent in the Energy
46 Management System itself. It's not speaking to
47 anything on the outside.

48 MR. HUTCHINGS, Q.C.: Okay, so it's fair to say that
49 SCADA is a part of EMS?

50 MR. DOWNTON: Yes.

51 MR. HUTCHINGS, Q.C.: Okay, but it's not that part
52 that we're dealing with in B-91, we're not dealing with
53 SCADA in B-91, we're just dealing with the add ons.

54 MR. DOWNTON: Well, basically we're dealing with
55 SCADA in the sense that it's inherent to the Energy
56 Management System.

57 MR. HUTCHINGS, Q.C.: Okay, alright, but we're not
58 talking about replacing SCADA?

59 MR. DOWNTON: Yes.

60 MR. HUTCHINGS, Q.C.: We are?

61 MR. DOWNTON: Yes, because ...

62 MR. HUTCHINGS, Q.C.: In B-91?

63 MR. DOWNTON: In B-91, we're talking about
64 replacement of the Energy Management System and by
65 default you are replacing the software and hardware
66 that supports SCADA, Automatic General Control and
67 Economic Dispatch, and power system analysis. It's all,
68 it's all one set of hardware and one set of software that's
69 basically integrated.

70 MR. HUTCHINGS, Q.C.: Okay, but there are elements
71 of SCADA that don't necessarily affect EMS, is that
72 fair?

73 MR. DOWNTON: The field equipment that supports
74 the SCADA functionality are like RTUs and the
75 telecommunications infrastructure.

76 MR. HUTCHINGS, Q.C.: Okay, the B-120 project is
77 talking about a migration assessment study developed,
78 design and implementation of a wide area network
79 communications infrastructure to replace the existing
80 operational data and operational voice network using
81 the GDC infrastructure, so if B-120 was completed and

1 the determination was made to proceed with this WAN,
2 would SCADA continue to exist?

3 MR. DOWNTON: Can you repeat that question again?

4 MR. HUTCHINGS, Q.C.: If 120 was approved and it
5 was decided to implement a wide area network and that
6 went ahead, would SCADA continue to exist or would
7 it be replaced by the WAN?

8 MR. DOWNTON: SCADA, in the traditional sense,
9 SCADA is a part of the Energy Management System.
10 What is in 120 really is the field infrastructure which
11 carries the data back to the Energy Management
12 System to support the SCADA functionality within
13 Energy Management and then support the other
14 functions within the EMS, such as automatic
15 generation control and power systems analysis
16 functionality.

17 MR. HUTCHINGS, Q.C.: Okay, so really what the
18 WAN is doing is simply replacing the communications
19 functions of SCADA, is that a reasonable description?

20 MR. DOWNTON: It's replacing the communications
21 infrastructure which carries the data back to the Energy
22 Control Centre.

23 \MR. HUTCHINGS, Q.C.: Okay, so the SCADA system
24 would include the RTUs and all these types of things
25 that are generating the data?

26 MR. DOWNTON: If you look at SCADA as the bigger
27 picture, SCADA is a part of the Energy Management
28 System, it is a part of the telecommunications
29 infrastructure, and the RTUs, but the Energy
30 Management proposal which is B-91, specifically deals
31 with the replacement of the Energy Management
32 System, which is located at the Energy Control Centre,
33 and the B-120 specifically deals with the field
34 equipment which will bring the information from the
35 RTUs back to the Control Centre as well as the voice
36 communications.

37 MR. HUTCHINGS, Q.C.: In your explanation, the
38 description of the operating experience, B-91 to 92, you
39 describe how the system basically developed over time
40 and you indicate at the top of page B-92, that system
41 availability is average 99.985 percent over the system's
42 lifetime.

43 MR. DOWNTON: Yes.

44 MR. HUTCHINGS, Q.C.: Is that acceptable?

45 MR. DOWNTON: Overall performance of an
46 availability, of those numbers is acceptable, but that is
47 not what the issue is. The issue is ...

48 MR. HUTCHINGS, Q.C.: No, no, I'm not suggesting
49 that's the only issue, but that has been, it has
50 performed satisfactorily up to this point.

51 MR. DOWNTON: Yes.

52 MR. HUTCHINGS, Q.C.: Yes, okay, and you go on to
53 say there are no functional deficiencies, it's doing what
54 it's supposed to be doing at this point.

55 MR. DOWNTON: That's correct.

56 MR. HUTCHINGS, Q.C.: Okay, your difficulties arise
57 out of the fact that the vendor support is not available
58 and new spare parts are not available.

59 MR. DOWNTON: That's right.

60 MR. HUTCHINGS, Q.C.: Okay, there is reference both
61 in the KEMA report ... I guess it's not here, it's probably
62 just in the KEMA report, in terms of the availability of
63 people trained to actually run the existing system, there
64 is lack of support personnel who understand that
65 system.

66 MR. DOWNTON: Basically the issue is not on the
67 software side, it's on the hardware.

68 MR. HUTCHINGS, Q.C.: Yes.

69 MR. DOWNTON: Yes.

70 MR. HUTCHINGS, Q.C.: Can you just explain for me
71 what issue that is, I mean is it simply that there haven't
72 been people brought up in the system who have
73 learned how to use it?

74 MR. DOWNTON: No, that's not the case. When the
75 Energy Management System project was originally
76 released, what we did, we trained internal staff to
77 maintain the hardware, and as part of the project at that
78 time, we also required local content to be part of that
79 contract as well. In that regard, the company at that
80 time, NORDCO, was engaged by Harris Controls to
81 provide that local content and Harris Controls, they

1 basically trained several people as well to provide the
2 hardware support.

3 MR. HUTCHINGS, Q.C.: Uh hum.

4 MR. DOWNTON: And I guess shortly after we went
5 into operation, NORDCO ceased to exist, and those
6 resources were no longer there, so basically we were
7 down to the staff that we have, and since that time, our
8 staff has either retired or moved on to other positions,
9 so from that regard, that's one of the issues that we
10 have. Even from an external perspective, Harris right
11 now only has one person in their organization who can
12 still support this equipment and he's retiring this year,
13 and out of the 75 systems which were in production
14 when we went live probably in 1990, we are down to
15 three or four systems which are left in production, and
16 there has been no spare parts manufactured for this
17 system since we went live, which was 1990. Within two
18 months of us going live, they basically indicated they
19 were moving on to a new infrastructure.

20 MR. HUTCHINGS, Q.C.: Uh hum, okay, and I'm not
21 sure I picked it up, but did you indicate how many
22 systems were live at the time that you went live?

23 MR. DOWNTON: About 75.

24 MR. HUTCHINGS, Q.C.: Okay, so presumably there are
25 sources of the spare parts from those systems between
26 then and you're down to the three or four that are
27 existing now.

28 MR. DOWNTON: We have purchased some additional
29 spare parts, but what we basically are having problems
30 with is the power supplies for the units are causing us
31 the most problems now, as well as a card called a
32 universal controller, so basically the ability to get those
33 is an issue, but the real issues come to the fact of
34 putting 14 year old equipment in 14 year old equipment,
35 and basically to extend the life of the SCADA system
36 we had in Bay d'Espoir a number of years ago, we went
37 down the same route and it turned in to be a
38 catastrophe because it does get down to the fact that
39 you cannot maintain the equipment, and it does have a
40 real impact on the operational aspects of the Control
41 Centre.

42 MR. HUTCHINGS, Q.C.: Uh hum, okay, the KEMA
43 Consulting report at page 5-1 discusses the alternatives
44 to dealing with the existing system.

45 MS. GREENE, Q.C.: Mr. Hutchings, the page again?

46 MR. HUTCHINGS, Q.C.: 5-1, and there are a number of
47 different options discussed including maintain existing
48 systems and processes, replace existing systems and
49 processes that can, it's talked about either in
50 conjunction with or separate from CF(L)Co. In terms of
51 the disadvantages and risks of maintaining the existing
52 system, it's noted that the hardware becomes
53 increasingly more difficult to maintain and reliability will
54 begin to decrease and it will become vulnerable to
55 extended outages. I think (b) then talks about the issue
56 that you've talked about already, with replacing experts
57 no longer readily available. I presume there are people
58 on your staff who could be trained to do the functions
59 that your current experts are doing?

60 MR. DOWNTON: The training is no longer available,
61 training has not been available for this infrastructure
62 since about '95/96.

63 MR. HUTCHINGS, Q.C.: But I mean presumably the
64 people who are doing it now can pass their knowledge
65 on to people who could do it in the future, is there some
66 reason why that could not happen?

67 MR. DOWNTON: We have attempted over the years
68 to do that, but it has not proven to provide a level of
69 service, but the real issue comes down to the fact that
70 you can train the people, but if the equipment is
71 continuing to fail, you're really not addressing the
72 issue.

73 MR. HUTCHINGS, Q.C.: I understand what you're
74 saying and I want to try to deal with the various items
75 that are mentioned in the report here. They talk about
76 personnel dissatisfaction, and that's understandable.
77 (d), NLH has no ability to react, to quickly react to
78 possible changes in mission. Now the changes in
79 mission, I think, were discussed earlier in the report,
80 and that seemed to contemplate possibly legislative or
81 other change whereby Hydro might or might not be
82 interacting on a different basis with Newfoundland
83 Power, or might buy Newfoundland Power or be bought
84 by Newfoundland Power, things of that nature?

85 MR. DOWNTON: I think basically it speaks to, I guess,
86 any implications which might come from the Energy
87 Policy Review.

88 MR. HUTCHINGS, Q.C.: Yes, okay, and does Hydro
89 have any current information as to specific actions that

1 Government may take arising out of the Electricity
2 Policy Review?

3 MR. DOWNTON: I wouldn't be able to speak to that.

4 MR. HUTCHINGS, Q.C.: Mr. Haynes?

5 MR. HAYNES: No.

6 MR. HUTCHINGS, Q.C.: No, okay, alright, the other
7 disadvantages that are talked about there,
8 communications limitations remaining, efforts to
9 maintain data consistency requires some extra effort.
10 The OIS remains nonredundant, have there been
11 operating problems with the OIS itself ... that I
12 understand is the program that you use to allow the
13 EMS to communicate with other programs?

14 MR. DOWNTON: Not that I'm aware of.

15 MR. HUTCHINGS, Q.C.: There are issues about
16 functions being integrated or not, powerline systems
17 applications are dated, we understand that,
18 communications error and statistics reporting is limited,
19 and I take it that's an issue of data manipulation in
20 terms of you can't get the reports in the format you'd
21 like them.

22 MR. DOWNTON: Yes.

23 MR. HUTCHINGS, Q.C.: And tools, tools that the
24 operations could use are nonfunctional, you can't use
25 your existing software, I guess, mainly to the extent that
26 it could be used under a different arrangement, is that
27 correct?

28 MR. DOWNTON: That's correct.

29 MR. HUTCHINGS, Q.C.: Yeah, okay, and your ultimate
30 proposal then is to proceed in conjunction with
31 CF(L)Co. to replace that system?

32 MR. DOWNTON: Basically I guess what we propose
33 is in conjunction with CF(L)Co., we would take on a
34 joint project to replace Hydro's Energy Management
35 System, and CF(L)Co.'s SCADA system, and thereby,
36 I guess, reduce the overall costs to do the project.

37 MR. HUTCHINGS, Q.C.: Okay, do you have a
38 commitment from CF(L)Co., subject to Board approval
39 in that regard?

40 MR. DOWNTON: Subject to the Board of Directors of
41 CF(L)Co.'s approval, yes, it is in their capital plan.

42 MR. HUTCHINGS, Q.C.: Okay, this project also talks
43 about an operator training simulator?

44 MR. DOWNTON: Yes.

45 MR. HUTCHINGS, Q.C.: Have you made any
46 projections as to the number of hours that such a
47 simulator would be used if it were installed?

48 MR. DOWNTON: Not as far as I know.

49 MR. HUTCHINGS, Q.C.: Okay, is there a big turnover
50 in power system operators in your organization?

51 *(10:45 a.m.)*

52 MR. DOWNTON: Yes.

53 MR. HUTCHINGS, Q.C.: To what extent, how often
54 would that ...

55 MR. DOWNTON: I don't have the numbers but I do
56 know that a lot of the operators were hired when Hydro
57 came into being, and a lot of them stayed with the
58 company, and we've had quite a number of retirements
59 in the last two or three years, and we are recruiting new
60 people and I would suggest in the last two years we
61 have probably three or four at least hired into the
62 Energy Control Centre.

63 MS. GREENE, Q.C.: The issue isn't the turnover to
64 date, the issue is the retirement date for the existing
65 operators.

66 MR. HUTCHINGS, Q.C.: I thank Ms. Greene for her
67 evidence on that point, Mr. Chair.

68 MS. GREENE, Q.C.: I keep forgetting ... that's my
69 human resources hat, I also do the succession planning
70 for our key critical positions.

71 MR. HUTCHINGS, Q.C.: Okay, alright, if we can turn
72 then to the project at B-120, the wide area network
73 communications infrastructure that's being discussed
74 here, I take it is essentially that's described in the IT
75 Technical Architecture Strategy Report?

76 MR. DOWNTON: Yes.

1 MR. HUTCHINGS, Q.C.: Okay, and I don't know if you
2 were able to get a copy of that report.

3 MR. DOWNTON: I have a copy.

4 MR. HUTCHINGS, Q.C.: Okay, there are a couple of
5 points, I guess, that I wanted to deal with. Am I correct
6 that the general philosophy behind this report is that
7 essentially every employee of Hydro should have
8 access to a single network to input and output
9 whatever data relates to their job function?

10 MR. DOWNTON: In the ideal environment, I mean
11 that's what you're trying to achieve, but that will never
12 be the case.

13 MR. HUTCHINGS, Q.C.: No.

14 MS. NEWMAN: Can I interrupt for a second, what
15 report are we talking about here?

16 MR. HUTCHINGS, Q.C.: The Technical Architecture
17 Strategy.

18 MS. NEWMAN: The report that was filed in the GRA?

19 MR. HUTCHINGS, Q.C.: Yes.

20 MS. NEWMAN: We have a copy here if the panel
21 wants to have it to look at, or need it?

22 MR. SAUNDERS, CHAIRMAN: Will you need the full
23 report or the ... are you just going to be referring to
24 some of the pages, Mr. Hutchings?

25 MR. HUTCHINGS, Q.C.: I'll probably be referring to a
26 few pages, Mr. Chair. If there are particular parts of it
27 that I think you need, we can stop and try to get that
28 for you, but I don't think that it will be at that level of
29 detail that you're likely to need to have the whole thing,
30 but we'll see where it goes.

31 MR. SAUNDERS, CHAIRMAN: Okay.

32 MS. NEWMAN: There is one copy here on the table if
33 you do need it.

34 MR. HUTCHINGS, Q.C.: Okay, this is the report that
35 was referred to yesterday.

36 MR. SAUNDERS, CHAIRMAN: Yes.

37 MR. HUTCHINGS, Q.C.: It's mentioned at D-102 as the
38 response to U-Hydro-37, which was filed after the
39 general rate hearing application was concluded, and it
40 was filed in February, at the end of February 2002.

41 MR. SAUNDERS, CHAIRMAN: Maybe since it's now
42 almost 11:00, we could break at this stage and you
43 could probably indicate to the Clerk or Ms. Newman
44 what pages you're going to be referring to and we can
45 have them copied during the break and have the panel
46 prepared. How's that?

47 MR. HUTCHINGS, Q.C.: I can look at that, Mr. Chair.

48 MR. SAUNDERS, CHAIRMAN: Okay, we'll break until
49 11:15.

50 *(break)*

51 *(11:25 a.m.)*

52 MR. SAUNDERS, CHAIRMAN: Okay, Mr. Hutchings,
53 are we ready?

54 MR. HUTCHINGS, Q.C.: Yes, thank you, Mr. Chair, the
55 Clerk has been good enough to photocopy some
56 identified pages of the IT Technical Architecture
57 Strategy, and there will be a number of those that I'll be
58 referring to in connection with a couple of different
59 projects as we go ahead, but I'll refer you to those as
60 we go along. Mr. Downton, dealing first with the
61 project at B-120, this is called a migration assessment
62 study. Is this a study to determine if Hydro should go
63 to a wide area network communications infrastructure,
64 or how to go about it?

65 MR. DOWNTON: Well, basically it's to do an
66 assessment ... I'm going to ask you to repeat the
67 question.

68 MR. HUTCHINGS, Q.C.: Okay, my question is whether
69 the project is to fund a study to determine if Hydro
70 should go to a wide area network communications
71 infrastructure, or to determine how to go about doing
72 that?

73 MR. DOWNTON: No, it's not to determine how to go
74 about it, it's really to determine ... we have a wide area
75 network infrastructure now which basically is obsolete.

76 MR. HUTCHINGS, Q.C.: Uh hum.

1 MR. DOWNTON: And the intent of the assessment
2 study is to look at the various technologies, and to
3 determine which is the best technical fit to replace the
4 existing infrastructure.

5 MR. HUTCHINGS, Q.C.: Okay, and how does that go
6 beyond the IT Architecture Strategy that you have
7 now?

8 MR. DOWNTON: It will take it down to a much more
9 detailed level in a sense ... what, like I say, from what I
10 remember what's in the IT Architectural Strategy, it
11 speaks to the fact that ideally what we want to do is
12 migrate to a single type of infrastructure. Ideally that
13 infrastructure should be what you call IP, or internet
14 protocol based technology, and in the architectural
15 report, they do speak to several other technologies, and
16 I guess what we want to discern at this point in time is
17 which of those technologies we should be really going
18 with and to, at the same time, to do a proof of concept,
19 not only to basically speak to the technology, but to
20 really do a proof of concept and show that this
21 technology will work, and the migration aspect of it
22 really deals with the fact that we need to implement at
23 some future point the new infrastructure and replace the
24 old, and we need to do it in such a fashion that we do
25 not impact the operational voice and data system any
26 more than we have to.

27 MR. HUTCHINGS, Q.C.: Okay, has Hydro committed at
28 this stage to the IP protocol or is that still an issue for
29 debate?

30 MR. DOWNTON: I guess Hydro has committed to the
31 IP protocol, especially for the local area network,
32 because I mean that's the standard in what's being used
33 now.

34 MR. HUTCHINGS, Q.C.: Uh hum.

35 MR. DOWNTON: On a future basis for the actual wide
36 area network, we basically have not committed to the IP
37 protocol. We are hoping that the IP protocol will
38 provide the solution because it will help to shrink our
39 infrastructure, however, we also have to take into
40 consideration the ability of that infrastructure to
41 integrate, so that is the key issue that we have.

42 MR. HUTCHINGS, Q.C.: Uh hum, okay, it's fair to say,
43 I guess, that this project, B-120, as well as a number of
44 others in your current proposal are fairly direct results
45 of the IT Architecture Strategy Report?

46 MR. DOWNTON: They are a direct result, but at the
47 same time the IT Architectural Strategy again laid out a
48 road map, but we still have to deal with the technical
49 obsolescence issues.

50 MR. HUTCHINGS, Q.C.: Sure, okay, at page 10 of the
51 IT Technical Architecture Strategy, which is in the
52 materials that have been distributed, the report talks
53 about security and network management. It says there
54 are two overriding considerations that must be top of
55 mind in the architecture and design of the company's IT
56 infrastructure, and they are security and network
57 management. Does Hydro accept that those are the two
58 overriding considerations?

59 MR. DOWNTON: Probably overriding is a strong
60 word, but security, yes, is a significant issue.

61 MR. HUTCHINGS, Q.C.: Uh hum.

62 MR. DOWNTON: And the ability to manage our
63 infrastructure is a significant issue.

64 MR. HUTCHINGS, Q.C.: They go over onto the next
65 page then and talk about the governing design
66 principles, and there are a number stated there, common
67 user experience, all users being able to access the
68 resources, reliability of the network, infrastructure being
69 scalable and so on. In these governing design
70 principles, do you see any reference to a least cost
71 alternative?

72 MR. DOWNTON: As far as looking at the cost, I mean
73 the cost will be looked at as we deal with each
74 individual project. The goal is to reduce costs where
75 possible.

76 MR. HUTCHINGS, Q.C.: Wouldn't you say that one of
77 the governing design principles should be to seek out
78 a least cost alternative to provide the necessary
79 services to Hydro?

80 MR. DOWNTON: To my mind it's fundamental to
81 provide least cost if possible.

82 MR. HUTCHINGS, Q.C.: Okay, alright, is that
83 something you've discussed with the authors of this
84 report?

85 MR. DOWNTON: No, it's not.

1 MR. HUTCHINGS, Q.C.: The authors of the report do
2 seem to have identified some difficulties in the current
3 system and the use of the current system as it exists.
4 This is, I guess, relevant to the notion of the capital
5 budget because it's an issue about how Hydro uses the
6 capital money that has been spent. On page 21 there's
7 a description of some obvious difficulties with the
8 organization of the server hardware and what they refer
9 to as disarray in the server rooms. Have these issues
10 been addressed by Hydro to date?

11 MR. DOWNTON: Yes, they are being addressed and
12 some of the aspects of addressing that is some of the
13 capital budgets that we've put forward as well.

14 MR. HUTCHINGS, Q.C.: Okay, most of this, I think,
15 you would agree are questions of management,
16 personnel management, and making sure that the proper
17 directions are in place to maintain organizational
18 tidiness?

19 MR. DOWNTON: Some of it is related to that, but
20 some of it is also related to the, I guess, the history of
21 how the infrastructure grew, and that when the
22 infrastructure was originally probably put in and grown,
23 adequate facilities were not in place so we tried to make
24 do with the facilities that we had, but with the reliance
25 on the infrastructure to the point that it is now, it
26 requires further improvements.

27 MR. HUTCHINGS, Q.C.: Okay, now one of the other
28 problems that is noted in the description, and there isn't
29 a specific reference in the materials that have been
30 copied, but it's the issue of a bypass of firewall security
31 policy by use of modems, has that been addressed yet?

32 MR. DOWNTON: Yes.

33 MR. HUTCHINGS, Q.C.: Okay, and how has that been
34 addressed?

35 MR. DOWNTON: Basically we have, as far as dial-in,
36 we have undertaken a plan to remove modems from
37 desktops from offices, unless absolutely required.
38 Typically what we've done, we've put switches in front
39 of modems which have to be left in place, so that no
40 one can dial into those modems, and for some of the
41 stations, we are basically hooking the devices into our
42 wide area network infrastructure as opposed to actually
43 dialing into those sites, so basically it's something that
44 is being continually addressed.

45 MR. HUTCHINGS, Q.C.: Okay, and just go back for a
46 moment to page 11 and the governing design
47 principles. The third bullet there, it says the reliability
48 of a network both for LAN and WAN is of paramount
49 importance as the company moves forward to a single
50 unified network view. As such, the design of the
51 network focuses on achieving 99.99 percent availability
52 for the LAN infrastructure, and 99.9 percent availability
53 for the WAN infrastructure. When we discussed this
54 yesterday afternoon, I was left with the impression that
55 the LAN infrastructure essentially automatically
56 provided 99.99 percent, and this wasn't, you know, a
57 design criteria. When I read this, it leaves me with the
58 other impression, that we need to design a network that
59 will give 99.99 percent. Which of those two views, in
60 your opinion, is correct?

61 MR. DOWNTON: Actually they're both true.

62 MR. HUTCHINGS, Q.C.: Okay.

63 MR. DOWNTON: Depending on the actual site you
64 will find that the equipment itself will give you the
65 number that you're looking for, and in other cases you
66 will actually have to design to it. As far as the 99.9
67 percent for the wide area network, if you basically look
68 at the, further in the Architectural Report, I think there
69 was an assessment done and indicated that the existing
70 infrastructure without any changes met the 99.9 percent
71 number.

72 MR. HUTCHINGS, Q.C.: Okay.

73 MR. DOWNTON: What we did do, we classified our
74 offices, Hydro Place, we basically classified as a priority
75 one, or classification one, and then we looked at
76 Bishops Falls, I think, and Churchill as classification
77 two, and then we looked at our smaller sites as
78 classification three, and we dealt with each one of those
79 independently, because of the importance of the site,
80 and as such made certain design considerations and
81 cost considerations.

82 MR. HUTCHINGS, Q.C.: Okay, when you talk about
83 the local area network, I mean what's the geographic
84 extent to that?

85 MR. DOWNTON: Typically when you look at a local
86 area network, you're talking about a network that's
87 within a building.

1 MR. HUTCHINGS, Q.C.: Okay, and that's the way that
2 it's used in this report when Hydro looks at it?

3 MR. DOWNTON: Yes and no.

4 MR. HUTCHINGS, Q.C.: Okay.

5 MR. DOWNTON: Nothing is ever straightforward.
6 Most people look at a wide area network as branching
7 out, connecting multiple sites.

8 MR. HUTCHINGS, Q.C.: Yes.

9 MR. DOWNTON: But what you will find now is with
10 the technology, the wide area network and the local
11 area network are actually becoming the same, because
12 it's the same technology that's being used.

13 MR. HUTCHINGS, Q.C.: Yes, okay. I mean this report
14 deals with both separately.

15 MR. DOWNTON: Yes.

16 MR. HUTCHINGS, Q.C.: And when we talk about LAN
17 or local area network here, I mean presumably there is
18 one or more local area networks within Hydro Place
19 itself?

20 MR. DOWNTON: There is one local area network
21 within Hydro Place.

22 MR. HUTCHINGS, Q.C.: Okay, and are there other local
23 area networks at other locations?

24 MR. DOWNTON: Yes.

25 MR. HUTCHINGS, Q.C.: Where would they be?

26 MR. DOWNTON: Basically at all our offices, at
27 Bishops Falls, Holyrood, Bay d'Espoir, Port Saunders,
28 Stephenville, St. Anthony, Wabush, Churchill Falls,
29 and Happy Valley.

30 MR. HUTCHINGS, Q.C.: Uh hum, okay, so anywhere
31 you have more than one person, I guess.

32 MR. DOWNTON: Pretty much, yes.

33 MR. HUTCHINGS, Q.C.: Yes, okay, and conceptually,
34 I guess, the WAN is looked at as a link between these
35 various networks?

36 MR. DOWNTON: That's correct.

37 MR. HUTCHINGS, Q.C.: Local area networks, okay, so
38 there are particular applications, I take it, for which if
39 you're going to get 99.99 percent availability on your
40 LAN infrastructure, you do have to customize and pay
41 some extra money, is that correct?

42 MR. DOWNTON: Yes.

43 MR. HUTCHINGS, Q.C.: And those would be typically
44 the ones outside St. John's?

45 MR. DOWNTON: The ones that we would put the
46 most importance on would be Hydro Place first.

47 MR. HUTCHINGS, Q.C.: Uh hum.

48 MR. DOWNTON: And then Bishops Falls second.

49 MR. HUTCHINGS, Q.C.: Am I correct in assuming that
50 what you've got in Hydro Place automatically gives you
51 99.99 percent, or do you need to customize that system
52 to get 99.99 percent?

53 MR. DOWNTON: It was customized for that.

54 MR. HUTCHINGS, Q.C.: It has been customized?

55 MR. DOWNTON: Yes.

56 MR. HUTCHINGS, Q.C.: Okay, have other of the local
57 area networks been customized for that purpose?

58 MR. DOWNTON: Bishops Falls.

59 MR. HUTCHINGS, Q.C.: Okay, and that's the only
60 other one?

61 MR. DOWNTON: That's the only one that comes to
62 mind, to be honest, yes.

63 MR. HUTCHINGS, Q.C.: Okay, so do any of the others
64 have 99.99 percent by default?

65 MR. DOWNTON: By default they have it because of
66 the equipment that's there.

67 MR. HUTCHINGS, Q.C.: Uh hum, okay, so everyone is
68 now at 99.99 percent, is that correct?

1 MR. DOWNTON: It's my understanding ... well my
2 understanding based on the sites that we upgraded.

3 MR. HUTCHINGS, Q.C.: The sites that?

4 MR. DOWNTON: The sites that we have upgraded, I
5 think the answer is yes.

6 MR. HUTCHINGS, Q.C.: Okay, so are there any others
7 planned for upgrading at this point?

8 MR. DOWNTON: As far as the local area network?

9 MR. HUTCHINGS, Q.C.: Uh hum.

10 MR. DOWNTON: No.

11 *(11:30 a.m.)*

12 MR. HUTCHINGS, Q.C.: No, okay, alright, and in terms
13 of achieving this design principle, your existing
14 infrastructure, as I understand it, meets the 99.99
15 percent availability for WAN that's identified here.

16 MR. DOWNTON: Yes, yes.

17 MR. HUTCHINGS, Q.C.: Okay, I guess the other
18 principle that we want to address is all users will be able
19 to access the resources from any location, either within
20 the network or outside the network. Am I reading this
21 correctly to understand that a lineman is intended to be
22 able to access the network with some sort of hand-held
23 device wherever he happens to be?

24 MR. DOWNTON: That is the panacea, but realistically
25 no, because ...

26 MR. HUTCHINGS, Q.C.: That's a bit of a pricey
27 alternative, isn't it?

28 MR. DOWNTON: Yes, very pricey.

29 MR. HAYNES: It is not uncommon in the utility
30 business to do that.

31 MR. DOWNTON: Yes.

32 MR. HAYNES: I think Saskatchewan Power, that's
33 pretty standard fair in their line trucks. They have a
34 laptop, just dial in and they get all the information. We
35 are not there and we have no specific plans to go there,

36 and it may be pricey but it's definitely not uncommon in
37 the utility industry.

38 MR. HUTCHINGS, Q.C.: No, no, I understand that. I
39 guess the issue becomes what we need.

40 MR. HAYNES: That's correct.

41 MR. DOWNTON: That's right.

42 MR. HUTCHINGS, Q.C.: In order to keep the thing
43 running. I guess this brings us really to the question of
44 the end user infrastructure, and page 53 has been
45 reproduced in the materials that have been circulated.
46 Perhaps you could explain, Mr. Downton, or first of all,
47 your understanding of what this report is talking about
48 when it uses the term thin client arrangement.

49 MR. DOWNTON: Yeah, that's ...

50 MR. HUTCHINGS, Q.C.: No reference to obesity I trust.

51 MR. DOWNTON: We've had that joke, yes.

52 MR. HUTCHINGS, Q.C.: I don't doubt.

53 MR. DOWNTON: But on a serious note, a thin client
54 basically ... well let me give you an explanation of a
55 traditional PC. A traditional PC basically has a CPU, it
56 has its own disk storage, and basically it has its own
57 processor, so it basically can run stand-alone. A thin
58 client basically comes with a screen and a keyboard and
59 electronics, but the actual software will run on a server.

60 MR. HUTCHINGS, Q.C.: Uh hum.

61 MR. DOWNTON: And basically that server basically
62 can handle multiple users, typically anywhere from 30
63 to 40 users depending on the application, so really
64 there's no intelligence as per se in a thin client, it just
65 provides connectivity over the LAN, local area
66 network, to a server.

67 MR. HUTCHINGS, Q.C.: Is that what I used to referred
68 to as a dumb terminal?

69 MR. DOWNTON: That was the terminology used
70 many years ago when ... yeah, back then. It's called
71 thin client now. It's very similar in the fact that the
72 technology is going back to a mainframe environment,
73 so the thin client is really the dumb terminal and you

1 have a higher speed communications linking it to the 43 infrastructure that will support our future directions as
2 server. 44 well.

3 MR. HUTCHINGS, Q.C.: Okay, and in your conception 45 MR. HUTCHINGS, Q.C.: Okay.
4 of how your infrastructure is going to work, who will be
5 the thin clients? 46 MR. DOWNTON: The advantages that thin client will
47 bring, it basically significantly reduces administrative
6 MR. DOWNTON: The thin clients are typically ... what 48 costs, primarily because the software resides in one
7 we're looking at is everyone as a thin client to some 49 place and in a very strategic fashion it locks down the
8 degree. 50 ability of users to load on software that should not be
51 there, so really it reduces costs anywhere from 25 to 50
9 MR. HUTCHINGS, Q.C.: Uh hum. 52 percent of the traditional unmanaged PC.

10 MR. DOWNTON: What we've done, we've categorized 53 MR. HUTCHINGS, Q.C.: Okay, at the bottom of page
11 our users into three categories. One, say users who 54 53, there's reference to field staff located in vehicles or
12 require, who are mobile and, say, would have a laptop. 55 non-centralized locations, access being accomplished
13 What we are looking at for them is that when they are 56 through the use of mobile devices and their hand-held
14 disconnected from the network, then they will access 57 devices. Is this any part of the current plan?
15 the applications on their laptop. However, when they
16 come and connect into the network, then they will 58 MR. DOWNTON: The real issue that we have because
17 basically be seen as a thin client to the infrastructure, 59 of our geography is that where we are, there is really no
18 and all there files, etcetera, will be stored on the server. 60 connectivity.

19 MR. HUTCHINGS, Q.C.: Uh hum. 61 MR. HUTCHINGS, Q.C.: Uh hum.

20 MR. DOWNTON: The other classification of user 62 MR. DOWNTON: So most of the connectivity that we
21 would be what we call a power user, which would 63 can get is typically through dial-in, so if you have a
22 typically be someone who is using, say, CAD, or who 64 mobile user, then that user can dial in, say from the
23 is running applications which require a lot of power. 65 hotel or from his home or whatever, but really there is
66 no program in place to provide that connectivity.

24 MR. HUTCHINGS, Q.C.: Uh hum. 67 MR. HUTCHINGS, Q.C.: Okay, I mean would you, in
68 your current situation, see a need for that level of
25 MR. DOWNTON: Say, doing financial analysis, and 69 access?
26 again, except for, say, a CAD user doing CAD
27 drawings, if he's doing normal, say, office productivity
28 type of applications, then again, he would interact with
29 the server as a thin client. And then the third category
30 are really the rest of the users which will only have the
31 screen, the keyboard, and will be actually fixed, so they
32 will interact as a thin client. What we put forward in the
33 proposal is a penetration, starting penetration of about
34 one third of the users will be thin client, true thin
35 clients, but at the same time, the thin client technology
36 will also support the migration and support of JD
37 Edwards One World, which is the next release of JD
38 Edwards Financial ERP Sweep.

39 MR. HUTCHINGS, Q.C.: Uh hum. 70 MR. DOWNTON: Well, I would phrase it, if the
71 business can justify it, then that's an issue, but right
72 now I don't see it as a requirement.

40 MR. DOWNTON: So basically it's the strategic 73 MR. HUTCHINGS, Q.C.: Uh hum, okay.
74 MR. DOWNTON: But the other thing is, is that this
41 alignment in the sense that if we're going to put 75 document is a vision document as well.
42 infrastructure there, we want to make sure we put 76 MR. HUTCHINGS, Q.C.: Uh hum.

77 MR. DOWNTON: And it's looking, say, ten years
78 down the road, so I mean these are things which will
79 probably come to bear in that ten year timeframe.

80 MR. HUTCHINGS, Q.C.: There isn't a reference in the
81 materials you have, but the report refers to the fact that

1 the, as regards to the supervisory control and data
2 acquisition, they say the proprietary Harris protocol will
3 have to be used until at least 2005.

4 MR. DOWNTON: Yes.

5 MR. HUTCHINGS, Q.C.: Why is that?

6 MR. DOWNTON: Because the existing Energy
7 Management System can only speak to Harris
8 proprietary protocol.

9 MR. HUTCHINGS, Q.C.: Okay.

10 MR. DOWNTON: So you will not be able to convert
11 until that system is replaced.

12 MR. HUTCHINGS, Q.C.: Uh hum, alright, we've
13 reproduced then starting at page 80, the discussion of
14 the infrastructure, and some of this gets into another
15 project that I wanted to speak about a little later on, but
16 at the beginning of page 80, in dealing with servers, it's
17 noted that the file and print servers were recently
18 upgraded in most locations. They say the general
19 specification is more than adequate for Hydro's general
20 file and print needs. Is that a comment that you agree
21 with?

22 MR. DOWNTON: Well, it meets Hydro's needs, yes.

23 MR. HUTCHINGS, Q.C.: And will for some time?

24 MR. DOWNTON: It will meet the ... well, yes, it will
25 meet those requirements.

26 MR. HUTCHINGS, Q.C.: **Okay, there's a note along the**
27 **way here which I don't think is in the materials that**
28 **have been reproduced, but it refers to a policy of**
29 **increasing disk space, and I believe this is a reference**
30 **to disk space on the servers, when 50 percent of the**
31 **existing disk space is used. Is that in fact your policy?**

32 MR. DOWNTON: **I would have to confirm that with my**
33 **computer operations manager.**

34 MR. HUTCHINGS, Q.C.: **Okay, so are you aware of**
35 **whether or not there is a policy at all or ...**

36 MR. DOWNTON: **There is a policy.**

37 MR. HUTCHINGS, Q.C.: **Okay, yeah, actually it's not**
38 **among the materials that were reproduced, but it's at**

39 **page 19, in 4.5.3 of the report. It says Hydro has**
40 **developed a policy of purchasing additional disk space**
41 **for its servers when disk usage reaches 50 percent.**
42 **Anyway, perhaps you can look into that and let us**
43 **know, and I'd be interested in knowing whether or not**
44 **there was any survey done in terms of whether that is**
45 **a policy that is standard, either in your industry or in**
46 **IT structures generally that you're familiar with or if**
47 **you have any information in that regard.** There is also
48 a comment, and I think we missed this page on the
49 reproduction as well, it's in Section 8.5.18, that work
50 group printers deployed are oversized for the number of
51 people that use them. Were you aware of that?

52 MR. DOWNTON: I've seen that comment, yes.

53 MR. HUTCHINGS, Q.C.: Has any action been taken in
54 that connection?

55 MR. DOWNTON: We are, we are reducing the printers,
56 as they become obsolete they are being taken out of
57 service and not being replaced.

58 MR. HUTCHINGS, Q.C.: There is a separate project
59 about replacement of peripherals, has that policy been
60 built into that project?

61 MR. DOWNTON: Yes, yes.

62 MR. HUTCHINGS, Q.C.: Okay, are there specific
63 deficiencies in your existing wide area network that
64 require consideration of its replacement at this point?

65 MR. DOWNTON: The fact that the technology is
66 obsolete and a large portion of it is no longer supported
67 by the manufacturer, and those details are in the, I
68 believe it's in the telecommunications plan. The bulk of
69 our infrastructure, the multi-plexing portion is general
70 data con (*phonetic*). That equipment is 15 years old
71 and there is a table which defines what portions of that
72 infrastructure are no longer supported. The operational
73 voice equipment which is in all the generating stations
74 and the substations is no longer available, so it
75 basically has to be replaced as well.

76 MR. HUTCHINGS, Q.C.: Okay, have you estimated a
77 remaining useful life for that equipment?

78 MR. DOWNTON: Well, typically the equipment, the
79 general data com equipment is 15 years old. Typical life
80 for an intelligent multi-plexer, which that is, is 10 years.

1 MR. HUTCHINGS, Q.C.: But at this stage, as I
2 understand B-120, all you're doing is a migration
3 assessment study. You're not asking for approval to
4 actually replace any of this equipment.

5 MR. DOWNTON: That's right, yeah.

6 MR. HUTCHINGS, Q.C.: Okay, so you have some
7 confidence that it will continue to serve you for some
8 small number of years.

9 MR. DOWNTON: Yes.

10 MR. HUTCHINGS, Q.C.: Into the future.

11 MR. DOWNTON: Whether it's one year or two years
12 ...

13 MR. HUTCHINGS, Q.C.: Okay, so the ... if project B-120
14 is approved and the migration assessment study goes
15 ahead, I take it from what you filed that that's planned
16 to be completed within 2003?

17 MR. DOWNTON: Yes, the study.

18 MR. HUTCHINGS, Q.C.: Okay, and the Board will then
19 have the opportunity to review any actual plans to
20 make these changes in a future capital budget.

21 MR. DOWNTON: That's correct.

22 MR. HUTCHINGS, Q.C.: Okay, alright. A number of
23 specific projects now I had a few questions on, Mr.
24 Downton ... B-97. This is the project for the purchase
25 of an additional server and software. It's apparently
26 intended to deal with security data from the distributed
27 operating systems. Can you just tell me how this
28 information is handled now?

29 MR. DOWNTON: A lot of the, I'll say the report that
30 presently comes off the Pix (*phonetic*) firewall is in a
31 very cryptic hard copy fashion, and an electronic
32 fashion as well.

33 MR. HUTCHINGS, Q.C.: Uh hum.

34 MR. DOWNTON: And basically we have similar issues
35 with other reports that come from other critical security
36 systems, and it has been, I guess, identified that we
37 need to ... if we're going to adequately manage our
38 security, then we should look at an infrastructure which
39 will allow us to produce reports that can be easily

40 understood and that we can basically take appropriate
41 action at that point in time.

42 MR. HUTCHINGS, Q.C.: Uh hum, so is this purely a
43 timeliness issue, that the data is there now and will, can
44 get dealt with at a certain time, but you need to deal
45 with it at an earlier time?

46 MR. DOWNTON: Well, basically it's the fact that the
47 data is in, it's presented in such a manner that it's very
48 difficult to extract the piece of information you're
49 probably looking for, and it's very time consuming to
50 do that, and it really does not allow easy understanding
51 of what the security issues are at present.

52 MR. HUTCHINGS, Q.C.: Okay, so are you actually
53 spending the time to do that analysis now, or is it just
54 not being done?

55 MR. DOWNTON: We are doing a little bit of it, but it's
56 not being done to the degree that it should be done.

57 MR. HUTCHINGS, Q.C.: Okay, have you projected any
58 specific cost savings in terms of full-time equivalents
59 which would arise out of this project?

60 MR. DOWNTON: No, I have not.

61 MR. HUTCHINGS, Q.C.: Do you expect that there will
62 be some manpower savings as a result of this time
63 saving?

64 MR. DOWNTON: No.

65 MR. HUTCHINGS, Q.C.: No?

66 MR. DOWNTON: Primarily because we are not doing
67 some of the things that we should be doing now.

68 MR. HUTCHINGS, Q.C.: Okay, have you had
69 experience of actual malicious entry into your system?

70 MR. DOWNTON: We have, I guess we've had
71 discussions with the electronic warfare group, and we
72 have had cases where our website has been found on
73 terrorist organizations' host computers.

74 MR. HUTCHINGS, Q.C.: Oh, okay, but that presumably
75 is something that, I mean your web, you mean your
76 publicly accessible website?

77 MR. DOWNTON: Yes.

1 MR. HUTCHINGS, Q.C.: Yes, okay, so there's a sign of
2 interest but not necessarily a sign of active effort to
3 penetrate your system.

4 MR. DOWNTON: Well, within the electric utility
5 industry right now, probably the most prevalent issue
6 that there is is security.

7 MR. HUTCHINGS, Q.C.: Uh hum.

8 MR. DOWNTON: And one of them is intrusion
9 detection, and the other one is having sufficient
10 monitoring equipment to be proactive in assessing your
11 security requirements.

12 MR. HUTCHINGS, Q.C.: Okay, if we can move on to B-
13 99. This project involves implementation of an
14 enterprise storage management infrastructure
15 specifically by the use of a storage area network, or
16 SAN. This is an item that is discussed in the IT
17 Technical Architecture Strategy at pages 82 to 85, and
18 I think there may be actually another reference to it as
19 well. Yeah, this I don't think is among the material that's
20 been reproduced but the Architectural Strategy Report,
21 in Section 8.2.4 talks about a back-up network, and it's
22 at the bottom of page 65 going on to page 66, and
23 there's recommendation, I guess, for a separate back-up
24 LAN with connections to each server, and then the
25 comment is made, in the long-term the adoption of
26 storage area network technology and server
27 consolidation at Hydro Place will reduce the need for a
28 separate back-up network. Is there a specific reason
29 why this project is regarded as necessary in the year
30 2003 as opposed to in the long-term?

31 MR. DOWNTON: Yes, there is several reasons. We
32 currently have, well several issues actually. Right now
33 we are finding with the data that we're backing up on
34 the AS-400, with the current tape back-up technology
35 that we're not able to back up the information and it is
36 impacting the operational, or the time that the JD
37 Edwards Suite is available to the business. We also
38 have tape back-up technology that is obsolete, and
39 also the storage area network technology is more cost
40 effective to deploy than assigning disk space to
41 individual servers.

42 MR. HUTCHINGS, Q.C.: Okay, and as I understand the
43 project, it really exists in two parts, one of which is the
44 installation of a single tape storage system to replace
45 the four existing ones, and according to your

46 justification on page 100, that tape component can be
47 implemented separately from the SAN?

48 MR. DOWNTON: Yes.

49 MR. HUTCHINGS, Q.C.: Okay, in terms of the SAN
50 itself, this is really evolving technology, isn't it?

51 MR. DOWNTON: What do you mean by evolving
52 technology?

53 MR. HUTCHINGS, Q.C.: Well, the question, I guess, is
54 whether this has reached a point where it is clearly the
55 direction that Hydro should be going in, or whether
56 something is going to change in the technology. I
57 mean these are not my words, evolving technology, it's
58 actually in the IT report, in the project plan for the
59 storage area network, which is in the back of the report
60 itself, and has been reproduced in the materials, a
61 couple of pages from the back, under the risks in
62 Section 3.0 on page one of that project description, it
63 says SAN technology is still evolving and as a result
64 timing of infrastructure investment is key to avoiding
65 stranded investment. I mean do you agree that this is
66 evolving technology?

67 MR. DOWNTON: No.

68 MR. HUTCHINGS, Q.C.: Okay, so you don't agree with
69 your consultant in that regard?

70 MR. DOWNTON: Well, basically when this was
71 written about a year and a half ago, I mean a lot of
72 things have transpired since then. Basically we've had
73 demonstrations of the SAN technology, from what I
74 understand, X-Wave has implemented it in their
75 infrastructure in support of the Government, and as
76 well, the St. John's Health Corporation is in the process
77 of implementing SAN technology as well.

78 MR. HUTCHINGS, Q.C.: Okay, you say a year and a
79 half ago, the date on this plan is December of 2001, are
80 you talking about some earlier plan?

81 *(12:00 noon)*

82 MR. DOWNTON: Well, when this was started, well it
83 was a year.

84 MR. HUTCHINGS, Q.C.: So as of December of 2001, X-
85 Wave presumably regarded it as evolving, and you say
86 that situation has changed since that time?

1 MR. DOWNTON: Well, basically it comes back to what
2 you mean by evolving. Basically it's there, it's being
3 used, and it is a cost effective solution.

4 MR. HAYNES: If I could add a comment, with respect
5 to all ... and I am not a computer person from that point
6 of view, but with respect to all this technology, it's all
7 evolving. As soon as we buy a PC, six months later it's
8 obsolete, or it's no longer supported. There were ... I
9 did read an article, I don't have it here, and I wouldn't
10 find the reference right now, between SAN and LAN
11 and SAN is definitely leading the pack. It's all, in
12 essence, evolving.

13 MR. HUTCHINGS, Q.C.: Yeah, no, I mean I understand
14 that, you know, it's one thing to spend a thousand
15 dollars or a couple of thousand dollars on a laptop and
16 find it wanting in a year's time, but \$2 million on a
17 project of this nature, I think perhaps is there more than
18 a second look?

19 MR. HAYNES: Oh, I don't disagree, but I think you
20 also have to go back to your previous questions on the
21 disk space. We right now have to expand all this disk
22 space because the memory requirements are growing.
23 We're populating the JD Edwards database over a
24 timeframe, and it is growing in leaps and bounds, and
25 this also partially addresses that problem, it can
26 consolidate all your storage over multiple disk drives
27 across the corporation as opposed to replacing every
28 single one or upgrading every single one.

29 MR. HUTCHINGS, Q.C.: Okay, what is the, have you
30 priced the alternative of continuing on with extra disk
31 space for any further period of time?

32 MR. DOWNTON: Yes, over a seven year period the
33 SAN technology will basically be about \$700,000
34 cheaper, and it will also reduce our operation and
35 maintenance costs by about 45 percent and save
36 somewhere in the order of about \$400,000 over a seven
37 year period.

38 MR. HUTCHINGS, Q.C.: Okay, are those numbers in
39 any of the materials that you filed?

40 MR. DOWNTON: No.

41 MR. HUTCHINGS, Q.C.: Okay, and what's the source
42 of those?

43 MR. DOWNTON: Basically it's, we basically have
44 additional back-up information if you want access to
45 that.

46 MR. HUTCHINGS, Q.C.: Yeah, I think it would be
47 useful for us to look at that. I mean obviously it's
48 something that you're relying on to justify this project
49 that we haven't seen, so I think it would be useful if we
50 could have that reproduced, and we'd ...

51 MR. DOWNTON: Yes.

52 MR. HUTCHINGS, Q.C.: ... talk about that again when
53 we've had the opportunity to see the full file.

54 MS. GREENE, Q.C.: The information is before Mr.
55 Hutchings. Mr. Downton had it prepared under his
56 staff, so certainly the information is on the record. If
57 Mr. Hutchings would like to ask Mr. Downton who
58 prepared it, how it was prepared. It's only information
59 ... we do ... in preparation for these hearings we do a lot
60 of additional work and the question is whether it's
61 helpful or not, but certainly Mr. Downton is prepared to
62 speak to it now.

63 MR. SAUNDERS, CHAIRMAN: You say the
64 information is already on the record?

65 MS. GREENE, Q.C.: Oh, Mr. Downton just gave it.

66 MR. SAUNDERS, CHAIRMAN: Yeah, but he referred
67 ...

68 MS. GREENE, Q.C.: In terms of the information, and if
69 Mr. Hutchings would like additional time to review it, or
70 if he would like to ask Mr. Downton additional
71 questions to explain how it was prepared, that's fine.

72 MR. HUTCHINGS, Q.C.: I mean I just got the
73 impression that Mr. Downton was looking at a
74 document that we hadn't seen.

75 MR. SAUNDERS, CHAIRMAN: So did I.

76 MR. HUTCHINGS, Q.C.: And that's what I was ...

77 MR. DOWNTON: I'm not looking at a document. I
78 know basically that those are the costs.

79 MR. HUTCHINGS, Q.C.: Okay, I take it you have that,
80 someone has reported that to you in a written form?

1 MR. DOWNTON: Yes.

2 MR. HUTCHINGS, Q.C.: Okay, and is there a problem
3 with us seeing that, Mr. Chair?

4 MS. GREENE, Q.C.: No, in terms of, I guess, what the
5 additional time that Mr. Hutchings would like to prepare
6 ... we will have it available during the break.

7 MR. HUTCHINGS, Q.C.: If we can get it over lunch
8 and, you know, it may be that I won't have any other
9 questions after I see this thing, or it may ...

10 MS. GREENE, Q.C.: And I guess all I was trying to
11 point out is Mr. Downton is the person to answer those
12 questions today.

13 MR. HUTCHINGS, Q.C.: Oh yes, I don't intend to delay
14 Mr. Downton or ...

15 MR. SAUNDERS, CHAIRMAN: So Mr. Downton will
16 be able to bring that forward after lunch?

17 MR. DOWNTON: Yes.

18 MS. GREENE, Q.C.: Yes, we certainly will have a look
19 at it, Mr. Chair.

20 MR. SAUNDERS, CHAIRMAN: Carry on, Mr.
21 Hutchings.

22 MR. HUTCHINGS, Q.C.: Thank you, Mr. Chair. Okay,
23 moving on, Mr. Downton, to the end user and server
24 evergreen program at B-101. The project justification
25 for this item as it appears on page B-103 specifically, it
26 shows three different options with projected spending
27 through 2007. Do I assume correctly that those are
28 actual dollars in the years in question?

29 MR. DOWNTON: Those are what we are, at this point,
30 projecting the costs to be to replace the end user
31 infrastructure.

32 MR. HUTCHINGS, Q.C.: Okay.

33 MR. DOWNTON: Looking at option one, two, and
34 three on page 103.

35 MR. HUTCHINGS, Q.C.: Yeah, uh hum.

36 MR. DOWNTON: Yes.

37 MR. HUTCHINGS, Q.C.: Have you done any net
38 present value calculation over those numbers?

39 MR. DOWNTON: No.

40 MR. HUTCHINGS, Q.C.: Okay, would it be possible for
41 you to do that using Hydro's projected cost of capital
42 in each of the years in question?

43 MR. DOWNTON: I guess I really can't say no, but I'm
44 not sure what advantage there is to do it.

45 MR. HUTCHINGS, Q.C.: Well, the results that you
46 have there now show a price advantage to option two,
47 correct?

48 MR. DOWNTON: Yes, and that's just on the capital
49 acquisition and installation costs, if you want to call it
50 that.

51 MR. HUTCHINGS, Q.C.: Yes, but option two is heavily
52 weighted in years one and two, whereas option one is
53 pretty well even over the piece, isn't it?

54 MR. DOWNTON: Option one?

55 MR. HUTCHINGS, Q.C.: Yes.

56 MR. DOWNTON: Yes, what it doesn't show is that
57 option two will significantly reduce our administrative
58 costs.

59 MR. HUTCHINGS, Q.C.: Okay.

60 MR. DOWNTON: And basically option one will not
61 support our strategy of having an infrastructure which
62 will integrate with JD Edwards.

63 MR. HUTCHINGS, Q.C.: Okay, but I mean this is your
64 table that you've produced, and I'm suggesting to you
65 it's going to be useful for us in terms of evaluating this
66 information, if we have a net present value calculation,
67 so if you can do that ...

68 MR. DOWNTON: I'm not trying to be belligerent, but
69 I'm not sure what advantage there is to doing net
70 present value because option two really is what, is
71 where we need to go to support our infrastructure, and
72 to reduce costs. I guess what I'm looking at there over
73 a three year period, the capital acquisition costs, yes,
74 are more or less the same.

1 MR. HUTCHINGS, Q.C.: Now, in your project
2 justification you've included this table, I mean do you
3 want to take it out and say that's no part of the
4 justification, or is it part of the justification?

5 MR. DOWNTON: I guess why we put it there is to
6 show you that there is very little difference between
7 option one, two, and three, as far as what the capital
8 costs are.

9 MR. HUTCHINGS, Q.C.: **Okay, I'd like an undertaking**
10 **to have a net present value calculation done on those**
11 **figures, Mr. Chairman. I think it's going to give a**
12 **better comparison of the respective capital costs.**

13 MR. HAYNES: If I could interject, if you want to take
14 a net present value analysis for the project, it would
15 entail going back and reviewing the operating costs, it
16 would not be done in a day. It's going to take a ... you
17 know, you'd have to go back and review all the other
18 potential savings that are there. It's not something that
19 could be turned around ... I don't even think it could be
20 turned around overnight, and I agree with Mr.
21 Downton, from the point of view of the overall costs,
22 they are marginally different at the end of the day but it
23 does not support where we're going, and the difference
24 in costs in the first couple of years, there's a couple of
25 hundred thousand dollars difference. It may or may not
26 come out to be, it may be a moot point at the end of the
27 day.

28 MR. SAUNDERS, CHAIRMAN: Maybe I
29 misunderstood somebody, but did you say, Mr.
30 Downton, that option one wasn't really an option in
31 that ...

32 MR. DOWNTON: Well, it's there, I mean with regards
33 to supporting Hydro's future infrastructure and from
34 where, and reducing costs and ...

35 MR. SAUNDERS, CHAIRMAN: And that's what we've
36 been talking about all morning.

37 MR. DOWNTON: And integrating, option two really is
38 the ...

39 MR. SAUNDERS, CHAIRMAN: Is the only way to go.

40 MR. DOWNTON: It's the only way to go.

41 MR. SAUNDERS, CHAIRMAN: Well, why was it you
42 said option one wasn't acceptable? Would you want to
43 repeat that?

44 MR. DOWNTON: Because option one really doesn't
45 support the cost reduction and doesn't support our
46 future direction with regards to integrating with JD
47 Edwards.

48 MR. SAUNDERS, CHAIRMAN: So why is it labelled
49 an option here? Is it really an option from where you
50 stand today and where you want to be in five to ten
51 years time?

52 MR. DOWNTON: No, where I want to be next year is
53 basically option two so I can start to see a reduction in
54 costs, operational costs immediately.

55 MR. SAUNDERS, CHAIRMAN: Okay, I thought I'd get
56 that point cleared up because I wasn't sure exactly what
57 it was you said in connection with option one. Now the
58 difficulty in coming up with the net present value
59 calculation, you say it's something that won't be, or
60 can't be done quickly.

61 MR. DOWNTON: It will take me a while to go back and
62 look at operational costs.

63 MR. SAUNDERS, CHAIRMAN: In light of what he
64 said about option one, Mr. Hutchings, what's the
65 advantage of having it done?

66 MR. HUTCHINGS, Q.C.: Well, Mr. Chair, I guess in my
67 mind, I don't know whether you reached the same
68 conclusion, he has basically said that option one is not
69 an option anyway.

70 MR. SAUNDERS, CHAIRMAN: It's not on the table.

71 MR. HUTCHINGS, Q.C.: It's not on the table, so I
72 guess we get back to the question of whether or not
73 what is before the Board justifies option two no matter
74 what it costs.

75 MR. SAUNDERS, CHAIRMAN: That's where I think
76 we are.

77 MR. HUTCHINGS, Q.C.: We can carry on on that
78 basis.

79 MR. SAUNDERS, CHAIRMAN: Okay.

1 (12:15 p.m.)

2 MR. HUTCHINGS, Q.C.: My understanding in respect
3 of this project is that you are projecting savings as a
4 result of moving to option two. What are your
5 projections for those savings in 2003 and 2004?

6 MR. DOWNTON: Basically what we are, what we've
7 already committed to do internally is to reduce our
8 support staff for the field and Hydro Place
9 infrastructures.

10 MR. HUTCHINGS, Q.C.: Okay, and how many dollars
11 is that going to save?

12 MR. DOWNTON: We've eliminated three positions
13 now which we'll, I'm not sure what the loaded cost
14 would be but somewhere in the order of maybe about,
15 say, \$50,000 per position, so maybe about \$150,000.

16 MR. HUTCHINGS, Q.C.: You say that has already been
17 done or ..

18 MR. DOWNTON: Well, basically people have been
19 given their notice as part of what we did, the action that
20 we took last week, and the fact that I have some terms
21 that have been given notice at the end of the year.

22 MR. HUTCHINGS, Q.C.: Okay, so will there be
23 additional savings, those presumably will be savings in
24 2002, well, no, if they're here to the end of the year,
25 there won't be any savings in 2002, they'll be savings in
26 2003?

27 MR. DOWNTON: That's right.

28 MR. HUTCHINGS, Q.C.: And anything additional to
29 that in 2004?

30 MR. DOWNTON: We basically see, as the
31 infrastructure, the thin client infrastructure will hit
32 mostly outside of Hydro Place in 2003. In 2004 it will be
33 done in the part of Hydro Place and Bishops Falls, and
34 then in 2005, the remainder of Hydro Place will be done,
35 so we will continue to look at savings in those areas.

36 MR. HUTCHINGS, Q.C.: And have you attempted to
37 quantify those savings?

38 MR. DOWNTON: We have attempted to quantify them
39 in generic terms, but it more or less relates to standards
40 that we get from, we'll say IT analysis that's done, but

41 I guess the question is is how you translate those
42 numbers into definitive numbers for Hydro, so right
43 now we are just looking at what I consider to be a 25
44 percent savings in that area.

45 MR. HUTCHINGS, Q.C.: 25 percent of what?

46 MR. DOWNTON: Of basically the support costs for
47 the end user infrastructure.

48 MR. HUTCHINGS, Q.C.: And do you have any ballpark
49 notion of what that number is?

50 MR. DOWNTON: I don't have that number, no.

51 MR. HUTCHINGS, Q.C.: And when you say support
52 costs, are these people primarily?

53 MR. DOWNTON: The primary focus area will be
54 productivity, yes.

55 MR. HUTCHINGS, Q.C.: Okay, do we have a projected
56 number of full-time equivalents to be eliminated?

57 MR. DOWNTON: Right now we've dealt with, I guess,
58 the number that we are comfortable with. On a go
59 forward basis we will reassess in 2003 and 2004.

60 MR. HUTCHINGS, Q.C.: Okay, what are your current
61 projections for 2004 and 2005?

62 MR. DOWNTON: I don't have those definitive, no.
63 We are assessing next year on what we know we can do
64 with the field area, and we've taken action on that, and
65 as we get into what we're going to do for 2004, we'll
66 reassess that again in 2003.

67 MR. HUTCHINGS, Q.C.: So your evidence is that
68 you're saving essentially three full-time equivalents in
69 2003, and we don't know what's going to happen
70 beyond that.

71 MR. DOWNTON: Well, basically we need to reassess
72 to see if the technology is going to bring the savings
73 that we are led to believe it will bring.

74 MR. HUTCHINGS, Q.C.: Okay, the project references
75 categories one, two and three, users. How many users
76 are in each of these categories?

77 MR. DOWNTON: We've just categorized them,
78 approximately as one third, one third, and one third.

1 MR. HUTCHINGS, Q.C.: And what's the total number
2 of users?

3 MR. DOWNTON: There's 765 end users.

4 MR. HUTCHINGS, Q.C.: Okay, and is there a work
5 station for each end user?

6 MR. DOWNTON: There's not a work station for each
7 employee.

8 MR. HUTCHINGS, Q.C.: No.

9 MR. DOWNTON: But there is a work station, if you
10 want to call it that, or thin client ... there is something
11 for every one who need some.

12 MR. HUTCHINGS, Q.C.: Okay, and the 765 end users,
13 that's not all your employees, those are people who
14 need one.

15 MR. DOWNTON: Yes.

16 MR. HUTCHINGS, Q.C.: Yeah, okay, moving on to B-
17 105, we've referred to this peripherally earlier.

18 MR. DOWNTON: I would just like, if it's not
19 inappropriate, I would also like to add something to that
20 particular program. What we didn't focus on is the fact
21 that as part of that program we will also start to do
22 server consolidation, and basically that will save us
23 direct costs in reduction in the number of servers that
24 we would normally purchase.

25 MR. HUTCHINGS, Q.C.: My questions might have
26 been misunderstood, but I was intending to ask you
27 about all the savings that would accrue in 2003 and
28 2004, are there savings associated with server
29 consolidation in those years?

30 MR. DOWNTON: Well, basically over the ... well even
31 though we're only dealing with 2002, we are also ...
32 we're really not looking to see server savings in 2002,
33 but on a go forward basis, this is the beginning of
34 server consolidation as well.

35 MR. HUTCHINGS, Q.C.: Have you quantified those
36 savings at all?

37 MR. DOWNTON: We quantify that from where we are
38 now to where we will be, say, in four years time,
39 through the evergreening process, we will save

40 somewhere in an order of about \$400,000 in direct costs
41 from reducing the number of server farms from twelve
42 to four.

43 MR. HUTCHINGS, Q.C.: Reducing the server farms?

44 MR. DOWNTON: Another (inaudible) terminology.
45 We basically have servers located, what we call server
46 farms, or multiple servers located in our area offices and
47 regional offices, there are twelve.

48 MR. HUTCHINGS, Q.C.: Uh hum.

49 MR. DOWNTON: We will be reducing that down to a
50 quantity of four over that period of years.

51 MR. HUTCHINGS, Q.C.: Okay, alright.

52 MR. SAUNDERS, CHAIRMAN: A good time to break,
53 Mr. Hutchings?

54 MR. HUTCHINGS, Q.C.: Yes, I had hoped to finish
55 before lunch but I do have a few other questions, so we
56 should be able to clue up pretty quickly after lunch.

57 MR. SAUNDERS, CHAIRMAN: We will resume at 2:00.

58 *(break)*

59 *(2:00 p.m.)*

60 MR. SAUNDERS, CHAIRMAN: Good afternoon. Any
61 preliminary matters?

62 MS. NEWMAN: Mr. Chair, I understand that
63 Newfoundland Hydro has some documentation that it
64 wishes to file in response to requests for information or
65 an undertaking earlier today.

66 MR. SAUNDERS, CHAIRMAN: Okay.

67 MS. GREENE, Q.C.: Yes, thank you, we have copies of
68 the documentation that was referred to by Mr. Downton
69 relating to the savings ... it's called Enterprise
70 Management System or SAN, it's been used
71 interchangeably, so this is the documentation that he
72 referred to. I have copies available for the panel and I
73 gave a copy to counsel for Industrial Customers just
74 before 2:00, so I do have additional copies for the panel.
75 The other undertakings are outstanding questions from
76 yesterday. If it's acceptable to Board Counsel and
77 Counsel for Industrial Customers and the panel, I will

1 do that at redirect in case there are others arising, but
2 we are in a position to respond to the three or four
3 questions that were left outstanding from yesterday.

4 MR. SAUNDERS, CHAIRMAN: You're going to do
5 that now, or are you going to ...

6 MS. GREENE, Q.C.: I would do it, but I don't ... I use
7 redirect as the opportunity to do that. As I said before,
8 it's not strictly speaking redirect, and that also gives
9 me, if there's more arising from this afternoon, hopefully
10 I will be able to address them all at the one time.

11 MR. SAUNDERS, CHAIRMAN: Okay, is that suitable
12 with you, Mr. Hutchings?

13 MR. HUTCHINGS, Q.C.: I have no problem with that,
14 Mr. Chair.

15 MR. SAUNDERS, CHAIRMAN: Are you ready to
16 continue?

17 MR. HUTCHINGS, Q.C.: Yes, are we going to mark this
18 as an exhibit?

19 MS. NEWMAN: That will be, I guess, ED-1.

20 **EXHIBIT ED-1 ENTERED**

21 MR. HUTCHINGS, Q.C.: Mr. Downton, just looking at
22 ED-1, I think most of it is fairly straightforward for us.
23 The hardware maintenance costs, you say as disk space
24 increases by 20 percent, maintenance costs will increase
25 appropriately. What do the maintenance costs actually
26 represent?

27 MR. DOWNTON: Basically maintenance costs
28 represent the maintenance activities that IBM perform
29 on our infrastructure, so as the size of the disk
30 increases, the maintenance costs from IBM will increase
31 as well.

32 MR. HUTCHINGS, Q.C.: Okay, so that's just a flat fee
33 percentage type of thing that IBM charges you.

34 MR. DOWNTON: Yes.

35 MR. HUTCHINGS, Q.C.: Okay, that's fine. The
36 assumptions at the bottom, I take it these apply to both
37 scenarios?

38 MR. DOWNTON: No, they apply to the bottom one,
39 which is the enterprise storage network.

40 MR. HUTCHINGS, Q.C.: Okay, just so that I can
41 understand, you're saying in each case, 60 percent of all
42 disk space is replaced due to servers being replaced.

43 MR. DOWNTON: Okay, what that ... to clarify that, we
44 basically will be replacing our server infrastructure over
45 time, so what this is saying, in 2004, when we replace
46 the servers that are, we'll say allocated to be replaced in
47 2004, that we will only replace 60 percent of the disk
48 space that is on those servers, and the reason we
49 specify 60 percent is because the SAN technology
50 gives you better management facilities, and it's more
51 efficient, so we will only replace 60 percent as opposed
52 to 100 percent, and that applies for 2007 and 2009 as
53 well.

54 MR. HUTCHINGS, Q.C.: Okay, so at the end of the
55 piece you end up with less disk space than you had
56 initially?

57 MR. DOWNTON: Yes.

58 MR. HUTCHINGS, Q.C.: Okay, alright, just looking
59 over to your second page on the enterprise storage
60 infrastructure, I notice that in specifically 2004 and 2009,
61 under the capital costs under individual storage ...

62 MR. DOWNTON: Yes.

63 MR. HUTCHINGS, Q.C.: There are large numbers there,
64 one almost \$1 million, and one over \$1 million, why do
65 those numbers pop up there?

66 MR. DOWNTON: Because those are, again, that's part
67 of our server infrastructure replacement program. They
68 basically will replace those servers, we will be replacing
69 the disk as well.

70 MR. HUTCHINGS, Q.C.: Okay, so these are ... so
71 whichever, whichever system you use you will be
72 replacing servers in 2004, 2007 and 2009?

73 MR. DOWNTON: Yes.

74 MR. HUTCHINGS, Q.C.: Okay, so the effect of
75 implementing the ESS storage infrastructure in 2003 is
76 basically that you're replacing servers a year early, is
77 that right?

1 MR. DOWNTON: Well, in 2003 we have to replace,
2 there is a server to be replaced anyway.

3 MR. HUTCHINGS, Q.C.: Uh hum.

4 MR. DOWNTON: So I guess what we are saying is
5 that we should start the program at that time, if we're
6 going to maximize our savings.

7 MR. HUTCHINGS, Q.C.: Okay, but I mean in the first
8 year of the program, the individual storage is preferred
9 by over a \$1 million, there's a savings of \$1 million for
10 the first year.

11 MR. DOWNTON: That's right.

12 MR. HUTCHINGS, Q.C.: By not implementing the
13 program, right?

14 MR. DOWNTON: Yes, yes.

15 MR. HUTCHINGS, Q.C.: Okay, and your plan anyway
16 would be to spend almost \$1 million in server
17 replacement in 2004?

18 MR. DOWNTON: You mean over in the individual
19 storage section?

20 MR. HUTCHINGS, Q.C.: Yes.

21 MR. DOWNTON: Yes.

22 MR. HUTCHINGS, Q.C.: Okay, and under this scenario
23 the SAN starts to pay for itself in the year 2008, is that
24 right?

25 MR. DOWNTON: Yes.

26 MR. HUTCHINGS, Q.C.: Okay, do you think the
27 technology will have evolved to something different by
28 that time?

29 MR. DOWNTON: It's ... I guess to use the word evolve
30 ... the enterprise storage network infrastructure is, we'll
31 say relatively new and mature, so we basically do
32 expect it to be around for at least seven to ten years,
33 and that's the indication we get from IBM.

34 MR. HUTCHINGS, Q.C.: Okay, and to improve over
35 that time presumably, and be improved?

36 MR. DOWNTON: Basically, well basically when you
37 put in the actual SAN, it is a storage unit that you just
38 keep filling, so you are just committing to a particular
39 technology at that time.

40 MR. HUTCHINGS, Q.C.: Okay, alright, if we can look
41 for a moment at B-105. This is the peripheral
42 infrastructure replacement and the project justification
43 refers to a five year replacement program. When did
44 that begin and when is it due to end?

45 MR. DOWNTON: Basically we keep ... one second
46 now. Basically we are continually refreshing the
47 peripherals which basically includes some printers, and
48 basically projectors and scanners, so I mean basically
49 the shelf life for these units are typically a maximum of
50 five years anyway, so we're just continually refreshing
51 some of these peripheral devices.

52 MR. HUTCHINGS, Q.C.: So the five year replacement
53 program, I mean this is really almost an annual
54 allotment, is it?

55 MR. DOWNTON: Yes.

56 MR. HUTCHINGS, Q.C.: Effectively.

57 MR. DOWNTON: If you go back and look at previous
58 capital budgets, you will basically see that.

59 MR. HUTCHINGS, Q.C.: Okay, now how many printers
60 were taking out of this plan as a result of the comment
61 in the IT structure about you being over supplied with
62 printers?

63 MR. DOWNTON: I don't have the exact number.

64 MR. HUTCHINGS, Q.C.: Okay, how many printers
65 altogether are in this project, do you know?

66 MR. DOWNTON: I don't know the definitive number,
67 I don't have that here.

68 MR. HUTCHINGS, Q.C.: Alright, I mean do you have
69 a rough idea?

70 MR. DOWNTON: No, to be honest. I have a rough
71 idea maybe on some of the others, but not on the
72 printers.

73 MR. HUTCHINGS, Q.C.: Okay, do you have a rough
74 idea of how many printers are in the organization?

1 MR. DOWNTON: The last ... I think we had around 100
2 printers.

3 MR. HUTCHINGS, Q.C.: 100 printers, that's in all the
4 offices together?

5 MR. DOWNTON: Yes.

6 MR. HUTCHINGS, Q.C.: Yeah, okay, and what about
7 the projectors and scanners, roughly how many are we
8 talking about?

9 MR. DOWNTON: Typically we have one projector per
10 area office, and at Hydro Place we have probably six.

11 MR. HUTCHINGS, Q.C.: Okay, so we're talking maybe
12 a dozen in total?

13 MR. DOWNTON: Yes.

14 MR. HUTCHINGS, Q.C.: Okay, what about scanners, a
15 similar number?

16 MR. DOWNTON: I don't know, I really don't know.

17 MR. HUTCHINGS, Q.C.: Alright, I didn't notice any
18 comment in the IT structure plan on projectors and
19 scanners, I mean given their comment on the printers,
20 did you scrutinize the requirement for projectors and
21 scanners as well?

22 MR. DOWNTON: Well, basically the ... we have, we do
23 scrutinize it and we'll basically just be replacing the
24 projectors which basically don't meet the requirements
25 anymore. As far as the scanners are concerned, we
26 have integrated scanning into a lot of what we call
27 multi-functional devices, so these also serve as printers
28 and copiers and scanners, so basically we're only
29 replacing the scanners which are over and above what
30 our multi-functional devices provide, so we basically
31 are looking at scanners and also the printers.

32 MR. HUTCHINGS, Q.C.: Under the heading of
33 peripherals, does Hydro provide any hand-held devices
34 such as Palm Pilots?

35 MR. DOWNTON: Yes.

36 MR. HUTCHINGS, Q.C.: How many of those would be
37 in the organization?

38 MR. DOWNTON: I don't know, I don't know the exact
39 quantity.

40 MR. HUTCHINGS, Q.C.: Okay, and I take it there's
41 none of those being replaced at this point, is there?

42 MR. DOWNTON: Not in here.

43 MR. HUTCHINGS, Q.C.: Okay, can we look briefly at B-
44 111? I note that in the project justification you say
45 there are no known third party sources for parts or
46 repairs for this voice data teleprotection equipment and
47 fiberoptic cable. Does Hydro have a stock of its own
48 parts at this point?

49 MR. DOWNTON: Just one second please. The way I
50 read this is that there are no spares, there are no other
51 modules outside of what's in service, that's my
52 understanding of what this means.

53 MR. HUTCHINGS, Q.C.: Okay, so when you say there
54 are no known third party sources for parts and repairs,
55 what you intended to say was there are no sources for
56 parts and repairs.

57 MR. DOWNTON: That's right.

58 MR. HUTCHINGS, Q.C.: Okay, what would the effect
59 be of deferring this project for a year?

60 MR. DOWNTON: Well, basically this system carries
61 the data from the intake at Upper Salmon down to the
62 power plant, which basically then it's brought into the
63 Energy Control Centre, and it also provides
64 teleprotection that's used to shut the gate in case of a
65 unit outage, or in the case if we get (inaudible) ice on
66 the intake racks, it will also trip the plant so to defer this
67 and for this system to fail it could compromise the
68 production from the plant.

69 MR. HUTCHINGS, Q.C.: But there has been no failure
70 in the system up to this point, has there?

71 MR. DOWNTON: Basically, as it is indicated here, this
72 used to be a redundant configuration, and it has been
73 reduced to that.

74 MR. HUTCHINGS, Q.C.: Yeah, yeah.

75 MR. DOWNTON: That is the only known failure that
76 we can find in our records.

1 MR. HUTCHINGS, Q.C.: Yeah, so that, that equipment
2 failure was in July of 2002?

3 MR. DOWNTON: Yes.

4 MR. HUTCHINGS, Q.C.: And are there spare parts
5 available from the redundant piece of equipment?

6 MR. DOWNTON: Basically the fact that it's reduced to
7 a nonredundant configuration, basically I would
8 interpret from that that basically there's only spares to
9 support one side of the equipment, and basically you
10 would not have a complete set of spares.

11 MR. HAYNES: From a generator point of view the
12 powerhouse has to be in contact with the intake. Under
13 certain things you will have to close the intake gate
14 under emergency conditions to reduce damage or to
15 eliminate damage in the powerhouse. The redundancy
16 is critical, I would say, between the powerhouse and
17 the intake to protect the powerhouse equipment.

18 MR. HUTCHINGS, Q.C.: So the project here is to
19 basically make the existing system redundant again?

20 MR. DOWNTON: No, well basically to replace the
21 existing equipment with new equipment.

22 MR. HUTCHINGS, Q.C.: But will that be a redundancy
23 then, will it?

24 MR. DOWNTON: Well, yes, we will replace it with
25 equipment which will give you the same reliability that
26 this equipment gave.

27 MR. HUTCHINGS, Q.C.: When it was redundant.

28 MR. DOWNTON: When it was redundant.

29 MR. HUTCHINGS, Q.C.: Okay, alright, looking over to
30 B-113, we're talking about battery systems in five
31 separate sites here. I noticed that in the TRO area when
32 they were talking about replacing some battery banks
33 at P-44, there was a specific test apparently to show
34 that there was 15 to 20 percent reduction in the battery
35 cell capacity. Do you know if there was any similar test
36 done in respect of any of these battery banks?

37 MR. DOWNTON: I do not know for sure.

38 MR. HUTCHINGS, Q.C.: Okay, so we don't know if the
39 efficiency of these has actually been reduced?

40 MR. DOWNTON: Well, based on the fact that, I think
41 what it says here is that all the tests, all the tests
42 confirm the natural expected degradation (inaudible) for
43 these type of batteries. It should be noted that
44 maintenance procedures and their costs will not be
45 (inaudible) affected by the installation, so from that, it's
46 saying to me that, yes, there were tests done and that
47 the battery banks had degraded naturally as well, and
48 the expected life of a flooded cell is 20 years, and these
49 units are 20 years old.

50 MR. HUTCHINGS, Q.C.: Okay, is there any reason why
51 all five systems have to be done at once, or is there any
52 advantage to doing them all at once?

53 MR. DOWNTON: Well, basically we get better pricing
54 from manufacturers by doing a bulk purchase, but at
55 the same time, all five of them are 20 years old.

56 MR. HUTCHINGS, Q.C.: Are these basically the same
57 flooded cell types that are referred to at page B-44?

58 MR. DOWNTON: B-44?

59 MR. HUTCHINGS, Q.C.: Yeah, I realize that's not in
60 your area but they're talking about lead calcium flooded
61 cell type batteries.

62 MR. DOWNTON: Could you repeat the question
63 please?

64 MR. HUTCHINGS, Q.C.: Are these the same type of
65 batteries that we're talking about here in both projects?

66 MR. DOWNTON: They're flooded cell technology,
67 that's right, but I don't know if they're the exact same
68 type of battery.

69 MR. HUTCHINGS, Q.C.: So you haven't looked into
70 whether or not there's any bulk buy opportunities as
71 between the two divisions?

72 MR. DOWNTON: We've already discussed that at our
73 meetings to look at bulk purchase of different styles of
74 batteries and rectifiers through one company.

75 MR. HUTCHINGS, Q.C.: Okay, but you just don't ...

76 (2:15 p.m.)

77 MR. DOWNTON: But more so for the battery systems.

1 MR. HUTCHINGS, Q.C.: Okay, alright.

2 MR. HAYNES: That item was discussed in our
3 preparation of the capital budget for 2003. There are
4 two or three groups that were put forth, batteries and
5 battery chargers and so on, and we did discuss at that
6 time that when we do go to tender, we should look at
7 and see if we can integrate and go out with one tender
8 to capitalize on any savings, but that would be done,
9 you know, through the year and it's an outstanding
10 issue.

11 MR. HUTCHINGS, Q.C.: Okay, I take it the numbers
12 that we have for both these projects don't make any
13 assumption about any savings?

14 MR. DOWNTON: Well, they were based on five for IS
15 and T and I guess the three or so for TRO. There may
16 be savings but they will be sure to be covered within
17 the contingency amounts, I'm sure.

18 MR. HUTCHINGS, Q.C.: If we can look briefly at B-115?
19 This is referred to as phase four of a nine phase plan to
20 replace all the obsolete RTUs. I take it you're regarding
21 each of these nine phases as a separate capital project,
22 and there doesn't seem to be any ...

23 MR. DOWNTON: Yes, that's correct.

24 MR. HUTCHINGS, Q.C.: ... provision for future years
25 there. And how do you prioritize which of the RTUs
26 are going to be replaced at any given year?

27 MR. DOWNTON: We basically, just we prioritize them
28 by the age of the equipment and that is pretty much the
29 driving force. The original RTUs that were installed
30 were Quindar and Westronic (*phonetic*) RTUs, and
31 neither one of those companies still support these
32 RTUs in any fashion.

33 MR. HUTCHINGS, Q.C.: Okay, the justification said the
34 equipment is nearing the end of its useful life. When
35 will it reach the end of its useful life?

36 MR. DOWNTON: That's difficult to say. Basically
37 typical life expectancy for this equipment is 15 to 20
38 years.

39 MR. HUTCHINGS, Q.C.: Okay, and apparently your
40 experience is that these can last more than 20 years?

41 MR. DOWNTON: There's moving parts in these RTUs
42 and that is my concern.

43 MR. HUTCHINGS, Q.C.: Okay, so in terms of timing,
44 it's purely a question of risk assessment whether these
45 have to be done this year, next year, the following year?

46 MR. DOWNTON: Yes, it's based on what we feel is
47 proper judgement and risk.

48 MR. HUTCHINGS, Q.C.: Okay, how many of these
49 units will be replaced over the nine phases?

50 MR. DOWNTON: I think we have some in the order of,
51 all total ... I'd have to go back and check the exact
52 numbers, but we have approximately 30 to 35 RTUs and
53 I'm not sure what portion of those are 20 years old. I
54 would suspect that it's probably in the order of at least
55 20 that are, right now, 20 years old, or had been 20
56 years old in previous years.

57 MR. HUTCHINGS, Q.C.: And do you know how many
58 were replaced in the first three phases?

59 MR. DOWNTON: I don't have that number with me,
60 no.

61 MR. HUTCHINGS, Q.C.: In respect to these RTUs in
62 response to PUB-8, you indicated that you
63 standardized on GE line because of the need to interface
64 with the Harris protocol?

65 MR. DOWNTON: Yes.

66 MR. HUTCHINGS, Q.C.: Under your plans, assuming
67 that the Board approves them, how long will the Harris
68 protocol be required to be dealt with?

69 MR. DOWNTON: Well, the Harris protocol has to be
70 dealt with at least up until 2006, we'll say 2007.

71 MR. HUTCHINGS, Q.C.: Okay, the IT plan that we
72 looked at earlier talked about this having to be dealt
73 with until 2005?

74 MR. DOWNTON: Yeah, well basically at the end of
75 2005 is when the EMS is scheduled to go in service, so
76 I say 2006, 2007, because you don't want to go and start
77 making changes immediately as the system goes into
78 service, so I would look at probably at least a year wait
79 before any of the work was done.

1 MR. HUTCHINGS, Q.C.: Okay, thank you, Mr.
2 Downton and Mr. Haynes, those are all the questions
3 I have, Mr. Chair.

4 MR. SAUNDERS, CHAIRMAN: Thank you, Mr.
5 Hutchings. Ms. Newman?

6 MS. NEWMAN: Yes, I have two general issues that I'll
7 address first, and then a couple, I think it's about four
8 specific projects that I'll refer to. I'll leave it to the
9 panel's judgement as to who is best to answer the
10 questions, although I suspect that Mr. Haynes is
11 probably going to answer most of my questions, and
12 probably the first one as well. I'm wondering if you can
13 confirm for us what Hydro is looking for approval of in
14 terms of the projects? We've had some discussion
15 about this to date, but I understand that it is just the
16 projects for 2003 and not the future years that you are
17 seeking approval of today?

18 MR. HAYNES: That's correct.

19 MS. NEWMAN: So I just, in that line I want to just
20 clarify everybody's understanding, and so we'll go to a
21 few examples. How about we start at B-13? So that's to
22 replace the gate hoist number two at Ebbe.

23 MR. HAYNES: Yes.

24 MS. NEWMAN: And for 2003 the cost estimate for this
25 project is \$6,600.

26 MR. HAYNES: Yes.

27 MS. NEWMAN: So Hydro would be seeking approval
28 for the expenditure of \$6,600 in 2003.

29 MR. HAYNES: Yes.

30 MS. NEWMAN: And then will be back to seek
31 approval in 2004 to proceed with the remainder of the
32 project, is that correct?

33 MR. HAYNES: Yes, that's correct. What will be done
34 in 2003 is the engineering design, it would be just
35 finalizing those details, and we may well go to tender,
36 and it will be replaced hopefully after, well after the
37 hearing next year on capital. That would be the normal
38 route that we would take.

39 MS. NEWMAN: I want to refer to B-91, and that's the
40 Energy Management System.

41 MR. HAYNES: That's a tough one.

42 MS. NEWMAN: Yes, indeed. So in 2003, Hydro has
43 projected, I think, that it will do some engineering work
44 and do some preliminary work.

45 MR. HAYNES: Yes.

46 MS. NEWMAN: And the cost of that would be \$1.2
47 million approximately.

48 MR. HAYNES: Yes.

49 MS. NEWMAN: So Hydro will be looking for approval
50 of that expenditure in this year and to proceed with the
51 project to that extent, but I noticed in the details of the
52 project, the estimation is that a contract would be
53 entered into in 2003. You can refer to, for clarification
54 of this, you can refer to Section G at Tab 5, page 8-2, so
55 we're at Section G, Tab 5, page 8-2.

56 MR. HAYNES: Before we even get there, on a project
57 of this nature, on a project such as the Ebbegumgaeg
58 gates and some of the other equipment, it is very easy
59 to stop at the end of the ... you've done the engineering
60 thing, you may have gone to tender. When you get
61 into some of these larger multi-year projects, like this or
62 Granite Canal, had it gone through the Board, you do,
63 as Mr. Hutchings had indicated earlier today, I guess,
64 regarding ... you get beyond the point of no return.
65 You can still stop, but we will have stranded costs or
66 stranded assets that will be of no use to the
67 corporation. You do get to the point where you've
68 committed, and we do have to come back to the Board,
69 and there may be refinements in the costs, that may go
70 up or down or hopefully stay the same or less, but you
71 do have to come back to the Board for approval to
72 spend. However, we do enter a contract, and I'm not
73 quite sure how the contractual language goes, but if the
74 Board were to, for instance, between 2004, turn down
75 the 2005 funds, we would have an unfinished project
76 and will have spent in the order of \$6.5 million which
77 would be of no value.

78 MS. NEWMAN: So 8-2 where it is suggested that
79 Hydro would enter into the contract during 2003, that
80 has not changed, that is an accurate ...

81 MR. HAYNES: I'll have to defer ... I expect that we will
82 be looking to enter the contract sometime in 2003.

83 MR. DOWNTON: Yes, towards ...

1 MR. HAYNES: Towards the latter part.

2 MR. DOWNTON: The KEMA report is written by a
3 consultant that's probably not really aware of, I guess,
4 our requirement to go to the Public Utilities Board for
5 approvals, and really the intent was in 2003 to do the
6 functional specification and do the, go to tender and
7 basically do the actual selection of the, we'll say the
8 preferred vendor, and basically at the end of 2003, if
9 approved by the Public Utilities Board, to proceed, and
10 we will proceed on that behalf.

11 MS. NEWMAN: Okay, so Hydro wouldn't enter into a
12 contract without approval of the Board then.

13 MR. DOWNTON: That is not the intent, we would not
14 be able to enter into a contract without the approval of
15 the Board.

16 MS. NEWMAN: I wanted to get some clarification on
17 the details in the project cost sections in general again,
18 so we can go to B-20 as an example. I'm looking at the
19 project which is the replacement of a loader or backhoe?

20 MR. HAYNES: Yes.

21 MS. NEWMAN: And I note in 2003 there is
22 expenditures of \$3,000 on engineering. The first
23 question I ask is these project costs, and it's specifically
24 engineering, could that include in-house costs as well
25 as costs charged to Hydro by an external consultant?

26 MR. HAYNES: I doubt very much that there would be
27 any change from an external consultant. It would
28 primarily be internal costs.

29 MS. NEWMAN: Okay.

30 MR. HAYNES: Of the people in Bishops Falls and fleet
31 who would actually spend time, you know, preparing
32 the specification or doing the research to fully define
33 the piece of equipment to be replaced.

34 MS. NEWMAN: Okay, so in this case the \$3,000 would
35 refer mainly to specifications?

36 MR. HAYNES: Internal costs ... the preparation of
37 specifications.

38 MS. NEWMAN: Okay.

39 MR. HAYNES: We would open up a capital job cost
40 and basically we would accrue the time spent by
41 whomever to prepare that spec.

42 MS. NEWMAN: Well, I would expect that in most
43 projects there would be some engineering expenditures
44 if there's going to be specifications drawn up, it would
45 always go under engineering, is that ...

46 MR. HAYNES: When we prepare capital budgets,
47 generally speaking, when we, when somebody does up
48 an estimate for a project which is not approved, the time
49 will go into just the general cost. For instance, an
50 engineering, a generation engineer (inaudible), they will
51 ... it's an operating cost, they will absorb the cost. If it's
52 a significant amount, they may keep track of that cost
53 in the event that it does get ultimately approved by the
54 PUB and will be transferred. For this particular one, if
55 this gets approved by the PUB then basically
56 somebody in 2003 will open up the capital job cost and
57 any time spent working on that particular project they
58 will account for it, but there will be no orders done.
59 Most of the small dollar lead numbers are internal costs.
60 Occasionally there may be external costs of a
61 consultant, if it's a specialty expertise that we don't
62 have inhouse.

63 MS. NEWMAN: So there are some projects here where
64 there's no engineering costs, and I was just wondering
65 why that would be. I can give you a couple of examples
66 if you want to look at them specifically.

67 MR. HAYNES: Yes please.

68 MS. NEWMAN: B-68.

69 MR. HAYNES: Now that one's in TRO.

70 MS. NEWMAN: There's a couple more here, B-105, if
71 you're more comfortable in looking at that one.

72 MR. HAYNES: There's no engineering cost. There's an
73 internal labour cost, but I don't know how much ...
74 that's an IS and T area, and I suspect that they'll go out
75 and do a lot of engineering when they're going to go
76 out and buy a Xerox, Hewlett Packard, whatever,
77 whatever printer.

78 (2:30 p.m.)

79 MS. NEWMAN: Do you have any comment, Mr.
80 Downton?

1 MR. DOWNTON: Yeah, typically for that type of
2 device, we would not go and spend time writing a
3 detailed specification, so we really wouldn't get into
4 charging, I'll say, quote, unquote, engineering time
5 against it.

6 MS. NEWMAN: Okay, I'm looking at B-119, and Mr.
7 Haynes you may answer this one, I'm not sure. It's
8 Deer Lake building improvements, and there's no
9 engineering on that one.

10 MS. HENLEY ANDREWS: What page number was
11 that?

12 MS. NEWMAN: B-119.

13 MR. HAYNES: B-119. Well, I would suggest there
14 should be. I would suggest there should be, but
15 maybe, it may be wrapped up in, the individual who did
16 the estimate may have put it in labour, possibly put it in
17 labour.

18 MR. DOWNTON: Yeah, that's the cost ...

19 MR. HAYNES: They've included project management.

20 MR. DOWNTON: Sorry, I didn't mean to jump in.
21 That's the cost that I got from our services group in
22 Bishops Falls.

23 MS. NEWMAN: Okay.

24 MR. DOWNTON: So I'm basically assuming that
25 whatever the labour/engineering basically is in that
26 estimate.

27 MS. NEWMAN: So there's some, it sounds like a little
28 bit of judgement there as to whether there would, in
29 fact, be a specifically assigned cost and where it might
30 go in some instances.

31 MR. HAYNES: Yes, with any internal engineering that
32 would be used to do that particular building, it would
33 be charged to the capital work order.

34 MR. DOWNTON: Yes.

35 MR. HAYNES: It would not be absorbed in operations,
36 that would not be the normal way we do it.

37 MS. NEWMAN: Okay, alright, those are the two
38 general areas that I wanted to hit, now I'll refer back to
39 B-20, back to the specific projects. In B-20 there's
40 reference to corrective maintenance, this is under
41 operating experience.

42 MR. HAYNES: Yes.

43 MS. NEWMAN: Corrective maintenance, preventative
44 maintenance and routine maintenance, I wonder if you
45 could give us a short description of the difference
46 between those?

47 MR. HAYNES: Preventative maintenance would be
48 changing the oil and changing the antifreeze or doing
49 things like that. Corrective maintenance means they fix
50 something that's broken, you know, if something
51 needed to be welded or something needed to be
52 replaced. Routine maintenance, I would suggest would
53 be more just the very, very small amount of money
54 that's spent by people just, not changing the oil, but
55 just maybe ... I'm stumbling there. The routine
56 maintenance would be very, very minor. Preventative
57 maintenance, I'm not quite sure if they would put
58 changing the oil under routine or preventative, I'm not
59 quite sure where they would do that. But between
60 routine and preventative, I don't make much distinction.
61 The corrective one is the breakdown maintenance.
62 Something is broken and it has to be fixed.

63 MS. NEWMAN: I'll refer you to B-32 and PUB-3 to the
64 extent that you need to refer to that.

65 MR. HAYNES: Sorry, B-32 and ...

66 MS. NEWMAN: PUB-3.

67 MR. HAYNES: Okay.

68 MS. NEWMAN: We had some detailed discussions
69 about this item already so I just propose to ask a couple
70 of questions that I didn't have answered through the
71 process you went through with the intervenor. The
72 first one is, you mentioned that there is a possibility of
73 failure if this liner is not replaced.

74 MR. HAYNES: Yes.

75 MS. NEWMAN: In the reports there doesn't seem to be
76 anywhere in here of quantification of that possibility.
77 Is there any way that it can be quantified?

78 MR. HAYNES: Not really, basically the report indicates
79 that the, when the stack was installed 32 or 33 years

1 ago, that right now it's, for the most part there's 60
2 percent of the metal left, 40 percent is already gone, and
3 in some areas it's down to 40 percent remaining, so
4 basically the walls are thinning. You know, for
5 someone to come in and give a prediction of when it's
6 actually going to collapse or ... and even if it will
7 collapse ... it may buckle, it may not cause a complete
8 collapse, I think it would be impossible to speculate or
9 to be able to pinpoint a probability.

10 MS. NEWMAN: Is this a structure that is fairly
11 common to the industry? I'm wondering is there any
12 way to have a general guide as to how long these liners
13 usually last.

14 MR. HAYNES: That's very dependent on the operating
15 environment. The stack itself is 302 feet tall, and
16 basically it has a steel liner so it's old ... inside the
17 concrete shell there's a steel liner from the bottom, or I'll
18 say from 15 feet off the ground, it starts, to the top. The
19 amount of deterioration depends on the usage and also
20 the environment. That is a salt environment, it's
21 (inaudible) steel, so I think it would depend on the
22 installation and we have a fair bit of up/down time in
23 Holyrood, we are shut down ... we were shut down a lot
24 in the summer one time, we're operating some machines
25 now all summer, nearly all summer, so it's quite variable.

26 MS. NEWMAN: I'd like to look at page 5 of 9 in PUB-3.

27 MR. HAYNES: Okay.

28 MS. NEWMAN: We're back at that table again, option
29 one, option two, option three.

30 MR. HAYNES: Yes.

31 MS. NEWMAN: My first question on that table is
32 under option one, the O and M costs are recorded as
33 being \$70,000 a year?

34 MR. HAYNES: Yes.

35 MS. NEWMAN: I wonder is that accurate or should
36 they change in the same way that it does under option
37 two?

38 MR. HAYNES: No, option one is basically each year
39 we do an inspection and we do the minimal repair.
40 Option two, we do a bit more than minimal repair. We
41 go and we go a little deeper. Like last year, I think it
42 was \$130,000 odd that we spent. Basically we only

43 replaced a minimum amount that had to be done to
44 make sure we got through one more year. Option two
45 does a little bit more. We do some reinforcement as
46 well.

47 MS. NEWMAN: So that \$70,000 a year will stay
48 constant right through to the end of the estimated life
49 of this ...

50 MR. HAYNES: Well, it would escalate, in the present
51 day analysis that would be done, that would be
52 escalated each year.

53 MS. NEWMAN: And is that included in the present
54 value analysis on the table, which is at page 8 of 9?

55 MR. HAYNES: Yes, it should be.

56 MS. NEWMAN: That O and M cost.

57 MR. HAYNES: That should have been escalated at two
58 percent per year. If you look at 2004, there's \$73,500.

59 MS. NEWMAN: Right.

60 MR. HAYNES: And then in 2006, I presume they
61 estimated, for some reason it went up a little bit higher,
62 and that may ... well that would be, I guess, in the ...
63 that may be reflecting what we've had the last couple of
64 years. Last year, we spent, I believe, \$136,000, but
65 generally those numbers are \$73,000 escalated each
66 year at an average of two percent inflation.

67 MS. NEWMAN: They seem to go up in option one,
68 similar to going up in option two. There doesn't seem
69 to be a big differential.

70 MR. HAYNES: All the, all the annual costs would go
71 up, it's assumed to go up at two percent per year with
72 escalation. I may have (inaudible). In option two, in
73 option two we assumed in the first, 2004 and 2009,
74 there's \$30,000 a year for doing the annual maintenance,
75 so we start out at \$32,130, which basically is, you know,
76 \$32,000 plus a year's escalation.

77 MS. NEWMAN: Right.

78 MR. HAYNES: In 2009 we jump up with the big bump
79 that we had there of \$250,000 for vertical reinforcement.

80 MS. NEWMAN: Uh hum.

1 MR. HAYNES: And then we come back down to
2 \$90,000 a year for the next four years and then jump
3 again to \$120,000.

4 MS. NEWMAN: And the same thing seems to happen
5 in option one, you're saying that's just due to the two
6 percent escalation?

7 MR. HAYNES: No, I think in option one, just forgetting
8 2006 for the minute, and I don't have the details of what
9 they've included there ... we've gone \$73,000, \$77,000,
10 \$85,000, \$89,000, \$93,000, and \$98,000, it's going up
11 gradually, it's kind of ... I don't see any step change. It
12 looks like, you know, inflation.

13 MS. NEWMAN: And this present value analysis
14 doesn't include the internal engineering cost. We had
15 a discussion about that earlier, the overhead costs and
16 ... would it be possible, I know we had some discussion
17 earlier about net, calculating net present value and it
18 can be difficult, would it be possible for you to factor
19 that in and give us a calculation of what the differential
20 would be, or would that be a difficult task?

21 MR. HAYNES: Well, it can be done, but from my
22 perspective, even if the net present value came out to
23 be less to do another option, it's still not the right thing
24 to do because we're discounting, we have not, we have
25 not factored into any of these analyses, the impact of a
26 failure, either in the fact that we will be out of service
27 for six months on one machine, the fact that we will
28 have other damage, consequential damage, that we may
29 have an impact on the whole plant is depending on
30 where the (inaudible) breaks. If the stack comes down
31 and the fire goes, the fire ball will trip, eventually will
32 trip, you may cause damage to the boiler. The risk of
33 not doing, of not replacing the stack liner, would
34 outweigh, I think, the present value analysis. Now we
35 could go in and put in, you know, assuming year two,
36 five, or ten that we had a failure, and that's really, I don't
37 think that buys us anything. These things assume that
38 we will not have a failure. I think we will be underrating,
39 underscoring the ... underevaluating the risk by not
40 replacing the stack liner. It's the safest and surest way
41 to ensure the availability of that particular machine.

42 MS. NEWMAN: So if I understand you then, the net
43 present value analysis is almost secondary in the
44 decision making process here.

45 MR. HAYNES: In my view, I think in the report there,
46 in the summary, we mentioned that any shortfall in

47 power and energy, you know, we put words there to
48 talk about the catastrophic failure, but we have not
49 quantified it with dollars. We have not particularly
50 highlighted safety and environment ... well environment
51 is not such a big concern here, but the safety aspects,
52 we haven't really put any dollar value on those items.

53 MS. NEWMAN: B-91, the EMS system. Can you tell
54 me when this system was put in place?

55 MR. DOWNTON: I can speak to that if you want.

56 MS. NEWMAN: Yeah, okay.

57 MR. DOWNTON: It was put in service August the
58 20th, 1990.

59 MS. NEWMAN: And the life expectancy is?

60 (2:45 p.m.)

61 MR. DOWNTON: The life expectancy was 15 years.

62 MS. NEWMAN: So that would put us to 2005. Is
63 there, would there be any inherent quantifiable risk to
64 putting it off to 2006, by one year, or 2007 by two
65 years? I noticed in the KEMA report, they said that
66 that would be an untenable long-term solution, but in
67 the short-term, for the sake of a year or two, would it be
68 possible to do that?

69 MR. DOWNTON: I think in, just one second please ...
70 in the project justification on page B-94 and B-95, there
71 are ... it discusses, I guess, what the repercussions
72 would be if the system were to fail prior to it being
73 replaced, and basically what the costs that would be
74 associated with that, so I guess what I would ... this
75 was prepared by our systems operation group who
76 basically have ultimate responsibility for the control
77 centre, and this is their analysis on what those
78 implications are.

79 MS. NEWMAN: But there's no magic to 2005, it's just
80 the expected life for the ...

81 MR. DOWNTON: Well, magic in the sense, well we
82 know that our, we are seeing an increase in number of
83 failures on power supplies and universal controllers.
84 We know there are no spare parts there, so, yes, what
85 you're saying, it is a judgement call, and also with the
86 fact that this is really a three year project from the time
87 that it gets go. If you fail, if the system fails and you

1 have not been in the planning cycle at all, you're
2 looking at upwards of three years to replace the system
3 as opposed to something that you could maybe turn
4 over in a couple of months, which is not the case for an
5 energy management system.

6 MS. NEWMAN: I wonder if you will explain the nature
7 of the KEMA report? Is that a final report which
8 recommends the system that should be purchased, or
9 is that more in the nature of a preliminary report
10 identifying needs?

11 MR. DOWNTON: The intent of the report is probably
12 twofold. One was to do an assessment on the current
13 EMS and basically from an infrastructure perspective,
14 whether it was meeting Hydro's requirements, and at the
15 same time to do an analysis on a go forward basis. If
16 we were to replace the system, then what functionality
17 we would look at providing such a system, so basically
18 it covered off both aspects.

19 MS. NEWMAN: Okay, and what work needs to be
20 done now before you can, before you can actually
21 decide upon what it is that you're purchasing?

22 MR. DOWNTON: There's enough information in the
23 KEMA report that we can basically, upon approval,
24 begin writing a functional specification which would
25 define in, we'll say, considerably more detail what the
26 requirements are for the replacement energy
27 management system, and what would happen then,
28 then that would go to gender. When we basically have
29 a preferred vendor, we follow the same pattern we did
30 last time, we would sit down with that vendor and then
31 create a work statement which will take that level of
32 detail down further so that it's very specific in what is
33 being purchased and supplied, and then, of course,
34 once that is done, then you actually get into the factory
35 build of that particular system.

36 MS. NEWMAN: So when you're designing the detailed
37 specifications, would that be done by inhouse
38 engineers or would that be, would you engage KEMA
39 or another consultant to assist you with that?

40 MR. DOWNTON: Basically that would be done with a
41 combination of inhouse engineers and also
42 consultants.

43 MS. NEWMAN: And are there things that may change
44 over the course of the next little while that may change
45 your needs in terms of what you're going to be looking

46 for in the specification? I'm thinking of the Electricity
47 Policy Review or something like that that might change
48 the nature of what you're looking for.

49 MR. HAYNES: I don't think there would be anything
50 specific that would change that. The Energy Control
51 Centre right now does not do distribution per se, it's
52 basically primarily generation, economic dispatch,
53 system generation. A control centre will be required,
54 there is no doubt about that. Even in all these RTOs
55 and the ISOs and all the things that are on the go in the
56 US, control centres are here to stay, they won't go
57 away. There may be slightly different implementations,
58 but I don't think there will be any ... I don't think there
59 will be any significant change regardless of what the
60 Energy Policy Review does that would impact that,
61 unless it was an absolutely wild change in the way we
62 are right now, but I guess it is an uncertainty, but the
63 control centre will be required.

64 MS. NEWMAN: I just have one more project that I
65 want to refer to, and that's B-120, and this is the study
66 to replace the operational data and voice network, and
67 the only question I have here is have you thought
68 about, and would it be possible, to enter into
69 discussions with Newfoundland Power on coordinating
70 your efforts here, even before you design what you're
71 looking for, even before you conduct this study so that
72 you can find similarities and commonalities before you
73 enter down a road yourselves, have you thought about
74 that?

75 MR. DOWNTON: Not in those terms.

76 MS. NEWMAN: Okay, how about in ... tell us what
77 terms you might have thought about it.

78 MR. DOWNTON: I guess what I, when I responded to
79 the question with regards to this item, the bulk of this
80 infrastructure exists at sites which Newfoundland
81 Power don't exist at, so basically 80 to 90 percent of the
82 infrastructure is at the Hydro-owned sites. Depending
83 on what comes out of the study, if it basically indicates
84 that we should be moving towards and IT based
85 network, then it would be my recommendation that no
86 other party be on that system because of security
87 reasons, and I think what we need to do is first of all to
88 come to a point that we'd have a level of comfort with
89 the technology that we're going down, and then if there
90 is opportunity at that point in time, that it can be, we'll
91 say refreshed if basically Newfoundland Power feels
92 that there is an opportunity there.

1 MS. NEWMAN: Okay, those are all my questions, Mr.
2 Chair.

3 MR. SAUNDERS, CHAIRMAN: Thank you, Ms.
4 Newman. Do you have anything in redirect?

5 MS. GREENE, Q.C.: Only in terms of responding to
6 questions that are outstanding in terms of undertakings
7 that were given either yesterday or early today, so I do
8 have five or six of those.

9 MR. SAUNDERS, CHAIRMAN: Uh hum, now there
10 may be some questions from the panel members, do
11 you want us to go ahead and ...

12 MS. GREENE, Q.C.: Sure, if that's ...

13 MR. SAUNDERS, CHAIRMAN: Mr. Powell, do you
14 have any questions?

15 COMMISSIONER POWELL: Yeah, I have a couple of
16 minor things. I'll just digest all this. In B-5 you talk
17 about, I think Mr. Haynes, about, he said (inaudible)
18 spare parts.

19 MR. HAYNES: Yes.

20 COMMISSIONER POWELL: As a percentage of this
21 project, what are we talking of there, 5 percent, 10
22 percent, 20 percent, what?

23 MR. HAYNES: I think in the order of about \$30,000,
24 approximately \$30,000 are spare parts.

25 COMMISSIONER POWELL: About 15 percent of the
26 project, and that includes the ... is that \$30,000 of
27 material or \$30,000 total project?

28 MR. HAYNES: Well, the spare parts will be just
29 material, there would be very little labour.

30 COMMISSIONER POWELL: Would you put that in
31 capital, wouldn't that more or less be an inventory item
32 on the operations side?

33 MR. HAYNES: Usually when we buy, usually on a
34 capital project, when we do that we will buy the spare
35 parts with it, and it will go into inventory and we've had
36 lots of internal discussion on the definition of spares,
37 whether capital spares or otherwise, and I, at this point
38 in time, do not know where that would sit. It would go
39 in the inventory, it would be on the books, the spares
40 will be.

41 COMMISSIONER POWELL: So it's just a question
42 from a costing point of view, depreciation, whether it
43 was put into your ...

44 MR. HAYNES: Whether it would attract depreciation
45 or not, I am not ... for those particular spare parts, I
46 would suggest it does not. I don't think that would
47 necessarily be a capital spare. We are going through a
48 large discussion inhouse now trying to come to terms
49 with those issues with respect to our inventory and I'm
50 not sure where that one would fall because it's not a
51 single spare part, it's, you know, a valve and a
52 controller and PLCs, it's a group of smaller things. I
53 doubt it will be capital.

54 COMMISSIONER POWELL: Another note here, B-7.
55 Yeah, just a note I made when I was reading this prior
56 to, prior to the hearing and listening to some of the
57 comments, one of the notes I have, replacing, it's
58 relatively young, it's only 10 or 12 years old.

59 MR. HAYNES: Yes.

60 COMMISSIONER POWELL: Is there any alternative in
61 terms of ...

62 MR. HAYNES: Right now there are two systems. One
63 is a data acquisition system and one is a vibration
64 monitoring system. The data acquisition system is out
65 of service, it failed, and parts aren't available and I,
66 there was a short life there but we can't get it fixed. The
67 vibration equipment, the vibration monitoring system
68 is, the technology has changed or the vendor has
69 stopped supporting it, and we're getting to the end of
70 its useful life and opposed to going back and just
71 replacing the vibration, basically the proposal is to kind
72 of bring it all together into one system which the
73 vibration company now sells or provides. He will look
74 after the vibration monitoring as well as other inputs
75 which we do not have right now. So basically, while we
76 are, while we're replacing the data acquisition system,
77 the primary driver from coming forth at this time is the
78 vibration equipment, which we had to have. There are
79 some ... the data acquisition system, it's an absolute
80 must to have but it's highly desirable to be able to look
81 at plant parameters and try to be a bit proactive on
82 failures because of temperatures rises and certain
83 equipment that we may not have the information on.

1 COMMISSIONER POWELL: Is this one of these costs
2 that every so many years you're going to have anyway
3 whether you (inaudible) someone being proactive, so
4 would it be an arrangement that would automatically
5 get replaced by some sort of contractual ...

6 MR. HAYNES: The vibration equipment tends to last
7 longer. Typically on some of the machines, some of the
8 vibration transducers are embedded in the equipment
9 and they're not easy to change, and they usually last
10 more than ten years. Some of the computer sort of
11 things in the data acquisition, maybe not, and I'm not
12 quite sure what the proposed vendor is proposing for
13 his data acquisition system, but if it's being sold with
14 the vibration equipment, I would anticipate it's probably
15 reasonably good. It should be 15 years at least.

16 COMMISSIONER POWELL: So you're still not a
17 hundred percent sure now, you're still in the process of
18 going out and getting ...

19 MR. HAYNES: Yeah, well we will go out and we will
20 identify what we want. We'll go and get ... you know,
21 and we'll go for bids on this. There are two or three
22 vendors for vibration equipment. There are not a lot,
23 there's IRD and Bentley Nevada and a couple of others,
24 but we usually stay with the tried and true ones if all
25 possible because they've been reliable and provide a
26 good service, generally speaking.

27 (3:00 p.m.)

28 COMMISSIONER POWELL: B-9, the note that struck
29 me with this one, that ... you talk about design and
30 construction of the stop log, but there's no material
31 supply, it's all labour and engineering, but they're
32 talking about steel.

33 MR. HAYNES: I think what the, what you will find
34 there is that in the labour side, that would be a supply
35 and install contract. That will be a contract to actually
36 go and fabricate those (inaudible) done that way.

37 COMMISSIONER POWELL: Okay, so more of a
38 contract as opposed to labour, so ... okay, B-20, the
39 backhoe, the thing that struck me about that particular
40 one is that you have a loader backhoe and you're, for
41 dyking and damn work, but also snow clearing.

42 MR. HAYNES: Around our facilities, yes.

43 COMMISSIONER POWELL: The experience I have
44 dealing with people who were in that business is that
45 they always told me to avoid using your construction
46 equipment for snowclearing, it's not a very good use of
47 your equipment, so I just wonder, do you have any
48 experience that way, or is there any alternative to get
49 your snowclearing done another way.

50 MR. HAYNES: At Bay d'Espoir, there is no other piece
51 of equipment, the loader/backhoe is not there. There is
52 another loader only which I think would be used
53 primarily for the bigger snowclearing. The small, the
54 backhoe would probably used around substations and
55 getting into smaller areas where the other machine can't
56 go, this is the smaller of the two and it does sort of, you
57 know, two functions.

58 COMMISSIONER POWELL: Have you looked at the
59 cost benefit of getting a third party to do snowclearing,
60 (inaudible) your own?

61 MR. HAYNES: Not recently, but the snowclearing that
62 they do is, the snow clearing is mostly in Bay d'Espoir
63 on our road, there's a fair bit road work there which is
64 what a larger plough does ... into Upper Salmon, for
65 instance from Bay d'Espoir, so we have the equipment
66 for dyke and damn work as well as other things. I
67 would suggest that because we have it, it's probably
68 easier to, and cheaper just to continue doing as we've
69 done, but it has not been looked at in recent years to
70 my knowledge.

71 COMMISSIONER POWELL: B-21, the note I had made
72 on that, again, going through this, looking at the fairly
73 significant expenditure and my understanding,
74 Holyrood has a fairly defined life. Some of these
75 expenditures of, we've seen to have a life that could be
76 longer than the life of the station itself, are any of these
77 salvageable if, if it got into ...

78 MR. HAYNES: If in 2020, I guess, we were to
79 decommission the plant, which I would suggest is
80 probably unlikely, we'll probably go back and look at
81 the, you know, make, undertaking a major overhaul of
82 the plant to bring it back up and to give it another 20 or
83 30 years, these governors, there are approximately 3,000
84 in service, I'm sure that some market could be found.
85 I'm not sure how good it is or viable at the particular
86 time, but there are usages for some of this equipment,
87 yes.

1 COMMISSIONER POWELL: Is that part of your
2 planning process when you're doing significant
3 maintenance at Holyrood, I realize at this stage of the
4 game you're still, it's sort of theory or conception what
5 you may do, but planning for the inevitability that you
6 can incorporate that into a major upgrade (inaudible)?

7 MR. HAYNES: Not this particular one, because
8 basically we don't have black start capability, and we've
9 already had a failure, since this, since the electronic
10 (inaudible) governor control system was replaced on
11 Unit No. 2, we've had one significant failure on this
12 particular governor, and we used the parts that we got
13 from that to repair this one, and I guess the 34 years of
14 age is the driving point, it's not going to, we don't feel
15 that it's going to last. The other thing is the actual
16 function of the electrohydraulic control. It's, some
17 mechanical engineer once told me that the governor is
18 the heart of the system, and this particular thing on the
19 hydraulic generator controls a lot of things with respect
20 to all the steam valves that to go the turbine, and any
21 failure is a problem. It can cause trips or it can cause
22 damage or ... we have to maintain control, so it's a
23 critical piece of equipment at Holyrood.

24 COMMISSIONER POWELL: B-19, that's the putting a
25 piece on the building in Deer Lake. You doubled the
26 staff there from 40 (*phonetic*) employees, is that recent?

27 MR. HAYNES: They've been added over the last
28 number of years.

29 COMMISSIONER POWELL: Why would there be a
30 significant increase in the period (inaudible)?

31 MR. HAYNES: Well basically the maintenance area
32 that's serviced ... when Deer Lake office was originally
33 built back in 1981 the main service area was, say, from
34 Howley, Cat Arm, down through to, say, Doyles, in that
35 area, and then since then we've added the Northern
36 Peninsula when we built the transmission up there in
37 the mid-nineties, and also we also service southern
38 Labrador from that site as well.

39 COMMISSIONER POWELL: Don't you have a major
40 installation in Port Saunders for ...

41 MR. HAYNES: Not for the ... not for network services,
42 network services for all of the west coast and southern
43 Labrador is serviced out of Deer Lake.

44 COMMISSIONER POWELL: So when you say
45 network, you're talking about communications.

46 MR. HAYNES: Yes.

47 COMMISSIONER POWELL: Okay, are there any
48 options for sharing space with Deer Lake Power in
49 terms of ... you're talking about meeting rooms and
50 things over to Newfoundland Power, do they have
51 anything in the area?

52 MR. HAYNES: To be honest, I don't know if they do.
53 It has not been pursued.

54 COMMISSIONER POWELL: It hasn't been something
55 you looked at. Okay, the other comment I have is just,
56 it's more general. The criteria you started out ... you
57 talked about safety and reliability, and I guess we all
58 appreciate that, whether we're in business or home
59 watching the last few minutes of the hockey game or
60 something, and reliability, it's very important, but the,
61 two of the criterias that, if you're in the private sector in
62 a business you look at is that, it could be customer
63 satisfaction in terms of product, pricing, and from a
64 corporate perspective it's increase or maintaining the
65 bottom line. Other than every now and then, there's
66 been a couple of examples here, but the total budget
67 itself, I never, I don't get the feeling how this
68 expenditure of \$30 odd million, or your portion thereof
69 is going to satisfy those two requirements, so is that
70 part ... in doing this from a budgetary point of view, do
71 these things come into play?

72 MR. HAYNES: They do, when we generate a budget,
73 I guess there's a general guideline to the supervisors,
74 the engineering departments, regional managers, plant
75 managers, as to what our priorities are, and obviously
76 they are the safety, reliability, environment, and any
77 cost-saving measures we have. The \$30 million or the
78 \$33, roughly \$33 million, we did look at the overall
79 requirements, and we do shift things around trying to
80 keep the cash flow, or you know, the budgeting
81 requirements down to some, what we think is a
82 reasonable level ... all the things that are in the budget
83 are reliability, they are to ensure, they may not improve,
84 some of the things we have right now, if we don't have
85 any defined failures, but they surely will prevent a
86 deterioration in the level of service, you know, the
87 number of events that we have that cause customer
88 outages, so it's there to, to at least maintain the status
89 quo and in some cases improve from that point of view.
90 It's hard to quantify, I mean on the customer

1 satisfaction, we are concerned about that obviously,
2 and we are, we're striving to improve that. We do have
3 some aging plant which is causing us some grief, and
4 some of these proposals are to hopefully address those
5 issues, but it won't cure it.

6 COMMISSIONER POWELL: Now one of the
7 information requests shows that the operating costs of
8 the Hydro will increase by approximately \$2 million by
9 increasing depreciation over and above from one year
10 to the next. Is there any feeling of challenge from
11 reduction that we should find the comparable savings
12 in the system so that, without compromising safety and
13 reliability so that there would be no increases in costs?

14 MR. HAYNES: That's an ongoing exercise that we are,
15 we are doing that consistently and probably in the
16 more, in the last year we're doing more than before. We
17 are going back and looking at all kinds of processes
18 trying to reduce costs. We are quite conscious of
19 where the, where the costing is going and what will
20 happen to the rates eventually, and we are definitely
21 looking, trying to capitalize on savings wherever and
22 however we can. That's an ongoing exercise.

23 COMMISSIONER POWELL: In your view then, the
24 amount of monies that's under your control in this
25 capital budget, if it was approved that the costs and the
26 savings would balance themselves out, or ...

27 MR. HAYNES: Over time, over time, but recognizing
28 that some of the things that are there, if we go through
29 them, we're exposing ourselves to a higher risk of
30 failure, such as the stack liner in Holyrood, for instance,
31 that if it does fail it's a pretty big event and will take that
32 machine out of service for some period of time.

33 COMMISSIONER POWELL: That's all the questions I
34 have. Thank you.

35 MR. SAUNDERS, CHAIRMAN: Thank you, Mr.
36 Powell.

37 MR. MARTIN, Q.C.: I just have two or three. On that
38 building in Deer Lake, B-119, I did a quick square
39 footage thing a few days ago, and it works out to
40 \$164.64 a square foot for 625 square feet. I was
41 wondering why the cost was that high.

42 MR. DOWNTON: I, like I say, all I can say is that that's
43 the estimate that I got from our civil group, and I didn't
44 explore any further.

45 MR. HAYNES: It does include the air handling machine
46 for the (inaudible), I understand, the air handling unit,
47 so ...

48 MR. MARTIN, Q.C.: Alright, so it's the construction
49 plus the air exchanger, whatever it was that was referred
50 to yesterday. On A-2, it seems under generation, hydro
51 plant, thermal plant, and TRO has it as well, and we can
52 ask those people but for hydro plants there's tools and
53 equipment, \$117,000, thermal plant tools and equipment,
54 \$73,000. At the time when I was reading it, it struck me
55 that it would seem to me over time you would build up,
56 I don't know, a bank or a store of tools and equipment,
57 and that you wouldn't have, there would be no need for
58 an annual expenditure for tools and equipment. I didn't
59 see a breakdown anywhere in the materials that I got as
60 to what specifically is meant by tools and equipment.

61 MR. HAYNES: All the tools and equipment, basically
62 anything that's under \$50,000, we don't provide, you
63 know, the same level of details, so the \$73,000, for
64 instance, that the, I'll go back to the ...

65 MR. MARTIN, Q.C.: The thermal plant.

66 MR. HAYNES: I'll go back to the hydro plant, the
67 \$114,000, there are various things there, some that is
68 related to, in this particular case, related to Granite
69 Canal because we have a new plant coming online, and
70 rather than lugging or trucking, you know, welding
71 equipment or whatever from Bay d'Espoir up there over
72 the road and beating it up, we basically put it there and
73 we leave it there for that plant, and cumulatively they
74 add up to \$144,000 ... an oxyacetylene torch, chain
75 hoist, fibreglass step ladders, there's various things. It
76 also includes the, any requirement for replacing ski-
77 doos or ATVs that we use on a routine basis, and they
78 are replaced on an three or a five year shift. I don't
79 know exactly recall, but ski-doods basically are used
80 fairly intensely in Bay d'Espoir for up-country work,
81 they are also part of that particular budget. At
82 Holyrood, there are, generally there are some, there's a
83 requirement for some confined space equipment, you
84 know, the replacement of (inaudible) suits and so on,
85 which would be used down there for fire fighting and
86 other chemical events. It's a fairly complex environment
87 from the point of view of the chemicals and so on, so
88 there is some emergency response material. It covers
89 various things, and also just the usual replacement of
90 broken or damaged tools over time.

1 MR. MARTIN, Q.C.: So those figures, would that be an
2 average figure for tools and equipment for your capital
3 budget every year?

4 MR. HAYNES: I would suggest that the hydro plant
5 one, without actually going back and looking at
6 previous years, it's probably a little bit higher because
7 we are basically staging up Granite Canal. The Granite
8 Canal project has been built and turned over and other
9 than, you know, some specialized tool that is provided
10 by General Electric, the turbine or something like that,
11 basically we're going into basically an empty building
12 or equipment only, there's no tool lockers, so I would
13 suggest that the hydro, the hydro side is probably a
14 little higher than normal, and the one at Holyrood may
15 be on par or a little bit above, because we are
16 replenishing the emergency response material.

17 MR. MARTIN, Q.C.: Yeah, I noticed for future years,
18 hydro plants has \$121,000 and Holyrood doesn't have
19 anything for future years.

20 MR. HAYNES: Yes, that \$121,000 is related to the
21 loader backhoe that we were discussing.

22 MR. MARTIN, Q.C.: Okay.

23 MR. HAYNES: \$3,000 in year one to do the
24 specification.

25 MR. MARTIN, Q.C.: Right.

26 MR. HAYNES: The actual backhoe will be purchased
27 in 2004.

28 MR. MARTIN, Q.C.: Yeah, that's right

29 MR. HAYNES: But I wouldn't, you know, I wouldn't
30 want to mislead you. I know that in 2004 we will still
31 have money there for, you know, replacement of tools
32 and equipment, for welders, a chain hoist, or whatever
33 it is that's worn out over time.

34 MR. MARTIN, Q.C.: I think the other question I had
35 had to do with, I think it was B-96, and the operator
36 training simulator. It was my understanding that there
37 was already a training simulator at Hydro Place.

38 MR. HAYNES: There is, but it's not used.

39 MR. MARTIN, Q.C.: Pardon me?

40 MR. HAYNES: There is, but I understand it's not used
41 very much right now.

42 MR. MARTIN, Q.C.: Would that be able to be used
43 with this new, this new EMS system?

44 MR. HAYNES: I was ...

45 MR. MARTIN, Q.C.: If it was modified for that
46 purpose?

47 MR. HAYNES: It's a part of the EMS that we have right
48 now, but Eric could probably answer that question in a
49 bit more detail than I could.

50 MR. DOWNTON: Yeah, what's called the dispatcher
51 training simulator that you referred to is built into the
52 existing energy management system.

53 MR. MARTIN, Q.C.: And it wouldn't be able to be
54 modified or used for this new ...

55 MR. DOWNTON: Basically the software and the
56 hardware are totally proprietary and it's the same issue
57 with the other parts of the energy management system.

58 MR. MARTIN, Q.C.: Okay, that's it for me.

59 MR. SAUNDERS, CHAIRMAN: Thank you,
60 Commissioner Martin. I was hoping that we would
61 have finished a little earlier, but it's now 20 after 3:00
62 and I have a few questions myself, and we're going to
63 hear from Ms. Greene again, I think we'll break now for
64 15 minutes and come back at 25 to 4:00. Thank you.

65 *(break)*

66 *(3:35 p.m.)*

67 MR. SAUNDERS, CHAIRMAN: I understand that we
68 may go a little later than 4:30 in order to try and finish
69 up this aspect of the hearing, is that agreeable with
70 everyone?

71 MR. HUTCHINGS, Q.C.: I think we can accommodate
72 that, Mr. Chair.

73 MR. SAUNDERS, CHAIRMAN: Okay, we'll see how
74 we do at 4:30. Mr. Martin, I think, has one more
75 question.

1 MR. MARTIN, Q.C.: Yeah, I have one question which
2 was related to the simulator again, and I meant to ask
3 you before but do you have any idea of the cost of the
4 simulator itself?

5 MR. DOWNTON: \$75,000.

6 MR. MARTIN, Q.C.: Was any thought given to doing
7 the training program hand-in-hand with the university
8 or the college, anything like that?

9 MR. DOWNTON: Not that I'm aware of. The way the
10 training simulator works is that it's specifically designed
11 to simulate the hydro model as far as the transmission
12 and generation facilities, and also, like the protective
13 relaying and everything is built into an operating
14 training simulator model, so I would suspect that ... it
15 hasn't been pursued but I would doubt that it would be
16 a feasible option.

17 MR. MARTIN, Q.C.: Okay, thank you.

18 COMMISSIONER POWELL: Does every control centre
19 across the country have a simulator attached to it or ...

20 MR. DOWNTON: I would suspect most of them would.
21 Typically the control centres that you will see are more
22 in the generation and transmission area, and some
23 distribution, but primarily it will be generation and
24 transmission utilities.

25 MR. SAUNDERS, CHAIRMAN: Okay? Mr. Haynes
26 and Mr. Downton, I refer you, first of all, to Tab H,
27 which is the telecom plan, and page 23 specifically, and
28 in the, at the commencement of the second last
29 paragraph there's a reference there to the Department of
30 Works, Services, and Transportation, and I recall some
31 discussion on this point during the hearing last year
32 and I don't recall the details and I haven't looked up the
33 transcript but there was reference to the Department of
34 Works, Services, and Transportation's intention to
35 participate in the funding, I think that word is, funding
36 and usage of the Hydro mobile radio system. What's
37 happened to discussions on that point up to now, is
38 there any new development?

39 MR. DOWNTON: Well, we've just put it in abeyance,
40 we really haven't ... we're continue to refine the dollars
41 but we really have not actively pursued that in the last
42 number of months which would probably date back to
43 this spring.

44 MR. SAUNDERS, CHAIRMAN: And am I correct in my
45 assumption that if there is anything that develops in
46 that respect, it would be shown in your operating
47 budget as opposed to your capital budget?

48 MR. DOWNTON: Yes.

49 MR. SAUNDERS, CHAIRMAN: As a revenue item?

50 MR. DOWNTON: As a revenue item.

51 MR. SAUNDERS, CHAIRMAN: Yeah, excuse me,
52 okay, in B-28, you have talked about ... well you've
53 shown \$150,000 for engineering and I think when you
54 read through the detail of that, it's to do a study. I'm
55 wondering if, first of all, if that's an internal or an
56 external study that's being contemplated there.

57 MR. HAYNES: That will be a combination of both. It
58 will be managed by our generation engineering section
59 but they will hire the expertise in some of the areas
60 where we don't have enough internal expertise. We are
61 looking at trying to come up with some realistic dollar
62 values for pollution control equipment, what we can do
63 to remove the large particulate matter which is an irritant
64 to the nearby residents of Holyrood, and so it will be a
65 combination of both, but we will have to hire external,
66 you know, some specialist in the steam plant, and
67 particularly emissions technology to ...

68 MR. SAUNDERS, CHAIRMAN: I bring it up as an
69 example really. I guess I'm wondering, this equipment
70 that you're talking about putting in here, the flue gas
71 particulate removal equipment, it's not something that's
72 unique with Hydro, I would assume that you will find
73 similar equipment in other thermal generating plants.

74 MR. HAYNES: Yes, you would.

75 MR. SAUNDERS, CHAIRMAN: And do you seek, let's
76 say the experience of other operators across the
77 country or into the US in terms of what's required in
78 events such as this, in terms of the emission equipment,
79 or emission control equipment?

80 MR. HAYNES: The plant manager at Holyrood does
81 participate in kind of a user group.

82 MR. SAUNDERS, CHAIRMAN: Yes.

83 MR. HAYNES: For thermal plant operators where they
84 field questions back and forth and what is your

1 experience on, it could be on a piece of equipment or on
2 something ... or whatever, so they do participate from
3 that point of view. In Holyrood's case, what was
4 intended, or what is thought, the initial thing that we
5 may do is put in screens to reject or collect or deflect
6 the large particles, and it comes down to where they
7 could be located in Holyrood, can it be put in the duct
8 work that we have. You have to look at the specific
9 design of the plant. We've taken that and we've
10 expanded it a bit to look at other technologies, you
11 know, at least to have (inaudible) to these other things
12 as well, but there is consultation with the other group,
13 and there's a fair bit of dialogue. We meet with the
14 regulator on a fairly regular basis, being the Department
15 of Environment, and they have their preferred list of
16 things for us to do, and we dialogue about that, and we,
17 you know, we don't do everything they wish, I assure
18 you. We try to satisfy at least their minimum
19 requirements.

20 MR. SAUNDERS, CHAIRMAN: Well, let me ask
21 another question, would the benefit of that kind of
22 consultation with other users reflect in the cost of this
23 engineering study that you're proposing here?

24 MR. HAYNES: I would suggest, yes, this particular
25 project was put forth by the plant manager at Holyrood.

26 MR. SAUNDERS, CHAIRMAN: Yeah.

27 MR. HAYNES: So he would have, he would have, I'm
28 sure, gotten information from other groups as required,
29 or from out partners out there. We do have (inaudible)
30 as a partner who are basically quite involved in the
31 (inaudible) technology and also pollution reduction
32 equipment, but obviously it's only their particular
33 brand, if you will, so there's a fair bit of dialogue went
34 in there on that up front.

35 MR. SAUNDERS, CHAIRMAN: So there is an
36 association or an organization that your operators and
37 your other executives and managers and supervisors
38 can take advantage of in putting together these various
39 projects?

40 MR. HAYNES: There is a thermal plant user group
41 called, I think it's FORMUS (*phonetic*), and they
42 subscribe, they pay a couple of thousand bucks a year,
43 whatever, to be part of that group, but they do field
44 questions back and forth.

45 MR. SAUNDERS, CHAIRMAN: Uh hum.

46 MR. HAYNES: And it's been a value to us many times
47 looking at different options or different things that we
48 do. I couldn't say specifically if there was a lot of
49 dialogue on this particular project, but I have no reason
50 to suspect there was not some fielding of ideas before
51 we actually came forward with it.

52 MR. SAUNDERS, CHAIRMAN: Do your people from
53 time to time visit other plants in other parts of the
54 country?

55 MR. HAYNES: Not as much, not often, occasionally.

56 MR. SAUNDERS, CHAIRMAN: Not often. Do you
57 think it's an advantage?

58 MR. HAYNES: Personally I do, it has happened when
59 somebody was up there for other reasons or whatever,
60 but it's not, we have not said for the plant manager or
61 the maintenance, assets manager, whatever, to go Nova
62 Scotia Power for a week and have a look around. It's
63 been done on an infrequent basis and not in recent
64 times to my knowledge, certainly not this year that I
65 know of.

66 MR. SAUNDERS, CHAIRMAN: How about from the
67 other direction, do you often times get personnel from
68 other generating plants in other parts of the country
69 coming in to see your operation here?

70 MR. HAYNES: In Holyrood I'm not aware, on the
71 hydro side, and I'll speak from Churchill Falls
72 experience, we did in Churchill Falls have people come
73 through on occasion, internationally actually, looking
74 at different aspects, usually brought in by consultants
75 who were looking for the business as opposed to
76 coming on their own.

77 MR. SAUNDERS, CHAIRMAN: And the reason I ask,
78 I guess, is because it appeared to me when I read this
79 one particularly that this is not, you know, reinventing
80 the wheel here. It seems to me that this would be
81 something that would have been considered by other
82 operators in other parts of the country when they're
83 installing their plants, and certainly there should be
84 some experience to draw on, I guess, and hopefully if
85 that experience is available, it would have the effect, I
86 would hope of reducing your costs in the initial stages,
87 you know, the engineering work and so on.

88 MR. HAYNES: Well, we would count on that too as
89 well from the external expertise, as we indicated on page

1 B-29, that they would bring that to the table as well, but
2 the intention of the study was to ... we know that we
3 can go and spend 50, 60, to \$100 million to clean it up
4 really nicely, and we're not suggesting that we do it at
5 this point in time, but what we're looking at doing is
6 trying to make some noticeable impact, some
7 improvement at a least cost.

8 MR. SAUNDERS, CHAIRMAN: Uh hum.

9 MR. HAYNES: Eventually we may be pushed into a
10 higher cost by the regulator, we don't know that at this
11 point in time, but we're trying to stay ahead of it, and
12 without actually committing a large number of dollars
13 for this project.

14 MR. SAUNDERS, CHAIRMAN: Yeah, I gotcha. Still
15 staying with Holyrood, and I'm talking now particularly,
16 I guess, about B-32, at least generally it's about B-32,
17 and that's the stack replacement or the stack liner
18 replacement.

19 MR. HAYNES: That's right.

20 MR. SAUNDERS, CHAIRMAN: Most of that work, I
21 think, from what I've heard you say so far, Mr. Haynes,
22 is to be done by external contractors.

23 (3:45 p.m.)

24 MR. HAYNES: Yes, yes.

25 MR. SAUNDERS, CHAIRMAN: The actual ...

26 MR. HAYNES: Installation.

27 MR. SAUNDERS, CHAIRMAN: ... installation of the
28 liner. Is it normal for Hydro to seek guarantees on
29 material and workmanship in such cases?

30 MR. HAYNES: Yes, but it's usually a fairly limited
31 timeframe, I can't be specific about the number of years
32 here but when we're going for some equipment we look,
33 for instance, on the IS and T side, we look for
34 confirmation that the vendor will support them for a five
35 to ten year timeframe, ten years I believe is what we
36 look for, and we get some commitment there. On these
37 type of material contracts, there's usually a fair bit of
38 follow-up with, a fair bit of assurances and, from the
39 supplier. On other contracts we have at Holyrood, we
40 do go back and we do have events, for instance, we
41 have partnering agreements that we have right now.

42 Occasionally there is an issue that comes to bear and
43 we'll go back and we'll negotiate then and we usually
44 get it done for, under a warranty if you will, or at least
45 at a much reduced cost based on the shared
46 responsibility sometimes.

47 MR. SAUNDERS, CHAIRMAN: And these guarantees,
48 I guess, would be a factor in determining who you're
49 going to award the contract to.

50 MR. HAYNES: Well, that would all be taken into
51 consideration to evaluate the cost and ...

52 MR. SAUNDERS, CHAIRMAN: Right, there are two
53 other stacks out there?

54 MR. HAYNES: Yes, there are.

55 MR. SAUNDERS, CHAIRMAN: There hasn't been any
56 mention made of it that I can recall, unless I had a lapse
57 during the last day and a half, but what's the condition
58 of two and three, and I think that's on the record but ...

59 MR. HAYNES: Stack number three is newer. Stack
60 number three was built in 1979/80 ...

61 MR. SAUNDERS, CHAIRMAN: Yes.

62 MR. HAYNES: So it would be ...

63 MR. SAUNDERS, CHAIRMAN: 20 odd years old.

64 MR. HAYNES: ... in (inaudible), but I would anticipate
65 in the next, that in the next five years you will see the
66 other stack come up. What we're trying to do, or what
67 we have to do is we try to coordinate that particular
68 repair with the major outage.

69 MR. SAUNDERS, CHAIRMAN: Yes.

70 MR. HAYNES: Every three years we do a minor
71 overhaul on the unit and every six years we do a major
72 overhaul and the major overhaul, the machine is out for
73 that particular unit, it's out of service for, I believe it's 12
74 or 14 weeks, or 16 weeks. It's out for about three
75 months, and so we would target to do that major repair
76 at that particular time to maximize the availability.

77 MR. SAUNDERS, CHAIRMAN: Okay, that concludes
78 what I had. Ms. Greene?

1 MS. GREENE, Q.C.: Thank you, Mr. Chair. I have five
2 or six, possibly, questions that were left outstanding
3 from yesterday. The first relates to an undertaking
4 provided on page 31 at lines 13 to 16 with respect to the
5 confirmation of the overhead rate. Mr. Haynes, have
6 you had time to confirm the overhead rate charged by
7 Hydro to these capital projects?

8 MR. HAYNES: Yes, the overhead rate, I had mentioned
9 that it was four to five percent, and it's in fact six
10 percent, and that's used for all the budgeting exercises.

11 MS. GREENE, Q.C.: The next question relates to the
12 spherical valves at Bay d'Espoir, and again, this is also
13 found on page 31. There's a reference with respect to
14 these, this capital project of a number of maintenance
15 events at 36, have you had time to determine the
16 number of events related to the particular project being
17 proposed for 2003?

18 MR. HAYNES: Yes, I had indicated that 36 events were
19 associated with all the valves. In fact, the 36 events are
20 the number of events on valve number one for the last
21 five years. For all the valves, the six spherical valves,
22 in the last five years we've had approximately 160
23 corrective maintenance work orders.

24 MS. GREENE, Q.C.: And so the 36 again, this related to
25 the particular one we're proposing to be replaced in
26 2003.

27 MR. HAYNES: That's correct.

28 MS. GREENE, Q.C.: The next question relates again to
29 the spherical valves at Bay d'Espoir and it relates to
30 questions by Ms. Andrews found on page 32, lines 9 to
31 12, and it relates to the two units that have already been
32 replaced. In that answer you indicated that, in fact, in
33 the explanation, it's number five and number two, what
34 two units have the valves already been, the controls
35 already been replaced for the spherical valves?

36 MR. HAYNES: Well, there's two corrections on my part
37 there. First of all, the documentation says that number
38 five was, sorry, the spherical valves were replaced, the
39 controls were replaced, it's actually number four. That
40 was done in 2001, and in 2002, unit number two was
41 done. Both those particular projects were done in
42 concurrence with other major maintenance items.
43 Basically the surge tank was out of service, so there
44 was an extended outage, so we did it at the same time,
45 and this year the surge tank was out of service as well,

46 as we basically had to take number two, to remove the
47 rotor, the runner to do other repairs, so we did it at the
48 same time as there was another major outage planned.

49 MS. GREENE, Q.C.: So in fact, Mr. Haynes, you've just
50 indicated a correction to page B-5, the unit number
51 being replaced being number four and not number five
52 as indicated under operating expense, is that correct?

53 MR. HAYNES: Yes, that's correct.

54 MS. GREENE, Q.C.: And you indicated the correct
55 times for the replacement of the previous two, is that ...

56 MR. HAYNES: Yes.

57 MS. GREENE, Q.C.: The last undertaking arising from
58 yesterday from Ms. Andrews relates to the fencing at
59 Bay d'Espoir and at Holyrood, and there was an
60 undertaking, an undertaking provided on page B-40
61 with respect to checking the numbers for both of those.
62 Have you had the opportunity to do that since
63 yesterday?

64 MR. HAYNES: In both those particular projects, I
65 guess the big difference was the depreciation was
66 indicated yesterday, but the percent of total for the
67 overheads and etcetera is all in the order of
68 approximately 18 percent. The contingency in both
69 cases was ten percent, and the (inaudible) and
70 escalation would depend on when the money is being
71 spent, of course.

72 MS. GREENE, Q.C.: So with respect to both of those,
73 similar factors were applied to both fences, the
74 difference ... is there a difference between the two?

75 MR. HAYNES: The only difference ... there's no
76 difference in both, both use the same contingency, they
77 both use the overhead rate. The difference, the only
78 difference that was indicated was the service life or the
79 depreciation period, and that was based, of course, on
80 the depreciation policies approved by the Board.

81 MS. GREENE, Q.C.: And I just want to correct, sorry,
82 my reference. I said to page 40, but it was to page 41,
83 and the undertaking was at lines 48 to 54. The last one
84 now was an undertaking provided through the
85 evidence of Mr. Downton today, and it relates to the
86 policy with respect to disk storage expansion. Have
87 you had the opportunity to check that, Mr. Downton?

1 MR. DOWNTON: Yes, I have.

2 MS. GREENE, Q.C.: And could you please explain what
3 the policy is?

4 MR. DOWNTON: The policy that we use for the
5 increase in disk storage capacity is we will red flag
6 when the disk storage gets to 50 percent, and then
7 begin the planning sequence so that when it becomes
8 70 percent full, then we basically are able to upgrade
9 the disk. 70 percent is the industry standard number
10 that is used because beyond 70 percent full storage, the
11 computer will suffer from non-performance beyond 70
12 percent.

13 MS. GREENE, Q.C.: Thank you, that concludes the
14 outstanding issues as we have identified them from
15 reviewing the transcript and from keeping notes today.
16 Thank you.

17 MR. SAUNDERS, CHAIRMAN: Thank you, Ms.
18 Greene. That's all of this panel?

19 MS. GREENE, Q.C.: Yes, it is, thank you.

20 MR. SAUNDERS, CHAIRMAN: Thank you, Mr.
21 Haynes, Mr. Downton.

22 MR. DOWNTON: Thank you.

23 MS. GREENE, Q.C.: It will only take us a moment for
24 Mr. Haynes and Mr. Downton to vacate their seats for
25 the eagerly awaiting Mr. Reeves and Mr. Holden.

26 *(4:00 p.m.)*

27 MR. SAUNDERS, CHAIRMAN: Okay, Mr. Reeves, do
28 you want to take the Bible in your right hand please?
29 Do you swear that in the evidence you're about to give
30 you will tell the truth, the whole truth, and nothing but
31 the truth, so help you God?

32 MR. REEVES: I do.

33 MR. SAUNDERS, CHAIRMAN: Thank you, and Mr.
34 Holden, do you swear that in the evidence you are
35 about to give you will tell the truth, the whole truth, and
36 nothing but the truth, so help you God?

37 MR. HOLDEN: Yes, I do.

38 MR. SAUNDERS, CHAIRMAN: Thank you, have a
39 seat gentlemen.

40 MS. GREENE, Q.C.: Mr. Reeves, could you please state
41 your full name for the record please?

42 MR. REEVES: David William Reeves.

43 MS. GREENE, Q.C.: What is your current position with
44 Hydro?

45 MR. REEVES: I'm the Vice-President of Transmission
46 and Rural Operations.

47 MS. GREENE, Q.C.: How long have you been in that
48 position?

49 MR. REEVES: Over seven years.

50 MS. GREENE, Q.C.: How long have you been with
51 Hydro?

52 MR. REEVES: It's over 30 years. It's 30 years this June
53 past.

54 MS. GREENE, Q.C.: What positions in a very brief
55 overview have you held during the last 30 years?

56 MR. REEVES: I guess my career started basically after
57 my graduating, I spent two years, a graduate training
58 program, I went into hydro generation in Bay d'Espoir
59 where I worked for 11 years. I moved from there to
60 Churchill Falls in 1985, as the Vice-President of
61 Operations and Engineering. I came back to St. John's
62 in 1991 as the Vice-President of Engineering and
63 Corporate Services until seven years ago when I took
64 my current position.

65 MS. GREENE, Q.C.: What are the responsibilities of
66 your current position?

67 MR. REEVES: My current responsibilities are basically
68 responsible for the operations and engineering
69 associated with the transmission and rural operations
70 department which includes the transmission grid, the
71 distribution system, the stand-by generation, gas
72 turbines, and also the isolated systems, the 25 isolated
73 systems that we have. That includes the operation, as
74 I said, the operations and engineering. Also I have
75 responsible for the corporate, environmental and
76 property services as well, and they develop the

1 corporate policies and procedures which we bring
2 forward for adoption.

3 MS. GREENE, Q.C.: Now what was your involvement
4 in the 2003 capital budgets that are here from
5 transmission and rural operations?

6 MR. REEVES: My direct involvement is, well prior to
7 my direct involvement, I guess, the people in the field
8 in engineering and some projects in planning as well,
9 they develop the particular projects associated with the
10 TRO assets. They were developed and then I reviewed
11 those with the managers and directors in my section.
12 Following that I would have made presentations to
13 management for approval and answered their questions,
14 and also as management I would have participated, not
15 only in my sections, but the other sections of the
16 corporation to ensure that we had an adequate review
17 done. The projects that we reviewed, as we've heard
18 several times in the last couple of days, were basically
19 ranked on safety, environmental, reliability, and trying
20 to reduce our cost of providing service, reliable service
21 to our customers. Following this I assisted in the
22 information from the, which was prepared for the
23 application and also the RFIs which were responded to.

24 MS. GREENE, Q.C.: Once our budget is approved for
25 capital for 2003, what will be your role?

26 MR. REEVES: My role is to ensure that we complete
27 our capital budget as we have asked for it, and in a
28 timely fashion, and also within the dollars that we have
29 asked for.

30 MS. GREENE, Q.C.: Could you look please now on
31 page A-1 of the application? What are the headings on
32 page one for which you and Mr. Holden are speaking
33 today?

34 MR. REEVES: Yes, we are responding to the sections
35 on A-1 which is transmission and rural operations,
36 which is a little bit in excess of \$10 million, and also I
37 will be responding to the \$1.5 million under general
38 properties, which is vehicles, and there is also a couple
39 of other projects there which I will be responding to as
40 well under the general properties.

41 MS. GREENE, Q.C.: So if we look to page A-3 which is
42 the breakdown of general properties, could you indicate
43 what heading there you're speaking to that you just
44 talked about?

45 MR. REEVES: Under administrative, I will be
46 responding to those, \$1.8 million.

47 MS. GREENE, Q.C.: Mr. Holden, what is your current
48 position with Hydro?

49 MR. HOLDEN: I am currently the Director of the
50 Engineering Department in the Transmission and Rural
51 Operations Division.

52 MS. GREENE, Q.C.: How long have you been in the
53 engineering department within TRO?

54 MR. HOLDEN: I've been there since I started with
55 Hydro in 1981.

56 MS. GREENE, Q.C.: What are the responsibilities of
57 your current position?

58 MR. HOLDEN: The responsibilities of my current
59 position is to direct the efforts and the operations of
60 the engineering design group to the support of the
61 capital budget and to the general operation of the
62 (inaudible).

63 MS. GREENE, Q.C.: How is your involvement different
64 than Mr. Reeves' with respect to the capital budget
65 process that he just outlined?

66 MR. HOLDEN: In that the engineering department is
67 responsible to participate with the operations group
68 and the systems planning group in assembling the
69 budget proposals, providing the engineering input and
70 the engineering estimates and writing up the
71 explanations for budget proposals and on some
72 instances, originating budget proposals from within our
73 own department.

74 MS. GREENE, Q.C.: And once this budget is approved,
75 what will be your personal role?

76 MR. HOLDEN: Our personal role once the budget is
77 approved would be to undertake to project manage the
78 projects that are assigned to the engineering
79 department and also to assist the operations group in
80 the management and the execution of the projects that
81 are assigned to that group.

82 MS. GREENE, Q.C.: I'd like you now, Mr. Reeves, to
83 turn to page B-3, which lists the projects over \$50,000
84 in transmission and rural operations. Were the

1 explanations for each of these projects submitted with
2 the application prepared under your direction?

3 MR. REEVES: Yes, they were.

4 MS. GREENE, Q.C.: Are there any corrections that you
5 would like to make to any of those explanations at this
6 time?

7 MR. REEVES: Yes, there is two.

8 MS. GREENE, Q.C.: And what is the first one?

9 MR. REEVES: B-40, and Mr. Holden can go through
10 that particular one.

11 MS. GREENE, Q.C.: B-40, Mr. Holden, could you
12 indicate the change please?

13 MR. HOLDEN: On B-40, in the expenditures in the year
14 2003, you'll notice that there is no entry for the
15 engineering figure, and that's basically a typographical
16 error. The engineering costs there really should be
17 37.4, and the project management costs should be 3.8,
18 and there are no figures for inspection and
19 commissioning because in this particular case all the
20 inspection and commissioning would be part of the
21 labour estimate of 78.9.

22 MS. GREENE, Q.C.: So the bottom line total doesn't
23 change though, is that correct?

24 MR. HOLDEN: The bottom line total remains the same.

25 MS. GREENE, Q.C.: What is the second explanation
26 you would like to correct, Mr. Reeves?

27 MR. REEVES: B-124, and Mr. Holden can also do that
28 one as well?

29 MR. HOLDEN: On B-124, again, there's an edit for a
30 typographical error, the amount of 300,000 lineal meters
31 in the first line of the operating experience should read
32 300,000 square feet.

33 MS. GREENE, Q.C.: Subject to those two corrections,
34 do you accept the explanations that have been filed
35 with the application for the projects within transmission
36 and rural operations as your evidence for the purposes
37 of this hearing?

38 MR. REEVES: Yes.

39 MS. GREENE, Q.C.: Thank you, that concludes the
40 direct examination of the witnesses for this panel.

41 MR. SAUNDERS, CHAIRMAN: Thank you, Ms.
42 Greene.

43 MR. HUTCHINGS, Q.C.: Thank you, Mr. Chairman, Mr.
44 Reeves, a general question first. On the various
45 projects that are here, there are a fair number of them
46 that are qualified or classified in the fourth line at the
47 top, the classification being distribution.

48 MR. REEVES: Uh hum.

49 MR. HUTCHINGS, Q.C.: Do I assume correctly that all
50 of those projects would relate to rural operations?

51 MR. REEVES: That's correct, yeah.

52 MR. HUTCHINGS, Q.C.: Okay, so that's all things that
53 are consistently assigned to the rural side and wouldn't
54 affect other customers of Hydro, is that correct?

55 MR. REEVES: That's on page A-7 that you're referring
56 to?

57 MR. HUTCHINGS, Q.C.: Well, each of the project
58 explanations has a project title, a location, division and
59 classification.

60 MR. REEVES: Okay, yes, yes.

61 MR. HUTCHINGS, Q.C.: So classification, distribution,
62 is all rural operations.

63 MR. REEVES: That's right, yes.

64 MR. HUTCHINGS, Q.C.: It wouldn't be, have any
65 impact on the Industrial Customers.

66 MR. REEVES: All of our industrial customers that
67 you're associated with come off our main 230 kV grid,
68 the interconnected grid.

69 MR. HUTCHINGS, Q.C.: Yeah, okay, B-38 is the
70 upgrade to TL-214, and the study that relates to that is
71 in Section G at Tab 3. That's described there as the
72 radial line serving Newfoundland Power customers from
73 Doyles to Port Aux Basques, but that is part of the grid
74 as far as you're concerned?

1 MR. REEVES: That's what we call the, the
2 interconnected grid, yes.

3 MR. HUTCHINGS, Q.C.: Yes, okay, you've provided
4 the SAIDI and SAIFI results in the summary on the
5 study that was done and pointed out that they're not in
6 the acceptable range. Do you have anticipated SAIDI
7 and SAIFI results for this line when it's upgraded?

8 MR. REEVES: That's a difficult thing to do because
9 while we can look back in history and see what was
10 attributed to a particular event like a wind storm, a salt
11 storm, or the like. Predicting in the future as to exactly
12 what we will be able to achieve from these savings is
13 very difficult to do and I guess we'd be a bit a reluctant
14 to do that because the tendency would be there that
15 you would look at the SAIDI and SAIFI before you did
16 the upgrade and then look at them after the upgrade,
17 but there could be a number of other factors that could
18 cause outages, so you can't do a direct comparison, so
19 it's difficult to do.

20 MR. HUTCHINGS, Q.C.: Presumably the ...

21 MR. REEVES: We can only look in history as to what
22 it's cost.

23 MR. HUTCHINGS, Q.C.: Yeah, presumably the upgrade
24 is engineered with a view to producing satisfactory
25 SAIDI and SAIFI results.

26 MR. REEVES: Lowering the SAIFI and SAIDI
27 associated with those particular events.

28 MR. HUTCHINGS, Q.C.: Uh hum, okay, if we can look
29 briefly at B-42, this is upgrading of protection and
30 includes the process of microprocessor based relays
31 and associated equipment and so on, and part of your
32 description here, I think, refers to the fact that this is
33 part of an ongoing initiative to improve protection of
34 the system on the bulk transmission system. Is, how
35 big a plan is this overall, I mean how many of these
36 relays are anticipated to be actually replaced in the big
37 plan?

38 MR. HOLDEN: We don't have the exact number of
39 relays but we do have various transmission lines that
40 we've prioritized over the next few years that we have an
41 intention to upgrade the protection systems on. As to
42 the exact number of relays, I don't have that
43 information.

44 MR. HUTCHINGS, Q.C.: Okay, how many, do you
45 know how many relays we're dealing with in this
46 project?

47 MR. HOLDEN: Well, there's one per line.

48 MR. HUTCHINGS, Q.C.: Okay, and we're dealing with
49 four lines here.

50 MR. HOLDEN: Yeah.

51 MR. HUTCHINGS, Q.C.: Okay, and are we basically
52 looking at one on all of the existing 138 kV lines, and a
53 few others at some point?

54 MR. HOLDEN: Sorry?

55 MR. HUTCHINGS, Q.C.: In the future at some point are
56 we looking at replacing one of these relays on all of the
57 existing ...

58 MR. HOLDEN: Yes, yes, what it is is the protection
59 relay for the transmission line.

60 MR. HUTCHINGS, Q.C.: Right.

61 MR. HOLDEN: To replace the old electromagnetic
62 relays, and basically what you're talking about is one
63 relay per line.

64 MR. HUTCHINGS, Q.C.: Uh hum.

65 MR. HOLDEN: One relay per end of each line, because
66 you look from both directions.

67 MR. HUTCHINGS, Q.C.: Right, okay, so it's an ongoing
68 initiative, you say, I mean how many years has this
69 been ongoing now?

70 MR. HOLDEN: I think this is the first year, and we're
71 trying to work our way out from the 230 kV system out
72 onto the 138, and we have lines in our lines prioritized for
73 the next four years.

74 MR. HUTCHINGS, Q.C.: Okay, and so we can expect a
75 roughly similar amount in each of the next four years?

76 MR. HOLDEN: That's right.

77 MR. HUTCHINGS, Q.C.: Yeah, okay, if we can look at
78 B-46 for a moment, that's the Long Harbour terminal
79 station, this is to provide station service at this terminal

1 station, which is apparently now using what's called the
2 customer's facility, what customer are you talking about
3 here?

4 MR. HOLDEN: The customer here right now is the
5 Long Harbour Alliance.

6 MR. HUTCHINGS, Q.C.: Okay, so they have taken over
7 the equipment which included the old ERCO system, is
8 that the idea?

9 MR. HOLDEN: That's correct.

10 MR. HUTCHINGS, Q.C.: I mean has there been a
11 problem with accessing that customer's facility?

12 MR. HOLDEN: There is a problem in the sense that the
13 equipment is not maintained to the same degree that it
14 was when industrial operation was in force there, and it
15 becomes a problem for our staff in going into that
16 facility and finding their way around and trying to find
17 out what the trouble is and why the station service
18 supply has been interrupted, so what we need here is a
19 supply integral to our own station.

20 MR. HUTCHINGS, Q.C.: And who else does that
21 station serve aside from this customer?

22 MR. HOLDEN: The only purpose for this station now
23 is to serve that general service customer and also to
24 operate our capacitor bank which is located in that
25 station.

26 MR. HUTCHINGS, Q.C.: Okay, has there been any
27 discussion of downloading that customer, if you will, to
28 Newfoundland Power or ...

29 MR. HOLDEN: Yes, we have looked into that to see if
30 that was possible, the costs to service that customer
31 from Newfoundland Power are not justified from the
32 point of view of how much it would cost to extend the
33 Newfoundland Power system down to pick up that
34 customer.

35 MR. HUTCHINGS, Q.C.: Have you discussed the
36 possibility of specifically assigning that facility to that
37 customer?

38 MR. HOLDEN: Can you answer that question?

39 MR. REEVES: Well, that is a difficult question to
40 answer and it's not directly in my field, but my

41 understanding that has been looked at and as Mr.
42 Holden has said, the main purpose of that terminal
43 station there right now is for our voltage control on the
44 east coast, and we need that capacitor bank that's in
45 service there, so we need that.

46 MS. GREENE, Q.C.: At the risk of not giving evidence,
47 the capacitor bank is a common asset required for the
48 common grid, I don't know if that's helpful.

49 MR. HUTCHINGS, Q.C.: I think we had that debate in
50 the previous hearing.

51 MS. GREENE, Q.C.: And that was the outcome.

52 MR. HUTCHINGS, Q.C.: It may need to get revisited in
53 light of further investment. I take it this investment is
54 not going to do anything for the capacitor bank, is it?

55 MR. REEVES: It provides a service to the station
56 service which, so this capacitor bank requires to remain
57 in service.

58 MR. HUTCHINGS, Q.C.: Okay, but ...

59 MR. REEVES: We use this to operate the capacitor
60 bank.

61 MR. HUTCHINGS, Q.C.: Uh hum, yeah, the station
62 service is being provided now, it's just not convenient.

63 MR. REEVES: It's not that it's not convenient, as Mr.
64 Holden said, if we lose the station service in the middle
65 of the night, there's nobody working at the facility of
66 our customer down there, so we would have to go in
67 there ourselves and that delays us getting that
68 capacitor bank in service, and we will probably be into
69 voltage problems on the east coast.

70 MR. HUTCHINGS, Q.C.: Is the customer not prepared
71 to cooperate with you in facilitating that access when
72 necessary?

73 MR. REEVES: That facility that was there, okay, is
74 much, I guess the use of that facility now is much less
75 than what it was at one point in time.

76 MR. HUTCHINGS, Q.C.: Yes, okay.

77 MR. REEVES: And I guess they're reluctant to invest
78 the dollars that would be required to provide us with a
79 reliable service for that station service.

1 MR. HUTCHINGS, Q.C.: If we can look please to B-48,
2 this is installation of motor drive mechanisms on 10
3 disconnect switches at the Sunnyside terminal station
4 and it seems to have a safety implication. Again, is this
5 one of many, or ten of many switches in a similar
6 situation or is this a one time project?

7 MR. REEVES: This is the first of two or three years
8 worth of work which we intend to propose for following
9 years and right now the switch is in Sunnyside and we
10 have in our minds to motorize, to put motors on
11 switches in other stations next year and then the year
12 after providing we get approval.

13 MR. HUTCHINGS, Q.C.: You've put this forward as a
14 single capital project with no plan for future, other ...
15 each one will be a separate project when you do each
16 station, is that what you're considering?

17 MR. REEVES: That's right, they're all individually
18 discrete. Sunnyside here is addressed in this proposal
19 and there will be other stations addressed in other
20 proposals.

21 MR. HUTCHINGS, Q.C.: How many switches in all do
22 you anticipate before you're finished?

23 MR. REEVES: I can't give you the exact number. I can
24 give you an approximation.

25 MR. HUTCHINGS, Q.C.: Sure.

26 MR. REEVES: Probably about another eight or ten
27 switches in the following years in other stations.

28 MR. HUTCHINGS, Q.C.: Yes, eight or ten per year?

29 MR. REEVES: Pardon me? No, eight or ten in total.

30 MR. HUTCHINGS, Q.C.: Switches?

31 MR. REEVES: Yes.

32 MR. HUTCHINGS, Q.C.: Okay, because there's ten in
33 this one.

34 MR. REEVES: There's ten in this one, this is the
35 biggest station.

36 MR. HUTCHINGS, Q.C.: Okay, so there's only another
37 eight or ten in total which might be another \$200,000
38 over the next four or five years.

39 MR. REEVES: Whatever that cost comes out to be
40 estimated at.

41 MR. HUTCHINGS, Q.C.: Yeah, okay, alright, B-122,
42 these are Mr. Reeves' vehicles. I guess the criteria are
43 pretty well all laid out there and my question is is this
44 essentially what we can anticipate as an annual amount,
45 somewhere between \$1.2 and \$1.6 million for
46 replacement of vehicles on an ongoing basis?

47 MR. REEVES: For these types of vehicles, that's a
48 rough estimation, yes, it might be up or down in one
49 year, but not by a substantial amount.

50 MR. HUTCHINGS, Q.C.: Have you done, has there
51 been any outside study of the requirement for vehicles
52 at all, I mean ... and the utilization of vehicles, any
53 studies done to ensure that all these vehicles are
54 necessary?

55 MR. REEVES: Did you say outside study?

56 MR. HUTCHINGS, Q.C.: Yeah.

57 MR. REEVES: No, I guess what we have looked at
58 inhouse as best we can, but our workforce is not
59 decreasing to the stage that we can eliminate a lot of
60 vehicles and most of these vehicles are associated with
61 line crews, mechanics, electricians, supervisory
62 personnel, both from TRO and generation, they have
63 mechanics as well in remote plants, so unless you
64 actually can divide the facilities, then there's going to
65 be a requirement of these vehicles.

66 MR. HUTCHINGS, Q.C.: There are a number of
67 projects, and B-50 and 52 are examples of them, which
68 are referred to as annual allotments. In the absence of
69 anything to the contrary we can assume that, you
70 know, these sorts of numbers for each of these are
71 going to be recurring year or year?

72 MR. REEVES: That's correct, and we've been
73 presenting those to the Board for a number of years
74 now because we have a number of concerns there and
75 we need to address those as they come up. It's a
76 problem (inaudible) and the instrumentation, instrument
77 transformers.

78 MR. HUTCHINGS, Q.C.: And I take it there is a policy
79 with respect, for instance, to instrument transformers
80 that at a certain point they come up the line for
81 replacement?

1 MR. REEVES: Not so much those, the instrument
2 transformers, there is a test that we can do on them, like
3 we can test the secondary voltage (*phonetic*) and that,
4 and we can determine if there is some sign that they will
5 be in imminent failure. Other times they just fail in
6 service. The lightning arresters is more, I guess,
7 associated with your comment, is that we have typically
8 been replacing those as they fail, but from working with
9 other utilities and that, we, and the manufacturers, I
10 guess there's a shorter failure rate, or shorter life than
11 we anticipated so we may be starting to replace some of
12 those before they actually fail.

13 MR. HUTCHINGS, Q.C.: Okay, alright, thank you,
14 gentlemen, those are all the questions I have, Mr. Chair.

15 MR. SAUNDERS, CHAIRMAN: Thank you, Mr.
16 Hutchings. Ms. Newman?

17 MS. NEWMAN: I have four or so questions. The first
18 one is, I wonder if you could confirm for me, I've asked
19 this question of the earlier panel and I do want you to
20 confirm for me that Hydro is seeking approval of
21 projects for 2003 only for those allotments in the project
22 costs that are in the category of 2003, and that Hydro
23 will come back and approve, seek approval for those
24 portions of these projects that relate to future years.

25 MR. REEVES: That's correct, yes.

26 MS. NEWMAN: Okay, I wonder if you could take a
27 moment and take us through, I don't know which of you
28 would be better to do this, an explanation of the
29 demand side management analysis that's here in a
30 couple of these items. I'm looking to page B-73, there's
31 several others, B-72, B-80, B-81, I'm just looking for a
32 little explanation as to what this all means, so we can
33 start with B-72 perhaps?

34 MR. REEVES: If you wouldn't mind, probably B-87.

35 MS. NEWMAN: B-87 is the best?

36 MR. REEVES: It's one that I went through personally
37 and to be sure I understood, and I should say right
38 from the outset here is that these were done by another
39 section under Mr. Haynes' direction, actually in the
40 planning section but I'm quite prepared to answer those
41 questions as best I can.

42 MS. NEWMAN: Okay.

43 MR. REEVES: If you look at the fuel storage which is
44 the one for Postville, where we know that we have a
45 requirement because of load growth that we're going to
46 need more storage, okay, and what we're saying, about
47 halfway down through the page here, that our criteria
48 for Postville is that we need to have nine months
49 storage available in the winter so that in the eventuality
50 of a late spring, then we've got enough storage to get
51 us through the period of time. Right now, and that's
52 what is being forecasted for 2003/2004, our nine month
53 fuel storage capacity currently is 1,055, so as you can
54 see we have a deficit there of a 123, okay, which is
55 outlined in the first year, under required energy savings
56 for capital deferral, so what we ... under the demand
57 side management, we would have to save 123 megawatt
58 hours in order to defer this project. The cost of the
59 project is \$77,700. Our economic analysis people, they
60 determine and have come up with a factor of what we
61 can spend of that capital dollars to defer it by one year,
62 it's 4.5 percent. If we can defer it by two years we can
63 spend 8.8 percent of the capital project and so on, 12.9
64 and so on. So we go to the calculation and you see
65 that if we use what is readily available, which is
66 domestic hot water retrofitting, or compact florescent
67 lighting, then you go down and you see that even
68 inputting those into the community of Postville, we are
69 going to be shy by 109 megawatt hours of what we had
70 to save. We wanted to achieve 123 savings, okay, we
71 are only able to save 13.1 megawatt hours, so therefore
72 we're shy by 109, so we will, if we only did demand side
73 management in this location, we would not have
74 enough fuel to have our nine month criteria met, so that
75 means that we cannot go with demand side
76 management in this particular location, and if you'll note
77 in year two and in year three, we have similar
78 deficiencies, so that's my understanding of how this
79 should work. Did that explain for you what ...

80 MS. NEWMAN: Yes, yeah.

81 MR. REEVES: Did that answer your question?

82 MS. NEWMAN: So then you take that negative
83 position and you say, well demand side management is
84 not an effective approach to ...

85 MR. REEVES: If that number had come up positively,
86 we could have done demand side management and we
87 could have delayed it. Demand side management is
88 normally not a replacement, it's only a delay.

1 MS. NEWMAN: And you mentioned that you were
2 having load growth in Postville, what's the explanation
3 for that?

4 MR. REEVES: There is a load forecast there if I'm not
5 mistaken. It would just be, I guess, normal load growth
6 in that community because of, more than likely it's tied
7 to the fishery or whatever type thing, you know.

8 MS. NEWMAN: So you don't have the specifics on
9 that?

10 MR. REEVES: No, I don't have the specifics either, I
11 don't think it's stated here.

12 MS. NEWMAN: Can I refer you to B-122 and IC-9.

13 MR. REEVES: IC-9?

14 MS. NEWMAN: Okay, the question in IC-9 was to do
15 with the number of years over which the vehicles were
16 depreciated, and I wonder if the answer, it seems to me
17 that the answer is inconsistent with what you'd find on
18 B-122, and I wonder if you can explain if it is
19 inconsistent, and if not, then what the distinction is.

20 MR. REEVES: Just on ...

21 MS. NEWMAN: It says that all cars, vans, medium,
22 and heavy trucks are depreciated on a straight line
23 basis over five years.

24 MR. REEVES: Did you say PUB-9, or IC-9, I'm sorry.

25 MS. NEWMAN: IC-9, yeah.

26 MR. REEVES: These are depreciated, you're saying,
27 over five years, all cars, vans, and medium trucks,
28 straight line over five years, that's correct, and we have
29 a five to a seven year service life, is that what you're
30 referring to?

31 MS. NEWMAN: Yeah, I'm looking at the chart where it
32 says medium and heavy trucks are seven to nine years.

33 MR. REEVES: Yes.

34 MS. NEWMAN: Is that a different standard we're ...

35 MR. REEVES: My understanding is that as Mr. Roberts
36 on the stand last year gave evidence on how our
37 economic and service life was reviewed, and there was
38 changes made for the cars and pick-ups and that, and
39 light trucks, but there was no change made to the
40 heavy trucks, even though they do have a longer
41 service life, so they are still written off, as I understand
42 it, for the shorter period of time.

43 MS. NEWMAN: So the medium and heavy trucks are
44 for five years?

45 MR. REEVES: Economically, yes, written off, yes, even
46 though they have a service life of seven to nine.

47 MS. NEWMAN: And I wonder if you could explain,
48 this is my last question for this panel, I wonder if you
49 could explain the procurement process for vehicles?
50 How do you go about purchasing the vehicles, do you
51 put them out to tender or ...

52 MR. REEVES: We put them to tender and we accept
53 bids, do the evaluation, and you'll also notice that we
54 also, starting this year, we also go out and ask for the
55 people to bid on leasing as well as purchase, and we do
56 an evaluation and this past year we purchased all our
57 vehicles as the comparison came in in favour of
58 purchase.

59 MS. NEWMAN: That's all the questions I have, Mr.
60 Chair.

61 MR. SAUNDERS, CHAIRMAN: Thank you, Ms.
62 Newman. I think last time we went out of sequence
63 here a little. Do you have any redirect?

64 MS. GREENE, Q.C.: No, I have no redirect, Mr. Chair.

65 MR. SAUNDERS, CHAIRMAN: Okay, Mr. Powell, or
66 Commissioner Powell?

67 COMMISSIONER POWELL: I don't have a lot, just a
68 couple of notes. Just on B-44, replacing 125 volt
69 battery banks in the frequency converter, which brings
70 back memories, is that a specific cost assigned to
71 Krueger (*phonetic*), as it relates to that issue ... I can't
72 remember ...

73 MR. REEVES: My understanding that right now, you're
74 really calling on my memory right now, but all the costs
75 associated with the frequency converters will be
76 specifically assigned, either directly or indirectly in their
77 rate. I really can't respond to that, but they are
78 specifically assigned, yes.

1 COMMISSIONER POWELL: So when you do a project
2 like that and you have a specific customer doing it, do
3 you sit down in conjunction with them or do you just ...

4 MR. REEVES: Not always, it depends. Sometimes we
5 do it and more times we don't. If it's a straightforward
6 issue that we, it requires to replace, then we not always
7 do, but I guess because of discussions that we've had
8 last year at the rate hearing, we are going to be, I guess,
9 talking more closely with the people who own the mill
10 out there in regard to the specifically assigned charges,
11 and as you'll remember, we recently had a transformer
12 fail out there and we were extensively talking to them
13 about it at that point of time.

14 COMMISSIONER POWELL: B-46, the Long Harbour
15 terminal station, the note that I made when I was going
16 through it, and talking about the inconvenience and it's
17 \$83,000, and you mentioned that you've had
18 discussions with, from a costing point of view, and how
19 long, I mean how much inconvenience do you have
20 that you can run up \$83,000, I mean in terms of
21 recovering this?

22 MR. REEVES: It's no so much of an inconvenience, it's
23 just that if we lose say the, our station service say at
24 10:00 at night, and we require the capacitor to be in
25 service for voltage support, and we can't get a hold of
26 somebody from their end until, say 8:00 the next
27 morning, and then they may have to go looking for
28 people that they don't have on staff ... they have a very
29 minimum staff there, maintenance staff, so we could be,
30 you know, a long period of time, in our opinion, trying
31 to get our station service back to get our capacitor
32 banks stabilized.

33 COMMISSIONER POWELL: Just to access the
34 building, getting it back is not a big problem, it's just
35 access.

36 MR. REEVES: Accessing the building, now there's
37 been some suggestions that we actually go in there
38 with our staff and actually do the maintenance, and
39 that, to me, is risky as well. Our people are not familiar
40 with their site, and as Mr. Holden has said, their site is
41 deteriorating because there's not a requirement to keep
42 it up, you know, so this is where we find ourselves right
43 now, and we feel the best thing to do to ensure our
44 reliability is to have our own station service.

45 COMMISSIONER POWELL: B-48, putting motorized ...
46 is there any labour savings associated to this project,
47 or is this strictly a safety ...

48 MR. REEVES: This is strictly safety.

49 COMMISSIONER POWELL: Strictly a safety thing,
50 there's no significant labour saving by putting,
51 motorizing ...

52 MR. HOLDEN: No, the point here is that in order to
53 operate these switches now, they're manually operated
54 disconnects, and in order to operate them now, you
55 have to get in under the switch and operate the handle,
56 and that presents or creates a safety hazard for the man
57 who's doing it, and with the motor operator on the
58 switch, the man can be removed from the disconnect
59 inside the control building, open and close the
60 disconnect, without being exposed to that safety
61 hazard.

62 COMMISSIONER POWELL: B-43, replacing the digital
63 fault recorders at Holyrood, you say there's 32 of them,
64 and they're only 11 years old and the technology is
65 outdated, you're going to spend \$75,000. Is this one of
66 those things that you can get into a contract with
67 somebody and lease them for five years and then they
68 get replaced as opposed to ... is that an option or is that
69 a ...

70 MR. HOLDEN: That's not an option here. This is a
71 specific piece of equipment that's tied into the
72 protection control system in Holyrood terminal station,
73 and it will record events and faults at that station. It's
74 specific to the utility industry. It's not something that
75 you could lease, and it provides then for us a remote
76 indication, a remote interrogation flexibility so we can
77 respond better to faults and troubles in that station and
78 correct the troubles.

79 COMMISSIONER POWELL: I was struck by the fact
80 that it's only 11 years old and it appears it hasn't worn
81 out, it's just the technology dated it and ...

82 MR. HOLDEN: Yeah, it's just not working the way it's
83 supposed to work, and it's outdated, it can't be remotely
84 interrogated.

85 (4:30 p.m.)

86 COMMISSIONER POWELL: Yeah, and B-54, on the
87 transmission and rural operations, you said an annual

1 allotment based on past expenditures to new customers
2 in the various components of your rural system, and
3 you're using historical dollars. Listening to the media
4 is that there ain't any new customers out in rural
5 Newfoundland so if you go on the historical data you're
6 going to be overstating. How do you rationalize that
7 with this?

8 MR. REEVES: You are right, and that's what you will
9 hear in the media, but in some of our communities, and
10 some of them are actually isolated communities, that I
11 guess because of the fish industry and the catch that
12 they're currently at, we are having load growth in some
13 of our communities, and there are, we are finding that
14 we are having, you know, new customers all the time,
15 and what we find is that in, as a for instance, in
16 Labrador, where there's the prospects of Voisey Bay,
17 that's causing us load growth in Happy Valley-Goose
18 Bay, so while we may not have the dollars right as to
19 where they're going to be spent, typically we've been
20 not too far off. If anything, we've probably
21 underestimated the last couple of years for load growth,
22 which is surprising and I agree with your comment.

23 COMMISSIONER POWELL: Yes, okay, that's all the
24 questions I have, Mr. Chairman.

25 MR. SAUNDERS, CHAIRMAN: Thank you,
26 Commissioner Powell. Commissioner Martin?

27 MR. MARTIN, Q.C.: Just one or two that may have
28 been answered by now, I don't know. I've got a
29 question on B-59 and B-64, the ... I was wondering if
30 there was any duplication there on the lines L-1, as
31 referred to in both places.

32 MR. REEVES: B-59 is work on L-1 in the St. Anthony
33 distribution system, and B-64 is work on L-3.

34 MR. MARTIN, Q.C.: Alright, they're different lines.

35 MR. REEVES: Pardon me? They're different lines, yes.

36 MR. MARTIN, Q.C.: Okay, and B-64, again, I don't
37 know if my figures are correct, but it looks like each
38 pole costs \$5,071 for, I think it was a total of 168 poles.

39 MR. REEVES: That's correct.

40 MR. MARTIN, Q.C.: I mean I don't know if that's an
41 unreasonable figure or not, but it seems to be expensive
42 per pole, I think the costs works out to \$5,071.

43 MR. REEVES: Yeah, well you have to purchase the
44 pole, you have ... you know, and these will be done
45 under contract, so we go to contract for it and get the
46 lowest price for contracting. What may be driving this
47 up, what you're thinking about is that these poles
48 would not, say, be all in the one location, they're in
49 different locations, so there are probably a little higher
50 mobilization costs associated, where if you were doing
51 a line, the costs may be down per pole.

52 COMMISSIONER POWELL: Do you put up the pole
53 and wire it? My understanding from the Power
54 contract, the actual putting the pole up, and they just
55 take over once the pole ...

56 MR. REEVES: We do it somewhat different than
57 Newfoundland Power. What we typically do is that,
58 like in one of them here you'll see distribution upgrades
59 and there's poles to be replaced on the distribution
60 upgrade, there's a sporadic pole here and there. We will
61 get our crews to do that, they're in there doing
62 inspections and they'll continue on with the installation
63 of the pole, and they'll install the pole, they'll adjust the
64 pole, they'll put the wire on it and they'll do everything.
65 When we do pole replacement, like on B-64, we will
66 contract out all that job ... the placement of the pole, we
67 will supply the pole because we have better prices for
68 poles, but we will expect the contractor to put the pole
69 in, dress the pole, and put it in service, and all we'll do
70 basically is the inspection to see if they performed it.
71 Newfoundland Power, as you stated, I think they have
72 a contractor to put in all of their poles, and then they do
73 all the dressing and energizing themselves, so it's a little
74 different way that we do it, that's all.

75 COMMISSIONER POWELL: So a significant portion of
76 labour in that is external.

77 MR. REEVES: This would be an external contractor
78 doing this, yes.

79 COMMISSIONER POWELL: And the 95 is your
80 internal inspection, is it?

81 MR. REEVES: That would be our inspection, isolation
82 ... we would have to do some isolations and whatnot to
83 allow our contractors to work on that.

84 COMMISSIONER POWELL: Sorry about that, Mr.
85 Martin.

1 MR. MARTIN, Q.C.: A-2 and A-7, tools and equipment
2 under general, \$850,000. At A-7, under tools and
3 equipment, purchase and replace tools and equipment
4 less than \$50,000, \$306,000. Replace light duty mobile
5 equipment less than \$50,000, \$544,000, for a total of
6 \$850,000. There's nothing indicated for future years,
7 and I was just wondering what was included with those
8 two items, and specifically with the mobile equipment,
9 is there any double counting there with vehicles?

10 MR. REEVES: No, there's not, no. Basically the
11 \$306,000, I think you asked about that one as well, is
12 that that would be ongoing tools that we would have to
13 replace. I think you stated with Mr. Haynes and his
14 panel, is that most of our tools will be bought, but there
15 is breakage, like line tools for our line workers and the
16 like, mechanical, (inaudible) break and that, so this
17 would be the replacement of our tools for our
18 workforce. Under the \$544,000, light duty mobile
19 equipment, that basically covers snow machines, ATVs,
20 unfortunately in the business we're in, we can't buy one
21 piece of equipment to transport our line workers over
22 the lines, so we have to have skidoos and ATVs for
23 them. Pole trailers, skidoo trailers, equipment for
24 transporting our ... equipment transport trailers,
25 backhoe attachments for one of our pieces of
26 equipment, and state body for one of our line trucks, so
27 no, there would be no double counting in here, and
28 each of those would have different service lives.

29 MR. MARTIN, Q.C.: I didn't look at last year's budget,
30 but I was wondering if that is an annual thing. Is that
31 an average figure that we can expect to appear in the
32 capital budget every year?

33 MR. REEVES: I would say you will see something there
34 every year. It will probably vary up and down
35 depending on the particular year as to the age of the
36 equipment and that, but you will typically see numbers
37 in there, yes, and this would be right across the
38 province, you know, including Labrador and right from
39 east to west and up the Northern Peninsula, so that's
40 for all of our workers.

41 MR. MARTIN, Q.C.: Alright, that's ...

42 MR. SAUNDERS, CHAIRMAN: Thank you,
43 Commissioner Martin. I just have a couple of
44 questions. What is the, what's the status of the
45 replacement of the Holyrood sewage (*phonetic*)
46 system? I came across that somewhere in here, and ...

47 MR. REEVES: Yes, and Mr. Haynes would have been
48 the ...

49 MR. SAUNDERS, CHAIRMAN: He's the man.

50 MR. REEVES: He's the man.

51 MR. SAUNDERS, CHAIRMAN: I missed it.

52 MR. REEVES: I wish I knew the answer.

53 MS. GREENE, Q.C.: That was one that we asked for for
54 separate approval.

55 MR. SAUNDERS, CHAIRMAN: Was it?

56 MS. GREENE, Q.C.: Yeah, after ...

57 MR. SAUNDERS, CHAIRMAN: I had a note here at
58 the end and I wondered where it came from, but I ...

59 MS. GREENE, Q.C.: It is on schedule, and it is on
60 budget, and there was a separate ...

61 MR. SAUNDERS, CHAIRMAN: Yes, it's on Section F.

62 MS. GREENE, Q.C.: Yes, it would have been there
63 showing up as an addition to the capital budget for
64 2002 that we approved, so it is, you're right, it is in that
65 report because it was an addition to the 2002 capital
66 budget after the conclusion of the general rate hearing.

67 MR. SAUNDERS, CHAIRMAN: Right, right. Harbour
68 Deep, is that a bad word to bring up?

69 MS. GREENE, Q.C.: We're hoping for news from the
70 Board soon.

71 MR. SAUNDERS, CHAIRMAN: What's the intention
72 with respect to the unit coming out of there? I think I
73 saw something that you were going to reassign it
74 somewhere?

75 MR. REEVES: That's correct, yes, as you would also
76 know, we had a fire a Rencountre East.

77 MR. SAUNDERS, CHAIRMAN: Yes, Rencontre East.

78 MR. REEVES: Okay, and we were dealing with the
79 immediate problem of trying to get through this winter.
80 We have power in there right now, and but we feel for
81 our criteria for meeting the loss of the largest unit, we

1 need an additional unit there, and that's one that we're
2 anticipating to bring in from Rencountre East. In
3 Harbour Deep, there were four units. It had a peak at
4 probably around 300 kilowatts. We were able to meet
5 that with our four units and be able to stand the loss of
6 our largest unit. The load in there now is probably
7 down to 30 kilowatts from the 300. A couple of weeks
8 ago it was probably 50, so we feel that our service that
9 we are providing in Harbour Deep, until we get the
10 order from the Board here, is not jeopardized at all by
11 taking out one unit, and that's what we're currently in
12 the process of doing.

13 MR. SAUNDERS, CHAIRMAN: Okay, just two other
14 updates. I didn't see any reference in your capital
15 budget for 2003 to anything to do with wind generation.
16 There was a project that was commissioned, I don't
17 know if it was commissioned by Hydro, I don't recall
18 now, but there was some experiment being done on the
19 Bonavista Peninsula somewhere.

20 MS. GREENE, Q.C.: Yes, Mr. Chairman.

21 MR. SAUNDERS, CHAIRMAN: Bonavista North
22 maybe.

23 MS. GREENE, Q.C.: We did, and it was included, there
24 was evidence during the general rate application with
25 respect to that. Mr. Haynes would be able to speak to
26 that. We, as management, have not actually received
27 the evaluation from our system planning department
28 with respect to their recommendation.

29 *(4:45 p.m.)*

30 MR. SAUNDERS, CHAIRMAN: Okay, that's really all
31 I wanted to know, as to where it was, yeah, that's good.

32 MS. GREENE, Q.C.: My understanding is it will be
33 coming to management before Christmas.

34 MR. HAYNES: Next week hopefully, Mr. Chairman.

35 MR. SAUNDERS, CHAIRMAN: And I think the other
36 one was answered. That's all I have, so where are we in
37 respect of final submissions?

38 MS. NEWMAN: Well, Mr. Chair, I would propose that
39 we come back on Monday morning at 9:30. I
40 understand that Ms. Greene would go first, followed by
41 Ms. Henley Andrews. I do not propose to make
42 closing submissions, so then there would be reply from

43 Ms. Greene. I expect we could easily tidy that up in the
44 morning.

45 MR. SAUNDERS, CHAIRMAN: So Monday morning
46 at 9:30 is fine with both parties?

47 MS. GREENE, Q.C.: Just a question for clarification, are
48 there any time limits with respect to the length of
49 argument, as there were, there usually is previously?

50 MS. HENLEY ANDREWS: I don't expect that it will be
51 necessary because I don't expect the argument will be
52 that long anyway.

53 MR. SAUNDERS, CHAIRMAN: I'm sure we can clue it
54 up in the morning, can't we?

55 MS. HENLEY ANDREWS: Yeah, we can. The only
56 possibility that I just want to put out now is that Mr.
57 Hutchings is trying to rearrange his schedule. He can
58 definitely be available on Monday morning, but there is
59 a possibility, depending on the flights, that he may ask
60 to start a little later than 9:30, and I just want to put that
61 out there now and we'll let the Board know if we're
62 going to make that specific request.

63 MR. SAUNDERS, CHAIRMAN: Yeah, we have two of
64 our commissioners coming in from the west coast as
65 well, so ...

66 MS. HENLEY ANDREWS: Yeah, he's hoping to avoid
67 having to come in and spend Sunday night.

68 MR. SAUNDERS, CHAIRMAN: Oh, I see. Okay, well
69 then we'll proceed as if 9:30 on Monday morning is the
70 commencement time and date.

71 MS. NEWMAN: Mr. Chairman, before you close, I just
72 wanted to clarify that we will not have overnight
73 transcription service for the transcript and it will be
74 available Friday, we hope, is that okay?

75 MS. GREENE, Q.C.: Friday, this is Tuesday?

76 MS. HENLEY ANDREWS: Yeah, I'd like to have it by
77 Thursday so that we can use it for preparing our
78 argument.

79 MS. GREENE, Q.C.: It will be required for preparation
80 for argument so ...

1 MS. NEWMAN: We'll do our best to get it to the
2 parties by Thursday.

3 MR. SAUNDERS, CHAIRMAN: Thank you, Mr.
4 Holden, Mr. Reeves.

5 MS. GREENE, Q.C.: Thank you very much for agreeing
6 to sit late, to the Board and the parties.

7 MR. SAUNDERS, CHAIRMAN: Thank you. Thank
8 you, Mr. Osmond. Good luck in your retirement.

9 *(hearing adjourned to November 4, 2002)*