

Page 1	Page 2
<p>1 (9:19 a.m.)</p> <p>2 CHAIRMAN:</p> <p>3 Q. Good morning everybody, I apologize for the</p> <p>4 delay. We have no real control over traffic</p> <p>5 accidents on the Outer Ring Road. Good</p> <p>6 morning, Ms. Newman, are there any matters</p> <p>7 before we begin?</p> <p>8 MS. NEWMAN:</p> <p>9 Q. Good morning, Chair. Yes, I believe that</p> <p>10 counsel for Newfoundland and Labrador Hydro</p> <p>11 has one undertaking they'd like to speak to.</p> <p>12 MR. YOUNG:</p> <p>13 Q. Yes, we've circulated to the parties, Mr.</p> <p>14 Chair, and provided copies to the Board</p> <p>15 Secretary. It's in response to an undertaking</p> <p>16 that came up with Ms. McShane, it's a very</p> <p>17 straight forward matter, beta was asked about</p> <p>18 a particular company that was in her data.</p> <p>19 That's all, thanks.</p> <p>20 CHAIRMAN:</p> <p>21 Q. Thank you very much, Mr. Young. Good morning,</p> <p>22 Mr. Kelly. Could you introduce your</p> <p>23 witnesses, please?</p> <p>24 KELLY, Q.C.:</p> <p>25 Q. Yes, good morning, Chair, thank you. The</p>	<p>1 witnesses this morning are Mr. Barry Perry and</p> <p>2 Mr. Lorne Henderson of Newfoundland Power.</p> <p>3 Mr. Perry is Vice-President Finance and Chief</p> <p>4 Financial Office of Newfoundland Power and Mr.</p> <p>5 Henderson is the Superintendent Rates and</p> <p>6 Operations. If the witnesses can be sworn.</p> <p>7 CHAIRMAN:</p> <p>8 Q. Thank you very much. Good morning, Mr. Perry,</p> <p>9 a familiar seat for you. Welcome back.</p> <p>10 MR. PERRY:</p> <p>11 A. Good morning.</p> <p>12 CHAIRMAN:</p> <p>13 Q. Mr. Henderson, good morning.</p> <p>14 MR. BARRY PERRY (SWORN)</p> <p>15 MR. LORNE HENDERSON (SWORN)</p> <p>16 CHAIRMAN:</p> <p>17 Q. Thank you very much. When you're ready, Mr.</p> <p>18 Kelly.</p> <p>19 KELLY, Q.C.:</p> <p>20 Q. Thank you, Chair. Mr. Perry, you had filed</p> <p>21 pre-filed evidence in this matter dated</p> <p>22 September 2, 2003. Do you adopt your pre-</p> <p>23 filed testimony as your evidence in this</p> <p>24 proceeding?</p> <p>25 MR. PERRY:</p>
Page 3	Page 4
<p>1 A. Yes, I do.</p> <p>2 Q. And Mr. Henderson, do you adopt your pre-filed</p> <p>3 testimony as your evidence in this proceeding?</p> <p>4 MR. HENDERSON:</p> <p>5 A. Yes, I do.</p> <p>6 Q. Mr. Perry, I'd like to start by looking at the</p> <p>7 demand/energy rate, would you please advise</p> <p>8 the Board of Newfoundland Power's position</p> <p>9 with respect to the demand energy wholesale</p> <p>10 rate proposed by Hydro?</p> <p>11 MR. PERRY:</p> <p>12 A. Yes, I can. Newfoundland Power believes that</p> <p>13 the proposed rate is flawed and should not be</p> <p>14 approved by the Board.</p> <p>15 Q. What are Newfoundland Power's concerns with</p> <p>16 respect to the proposed demand/energy rate?</p> <p>17 MR. PERRY:</p> <p>18 A. Our concerns focus on two specific areas.</p> <p>19 Number one, the proposed rate will provide no</p> <p>20 measurable benefit to our customers. Number</p> <p>21 two, the proposed rate will create additional</p> <p>22 earnings volatility for Newfoundland Power</p> <p>23 which will in turn create rate instability for</p> <p>24 our customers.</p> <p>25 Q. I'd like to get you to look at both of those</p>	<p>1 points in turn now if we can. Why do you say</p> <p>2 that there'll be no measurable benefit to</p> <p>3 customers?</p> <p>4 MR. PERRY:</p> <p>5 A. The proposed rate does not provide</p> <p>6 Newfoundland Power with any new or improved</p> <p>7 information with respect to system costs that</p> <p>8 will lead us to change the retail rates that</p> <p>9 are currently in place. These rates already</p> <p>10 reflect Hydro and Newfoundland Power's total</p> <p>11 embedded system cost. Approximately 204,000</p> <p>12 or 92 percent of Newfoundland Power's</p> <p>13 customers are domestic and small general</p> <p>14 service customers. These customers consume</p> <p>15 approximately 61 percent of the energy sold by</p> <p>16 Newfoundland Power. It is generally accepted</p> <p>17 that it is not appropriate to charge these</p> <p>18 customers on the basis of a demand energy</p> <p>19 charge. So 92 percent of our customers, it's</p> <p>20 not appropriate to charge them a demand energy</p> <p>21 charge. Therefore, introducing a demand</p> <p>22 energy wholesale rate will not result in any</p> <p>23 change in the retail rate structure for these</p> <p>24 customers. The remainder of Newfoundland</p> <p>25 Power's customers are larger general service</p>

Page 5	Page 6
<p>1 MR. PERRY:</p> <p>2 customers who are already served under a</p> <p>3 demand/energy rate. Once again, introducing a</p> <p>4 demand energy wholesale rate will not result</p> <p>5 in any change in the retail rate structure for</p> <p>6 those customers. Therefore, it seems to me</p> <p>7 that we must all ask ourselves what are we</p> <p>8 trying to achieve here, what is the objective?</p> <p>9 The current energy only rate collects</p> <p>10 Newfoundland Power's share of Hydro's Cost of</p> <p>11 Service, including the demand and energy cost.</p> <p>12 The energy only rate has done this effectively</p> <p>13 for years. It has been suggested that the</p> <p>14 proposed demand/energy rate will incent</p> <p>15 Newfoundland Power to implement DSM programs</p> <p>16 to defer the addition of new generating</p> <p>17 facilities on the system. However, neither</p> <p>18 Hydro, nor Newfoundland Power, nor the Board,</p> <p>19 have the information to even determine how</p> <p>20 much is cost effective to spend on DSM.</p> <p>21 In Newfoundland Power's last General Rate</p> <p>22 Order on page 111 the Board stated, "The</p> <p>23 relationship between rates and electricity</p> <p>24 consumption and the impact of DSM and energy</p> <p>25 efficiency programs is complex, especially</p>	<p>1 when overlaid with the impact on the</p> <p>2 electrical system and generation planning."</p> <p>3 The Board went on to say, "The Board finds it</p> <p>4 difficult, however, to provide specific and</p> <p>5 meaningful policy direction to the utilities</p> <p>6 on DSM and conservation issues in the absence</p> <p>7 of supporting evidence and related impacts on</p> <p>8 system overall. This matter will be most</p> <p>9 appropriately addressed in the context of a</p> <p>10 generic proceeding involving both utilities</p> <p>11 and interested parties." That was the Board's</p> <p>12 conclusion at Newfoundland Power's hearing.</p> <p>13 Commissioners, Newfoundland Power agrees</p> <p>14 with the Board that these matters are complex</p> <p>15 and are best dealt with in a generic hearing</p> <p>16 once Hydro has completed the necessary</p> <p>17 studies.</p> <p>18 KELLY, Q.C.:</p> <p>19 Q. The second concern that you raise, Mr. Perry,</p> <p>20 was the issue of earnings volatility and rate</p> <p>21 stability. Would you please explain those</p> <p>22 points?</p> <p>23 MR. PERRY:</p> <p>24 A. Hydro faces no earnings volatility under the</p> <p>25 current energy only rate structure and RSP.</p>
Page 7	Page 8
<p>1 On the other hand, Newfoundland Power is</p> <p>2 already subject to earnings volatility of</p> <p>3 approximately \$900,000 under the energy only</p> <p>4 rate and that's described in my evidence.</p> <p>5 The proposed demand/energy rate structure</p> <p>6 introduces earnings volatility for Hydro and</p> <p>7 significantly increases Newfoundland Power's</p> <p>8 earnings volatility as a result of forecast</p> <p>9 variances. For example, Newfoundland Power</p> <p>10 could face a decrease in pre-tax earnings of</p> <p>11 approximately eight million dollars under the</p> <p>12 proposed rate. This is nine times the impact</p> <p>13 felt by Newfoundland Power under the current</p> <p>14 energy only rate. This is unacceptable to</p> <p>15 Newfoundland Power.</p> <p>16 The Rate of Return on rate base for</p> <p>17 Newfoundland Power has been set in a narrow</p> <p>18 range of plus or minus 18 basis points. This</p> <p>19 translates into a range on earnings of plus or</p> <p>20 minus two million dollars on a pre-tax basis.</p> <p>21 Our current 900,000 of earnings volatility</p> <p>22 under the energy only rate already consumes</p> <p>23 about half of that amount. Let me give the</p> <p>24 Board an idea of the impact of a demand/energy</p> <p>25 rate on Newfoundland Power's earnings. The</p>	<p>1 resulting earnings volatility is arising from</p> <p>2 a demand charge of \$12 combined with an energy</p> <p>3 charge of 5.13 cents a kilowatt hour, could</p> <p>4 consume the entire two million dollar range of</p> <p>5 return on rate base.</p> <p>6 Now if we look at Hydro's proposal.</p> <p>7 Hydro's proposed \$84 demand charge results in</p> <p>8 potential earnings volatility that is</p> <p>9 approximately four times Newfoundland Power's</p> <p>10 two million dollar range of Rate of Return on</p> <p>11 rate base. This is clearly inappropriate.</p> <p>12 Hydro's expert, Mr. Greneman's suggestion</p> <p>13 that over time the earnings volatility will</p> <p>14 balance out completely ignores number one, the</p> <p>15 demand revenue floor proposed by Hydro; number</p> <p>16 two, the cap on Newfoundland Power's earnings;</p> <p>17 and number three, the year over year rate</p> <p>18 instability that will result. Mr. Greneman's</p> <p>19 earnings volatility solution of expanding the</p> <p>20 range of Rate on Return on rate base is</p> <p>21 contrary to Newfoundland Power's recent rate</p> <p>22 order and does not solve the earnings</p> <p>23 volatility issue. In fact, Hydro itself has</p> <p>24 acknowledged that earnings volatility for both</p> <p>25 utilities would be significantly increased as</p>

Page 9	Page 10
<p>1 MR. PERRY:</p> <p>2 a result of introducing the proposed</p> <p>3 demand/energy rate. Hydro is sufficiently</p> <p>4 concerned about this earnings volatility that</p> <p>5 it has proposed a floor for their demand</p> <p>6 revenue recovery. Last week Mr. Banfield said</p> <p>7 that the rate proposed by the Board's</p> <p>8 consultant presented significant risk to</p> <p>9 Hydro's earnings since it did not provide</p> <p>10 Hydro with down side risk protection.</p> <p>11 Although Hydro has proposed a floor for</p> <p>12 itself, no such protection for Newfoundland</p> <p>13 Power has been proposed. Hydro simply says</p> <p>14 that this is a Newfoundland Power issue.</p> <p>15 Well, we disagree. This is a Hydro issue as</p> <p>16 well since anything that potentially impacts</p> <p>17 Newfoundland Power's customers rates also</p> <p>18 impacts the rates charged to Hydro's retail</p> <p>19 customers on the island. Earnings volatility</p> <p>20 is an issue for the Board as part of its</p> <p>21 mandate to regulate customer rates and to</p> <p>22 balance customer and utility interests.</p> <p>23 KELLY, Q.C.:</p> <p>24 Q. How does year-over-year rate instability arise</p> <p>25 for customers?</p>	<p>1 MR. PERRY:</p> <p>2 A. Under the proposed rate and in the absence of</p> <p>3 a reserve or flow through mechanism,</p> <p>4 Newfoundland Power would be required to apply</p> <p>5 to the Board for relief in the following two</p> <p>6 situations: number one; if peak demand</p> <p>7 materially exceeds the forecast or number two;</p> <p>8 if energy sales are projected to be materially</p> <p>9 below forecast. Furthermore, these events</p> <p>10 could also occur in tandem. In addition, if</p> <p>11 Newfoundland Power's peak demand were to</p> <p>12 decline in a subsequent year as has happened</p> <p>13 in the past, Newfoundland Power may then find</p> <p>14 itself in an excess earnings position. This</p> <p>15 would result in a rebate to customers and may</p> <p>16 result in a rate decrease. In the next year,</p> <p>17 the situation could again reverse itself and</p> <p>18 the company may be forced to yet again seek</p> <p>19 relief from the Board. So one can see how</p> <p>20 rate instability can result under the proposed</p> <p>21 demand/energy rate. Even with a reserve or</p> <p>22 pass through mechanism, the issue of rate</p> <p>23 stability remains without any benefit accruing</p> <p>24 to customers. In Newfoundland Power's view,</p> <p>25 creating these problems in the absence of any</p>
Page 11	Page 12
<p>1 benefit for our customers is inappropriate and</p> <p>2 unnecessary.</p> <p>3 Q. What approach does Newfoundland Power propose</p> <p>4 should be adopted?</p> <p>5 MR. PERRY:</p> <p>6 A. Commissioners, there should be a coordinated</p> <p>7 system-wide approach to this matter. First,</p> <p>8 Hydro and Newfoundland Power should complete</p> <p>9 long run marginal costs and retail rate design</p> <p>10 studies. Mr. Haynes has said that Hydro</p> <p>11 currently has ample capacity. Hydro's</p> <p>12 decision to discontinue the interruptible B</p> <p>13 contract with Abitibi Stephenville Newsprint</p> <p>14 Mill was based on that premise. Hydro has</p> <p>15 effectively said at \$28 per kilowatt for 45</p> <p>16 megawatts of interruptible B capacity is too</p> <p>17 much to pay to Abitibi to reduce system peak</p> <p>18 because Hydro doesn't need that capacity.</p> <p>19 At the same time Hydro is proposing to</p> <p>20 send a signal to Newfoundland Power that we</p> <p>21 should pay up to \$84 per kilowatt or about</p> <p>22 three times the cost of the interruptible B to</p> <p>23 reduce system peak. Commissioners, this does</p> <p>24 not make any economic sense. Furthermore,</p> <p>25 Newfoundland Power believes that between the</p>	<p>1 two Abitibi mills there could be up to 90</p> <p>2 megawatts of interruptible power available</p> <p>3 today. It is also possible that there is</p> <p>4 interruptible power available from the Kruger</p> <p>5 mill in Corner Brook. The Board should have</p> <p>6 all of the necessary information in order to</p> <p>7 evaluate any proposed change to the wholesale</p> <p>8 rate structure. This includes both the short</p> <p>9 and long run marginal costs of electrical</p> <p>10 system as well as the results of a retail rate</p> <p>11 design study.</p> <p>12 Certain experts in Hydro take the</p> <p>13 position that a demand/energy rate is needed</p> <p>14 now to provide long-term future benefits.</p> <p>15 This is to be achieved by incenting</p> <p>16 Newfoundland Power to do DSM and to make</p> <p>17 unspecified changes to retail rates. However,</p> <p>18 they say this without any concrete evidence</p> <p>19 that effective DSM programs are available,</p> <p>20 without knowing how much to spend on cost</p> <p>21 effective DSM programs, without knowing how</p> <p>22 retail rates should be changed, without</p> <p>23 addressing any of the earnings volatility and</p> <p>24 rate stability issues that a demand/energy</p> <p>25 rate creates and without having fully</p>

Page 13	Page 14
<p>1 MR. PERRY:</p> <p>2 addressed the outstanding issues identified in</p> <p>3 the Stone & Webster report.</p> <p>4 In addition, a demand/energy rate creates</p> <p>5 timing differences between payments to Hydro</p> <p>6 and revenue received from Newfoundland Power's</p> <p>7 customers. These timing differences can</p> <p>8 result in up to an additional five million</p> <p>9 dollars being paid to Hydro by Newfoundland</p> <p>10 Power in the first year if implementation</p> <p>11 occurs other than at January 1st in the year.</p> <p>12 This will vary depending on the level of</p> <p>13 demand charge and the amount of</p> <p>14 implementation. But based on Hydro's proposal</p> <p>15 it's approximately five million dollars, up to</p> <p>16 five million dollars. Commissioners,</p> <p>17 Newfoundland Power believes that we should</p> <p>18 consider all of these issues together in a</p> <p>19 coordinated approach.</p> <p>20 KELLY, Q.C.:</p> <p>21 Q. What is Newfoundland Power suggesting that the</p> <p>22 Board should do now?</p> <p>23 MR. PERRY:</p> <p>24 A. Newfoundland Power believes that the Board</p> <p>25 should continue with the energy only wholesale</p>	<p>1 rate structure for Newfoundland Power. To</p> <p>2 ensure the correct price signals are sent to</p> <p>3 Newfoundland Power's customers, the Board</p> <p>4 should order Hydro to work with Newfoundland</p> <p>5 Power to complete long run marginal costs and</p> <p>6 retail rate design studies. As it is,</p> <p>7 Newfoundland Power's customers and Hydro's</p> <p>8 retail customers will face a significant rate</p> <p>9 increase in 2004. The resulting rate</p> <p>10 increases to our customers will provide them</p> <p>11 with a significant incentive to use</p> <p>12 electricity wisely and conserve where</p> <p>13 possible. The revised RSP will provide a more</p> <p>14 current price signal as changes in fuel prices</p> <p>15 will be quickly reflected in electricity</p> <p>16 rates. This in turn will create a degree of</p> <p>17 rate instability for our customers.</p> <p>18 Adding further instability to customer</p> <p>19 rates by introducing a demand energy wholesale</p> <p>20 rate is unwarranted. Newfoundland Power</p> <p>21 believes that it would be prudent to allow for</p> <p>22 a settling period for customers after this</p> <p>23 rate increase. The settling period will allow</p> <p>24 time to conduct the studies required and</p> <p>25 conduct any generic hearings that the Board</p>
Page 15	Page 16
<p>1 considers appropriate.</p> <p>2 Q. Mr. Perry, do you have any concluding remarks?</p> <p>3 MR. PERRY:</p> <p>4 A. The Board needs to consider the impact of the</p> <p>5 proposed demand/energy rate on Newfoundland</p> <p>6 Power and its 220,000 customers and Hydro's</p> <p>7 22,000 customers for that matter. The Board</p> <p>8 should not approve a new wholesale rate</p> <p>9 structure to Newfoundland Power that creates</p> <p>10 additional earnings volatility and rate</p> <p>11 instability and is without any measurable</p> <p>12 benefit to our customers.</p> <p>13 Q. Thank you, Mr. Perry. Chair, those are my</p> <p>14 questions. The Panel is available for cross-</p> <p>15 examination.</p> <p>16 CHAIRMAN:</p> <p>17 Q. Thank you, Mr. Kelly. Once again, good</p> <p>18 morning, Mr. Young, when you're ready, please.</p> <p>19 (9:35 a.m.)</p> <p>20 MR. YOUNG:</p> <p>21 Q. Thank you, Mr. Chair. Good morning, Mr.</p> <p>22 Perry, Mr. Henderson. Mr. O'Reilly, I wonder</p> <p>23 if you could bring up CA-215, please, page 3</p> <p>24 of 3. We have there at the top of the page,</p> <p>25 "Rate 2.4, General Services". This is a Hydro</p>	<p>1 rate, but I think you'll recognize this,</p> <p>2 particularly Mr. Henderson will at a glance</p> <p>3 I'm sure, as being essentially Newfoundland</p> <p>4 Power's rate. Can you confirm that, is that</p> <p>5 correct?</p> <p>6 MR. HENDERSON:</p> <p>7 A. Yes.</p> <p>8 Q. I notice looking at that rate that there is a</p> <p>9 demand charge, it's--well, it's two different</p> <p>10 demand charges. It looks like a seasonal</p> <p>11 thing which is a little over \$6 a kVa and</p> <p>12 there's also energy charges which are split.</p> <p>13 I'm just wondering if you can give some</p> <p>14 indication as to why you understand this rate</p> <p>15 was designed in this way for these customers?</p> <p>16 MR. HENDERSON:</p> <p>17 A. This rate I believe was created in 1987.</p> <p>18 Prior to that we had a general service class</p> <p>19 for everybody above 100 kVa and when we were</p> <p>20 reviewing our rates it was apparent that our</p> <p>21 largest group of customers within that rate</p> <p>22 class had very good load factors. As a result</p> <p>23 the embedded cost rates were creating certain</p> <p>24 fairness issues. To solve those fairness</p> <p>25 issues we created the separate rate and</p>

Page 17	Page 18
<p>1 MR. HENDERSON: 2 brought those customers, you know, made this 3 rate applicable to the larger customers that 4 we have. You know, in so doing we developed 5 the demand charge and the energy charges as we 6 felt were appropriate to ensure that there was 7 fairness within the rate that was provided to 8 those large customers.</p> <p>9 MR. YOUNG: 10 Q. When you say you develop the demand and energy 11 rates to ensure their fairness is that based 12 on a Cost of Service study?</p> <p>13 MR. HENDERSON: 14 A. Yes.</p> <p>15 Q. And based on Hydro's, Newfoundland Power's, 16 both? How do that work?</p> <p>17 MR. HENDERSON: 18 A. That's both. In our Cost of Service, we take 19 the demand energy splits that arise from 20 Hydro's Cost of Service and input to our Cost 21 of Service to ensure that what our end 22 customers would see would be similar to what 23 they'd see if it was a vertically integrated 24 utility.</p> <p>25 Q. So, essentially, the costs that are sent to</p>	<p>1 Newfoundland Power from Hydro's Cost of 2 Service study essentially are supposed to be 3 transparent so that the customer actually 4 receives the costs that are reflected in the 5 Cost of Service study that Hydro has, is that 6 your answer, is that what I understood?</p> <p>7 MR. HENDERSON: 8 A. Yes, we use that to, you know, evaluate the 9 fairness of rates.</p> <p>10 Q. Could you have, if you wished, used an energy 11 only rate for this customer class in order to 12 obtain a revenue requirement that would have 13 been required from this class to keep them at, 14 as we say the ratio of one, would that have 15 been an option? I'm not suggesting it would 16 have been a good option, but is it possible?</p> <p>17 MR. HENDERSON: 18 A. Yes, it would be possible.</p> <p>19 Q. That wasn't your choice in designing this 20 rate, you chose the energy and demand 21 differences that occurred from the Cost of 22 Service study, is that correct?</p> <p>23 MR. HENDERSON: 24 A. Yes. We very much tried to focus on system 25 cost as opposed to any vagaries of the costs</p>
Page 19	Page 20
<p>1 that show up because of the purchase power 2 rate structure.</p> <p>3 Q. So the Cost of Service which has demand and 4 energy rates reflected or demand and energy 5 cost components, it has two commodities 6 reflected in this rate structure. I think Mr. 7 Perry just mentioned that Hydro's Cost of 8 Service study is something that can be used to 9 determine the energy only rate appropriately 10 and--perhaps actually I can take you to page 7 11 of your evidence. It's at lines 17 to 19. 12 I'll just read a few sentences in and ask you 13 to comment on them. "Hydro's Cost of Service 14 study properly accounts for the demand and 15 energy of all Hydro's customers and allocates 16 the amount of demand related costs, energy 17 related costs specifically assigned costs and 18 rural deficit to Newfoundland Power." And I 19 take it from the other comments you've made 20 that that Cost of Service study from your 21 perspective is quite properly passed on 22 through an energy only rate, but that from 23 what you just told us a few minutes ago, there 24 were times when you take those components from 25 the Cost of Service study and actually show</p>	<p>1 those price signals to your larger general 2 service customers, is that correct?</p> <p>3 MR. HENDERSON: 4 A. Well it's an input into the rate design. You 5 know, if you went through our evidence you'll 6 know that we also factor in the short run 7 marginal costs also into the rate design so 8 it's certainly not an exact match by any 9 means, but it's a major means by which we 10 assess fairness.</p> <p>11 Q. Hydro's Cost of Service study gets translated 12 into rates, in Hydro's GRA's, but not in 13 between, correct? I mean it doesn't change 14 its rates aside from--which is an energy only 15 rate to Newfoundland Power aside from its rate 16 hearings.</p> <p>17 MR. HENDERSON: 18 A. That's correct.</p> <p>19 Q. There are slight subtle changes with RSPs and 20 things like that and on some occasions they're 21 not that subtle and they can be fairly 22 significant, but that's essentially correct, 23 isn't it?</p> <p>24 MR. HENDERSON: 25 A. Yes.</p>

Page 21	Page 22
<p>1 MR. YOUNG:</p> <p>2 Q. Aside from that though, for example, if you</p> <p>3 were to go three years between rate hearings</p> <p>4 there wouldn't be a specific change between</p> <p>5 those rate hearings, there would be a three</p> <p>6 year break between the changes in the pricing</p> <p>7 and consent on, is that correct?</p> <p>8 MR. HENDERSON:</p> <p>9 A. Yes, from what I understand with the revenue</p> <p>10 required--the rates in between hearings, Hydro</p> <p>11 continues to recover basically its short run</p> <p>12 variable costs through the RSPs. So to the</p> <p>13 best of my knowledge, Hydro continues to</p> <p>14 recover a reasonable level of its cost between</p> <p>15 hearings.</p> <p>16 Q. The sample rate which has the demand and</p> <p>17 energy component in it, would you agree that</p> <p>18 it can be or if changes in Newfoundland</p> <p>19 Power's rate structure--sorry, in their load</p> <p>20 factor, can be reflected more quickly under</p> <p>21 the sample rate, you would see a more</p> <p>22 immediate response to a change as opposed to</p> <p>23 waiting for a load factor change that might be</p> <p>24 reflected in the following GRA?</p> <p>25 MR. HENDERSON:</p>	<p>1 A. What you're saying is in between hearings if</p> <p>2 our load factor changes significantly that we</p> <p>3 will receive a pricing signal more quickly?</p> <p>4 Q. Yes.</p> <p>5 MR. HENDERSON:</p> <p>6 A. Is that what you're trying to get at? Like,</p> <p>7 you know, from what I understand of Hydro's</p> <p>8 cost, that capacity costs are generally</p> <p>9 speaking related to long-term investments and</p> <p>10 over the short term, those costs don't vary</p> <p>11 very much. So, if you take the period in</p> <p>12 between hearings, I suspect that if there's</p> <p>13 any material capital additions, that's</p> <p>14 probably going to pull Hydro in for a rate</p> <p>15 hearing as it did this time with the addition</p> <p>16 of Granite Canal. In between hearings the</p> <p>17 demand cost don't vary very much and to the</p> <p>18 best of my knowledge, Hydro continues to get</p> <p>19 their adequate cost recovery. So, I don't</p> <p>20 know if there is any necessary signal to pass</p> <p>21 through -</p> <p>22 MR. PERRY:</p> <p>23 A. It's my understanding that, you know, there's</p> <p>24 no new demand expected until 2010, 2011, so</p> <p>25 really all, you know, in between hearings</p>
Page 23	Page 24
<p>1 Hydro gets paid for energy as there's</p> <p>2 increases in energy supplied, so it gets paid</p> <p>3 so really there's no--I don't see any loss to</p> <p>4 Hydro between hearings.</p> <p>5 Q. Aside from loss, just think for a moment if</p> <p>6 you can, considering how our Industrial</p> <p>7 Customers rates work though. If they have a</p> <p>8 change in their demand or a change in their</p> <p>9 load factor which changes that shift, they get</p> <p>10 that price signal fairly immediately don't</p> <p>11 they?</p> <p>12 MR. HENDERSON:</p> <p>13 A. Yes, they can do something with it also. For</p> <p>14 us, we supply customers who use the</p> <p>15 electricity. They're the ones who make</p> <p>16 decisions about electricity consumption. They</p> <p>17 have the appropriate signals. Providing that</p> <p>18 signal in the short term to us doesn't do</p> <p>19 anything for us because we're familiar with</p> <p>20 system costs anyway, we see it through the</p> <p>21 system. So we know those costs are coming</p> <p>22 down. In the late 1980s we knew that</p> <p>23 Newfoundland Hydro was staring at a gas</p> <p>24 turbine, you know, in the early 90s and that</p> <p>25 was a flag for us to indicate we need to get</p>	<p>1 on the go with a bunch of DSM projects because</p> <p>2 there's a potential for deferral. So we can</p> <p>3 and we always have and we monitor Hydro's</p> <p>4 capital budgets and we're familiar with what's</p> <p>5 going on, that we know these costs are coming</p> <p>6 down. So we get a signal through, you know,</p> <p>7 what we know is coming down through the</p> <p>8 system, we don't need it in a wholesale price.</p> <p>9 Q. When Mr. Greneman was on the stand he referred</p> <p>10 to volatility as being part and parcel, going</p> <p>11 part and parcel with the demand/energy rate</p> <p>12 structure. And I suppose your take on his</p> <p>13 next comment which I'm going to relate to you,</p> <p>14 he talked about dynamic efficiency which is</p> <p>15 what I spoke of a moment ago, of the more</p> <p>16 immediate transfer of the signal and changes</p> <p>17 that can occur in response to that within</p> <p>18 Newfoundland Power's customer groups or within</p> <p>19 Newfoundland Power's rates if they so choose</p> <p>20 to do that. Do you agree that volatility is</p> <p>21 part and parcel of the demand/energy rate</p> <p>22 structure, going from where we are presently</p> <p>23 with an energy only rate and at the RSP the</p> <p>24 way it is?</p>

Page 25	Page 26
<p>1 MR. PERRY:</p> <p>2 A. I would say yes, that's why we have a major</p> <p>3 issue. Like, you know, frankly one of the</p> <p>4 things that Mr. Greneman said which continues</p> <p>5 to bother me is, you know, he suggested that a</p> <p>6 five million dollar volatility number in his</p> <p>7 view was not a humongous number. I can tell</p> <p>8 you, the Board, that it is a humongous number</p> <p>9 for Newfoundland Power and I think even the</p> <p>10 Board considers it a humongous number in that</p> <p>11 it set our range and Rate of Return on rate</p> <p>12 base at plus or minus two million dollars.</p> <p>13 So, you know, clearly, yes, it's part and</p> <p>14 parcel with a demand/energy rate and it's one</p> <p>15 of the major reasons why we don't support a</p> <p>16 demand/energy rate.</p> <p>17 (9:45 a.m.)</p> <p>18 MR. YOUNG:</p> <p>19 Q. I wonder, Mr. O'Reilly if I could go to the</p> <p>20 next page, page 8--a little further down the</p> <p>21 page, lines 18 and 19. Read the bottom of the</p> <p>22 page and go to the next page just a few</p> <p>23 sentences, ask you just a couple of questions</p> <p>24 of that. It says, "The Board has</p> <p>25 traditionally stressed stability, fairness in</p>	<p>1 the absolute level of customer rates in its</p> <p>2 decisions. In addition, mechanisms such as</p> <p>3 Newfoundland Power's weather normalization</p> <p>4 reserve and Hydro's Rate Stabilization Plan</p> <p>5 have been established by the Board to provide</p> <p>6 rate stability and predictability to retail</p> <p>7 customers. The existence of these mechanisms</p> <p>8 also provides revenue stability to</p> <p>9 Newfoundland Power and Hydro." A couple of</p> <p>10 questions arise from that. One, the Board has</p> <p>11 traditionally stressed stability and rates.</p> <p>12 The fact that it wished to have this issue</p> <p>13 explored further in this hearing, the</p> <p>14 demand/energy rate structure, I'll ask you to</p> <p>15 comment on whether you think that that's an</p> <p>16 indication that perhaps stability is not the</p> <p>17 only attribute that they thought was important</p> <p>18 and some of the other ones perhaps are ones</p> <p>19 that they are willing to look at more closely,</p> <p>20 do you see that coming from this requirement</p> <p>21 of the Board for us to report on demand/energy</p> <p>22 rate structure?</p> <p>23 MR. HENDERSON:</p> <p>24 A. I cannot presuppose what the Board's</p> <p>25 motivation is beyond knowing that in 1989,</p>
Page 27	Page 28
<p>1 1990 the company, for whatever--for particular</p> <p>2 reasons at that time, came forward looking for</p> <p>3 a demand/energy rate. And this issue, I</p> <p>4 suspect substantially because of this</p> <p>5 volatility issue and to some extent the rate</p> <p>6 design issue has ended up never being able to</p> <p>7 be effectively settled between negotiations</p> <p>8 between us and it's dragged on. And the</p> <p>9 Board, I'm sure is seeking resolution to this</p> <p>10 issue. As to whether they in particular are</p> <p>11 seeking resolution because they think that</p> <p>12 there's definitely certain attributes that,</p> <p>13 you know, it merits, you know, I can't really</p> <p>14 say for sure.</p> <p>15 MR. PERRY:</p> <p>16 A. And the other thing is I think the Board</p> <p>17 continues not to have sufficient information</p> <p>18 to resolve the issue, you know, that's our--</p> <p>19 you know, we don't have--we don't know what</p> <p>20 the long run cost of operating the system--of</p> <p>21 capacity on the system is. Asking the Board</p> <p>22 to approve \$84 is like a shot in the dark to</p> <p>23 me. You know, what happens if it's not the</p> <p>24 right number? It's incenting us to go out and</p> <p>25 do programs that, you know, up to \$84 when we</p>	<p>1 know, I wish I could just go off and talk to</p> <p>2 the Industrials and say, listen, I'm getting</p> <p>3 84, I'll pay you 28, I save the difference.</p> <p>4 You know, I think the Board needs to know what</p> <p>5 the right number should be if it's going to go</p> <p>6 down the path of setting a demand energy</p> <p>7 charge. And right now, that evidence is not</p> <p>8 before the Board.</p> <p>9 Q. Now, Mr. Perry, that gives me some trouble</p> <p>10 because as I understand the evidence that was</p> <p>11 just given a few moments ago, the Cost of</p> <p>12 Service at Hydro, the embedded Cost of Service</p> <p>13 Hydro uses, is used by Newfoundland Power in</p> <p>14 providing rates to Newfoundland Power's</p> <p>15 customers and the same rates that Hydro uses</p> <p>16 for its customers as we've pointed out. Is it</p> <p>17 that you don't have any faith at all in what</p> <p>18 comes out of the embedded Cost of Service</p> <p>19 study because that gives the \$84?</p> <p>20 MR. HENDERSON:</p> <p>21 A. I think this issue of using embedded cost idea</p> <p>22 with regard to rate design is--you got to go</p> <p>23 back to Bombright's principles and realize</p> <p>24 what the objective of good rate designs.</p> <p>25 You're balancing off fairness and efficiency</p>

Page 29	Page 30
<p>1 MR. HENDERSON:</p> <p>2 issues. And for fairness issues, which is the</p> <p>3 allocation of costs appropriately between</p> <p>4 customers, you've got more than one customer</p> <p>5 in a particular class. When I go to set the</p> <p>6 rate to make sure this person's paying the</p> <p>7 appropriate amount versus that much, you need</p> <p>8 demand/energy rate from an embedded fairness</p> <p>9 perspective to allocate the cost between them</p> <p>10 properly. And that's the fairness issues.</p> <p>11 From an efficiency perspective to the extent</p> <p>12 to which you have good long run marginal</p> <p>13 costs, you build them into your rate designs.</p> <p>14 You know, efficiencies is a primary criteria</p> <p>15 for probably rate options and it may be</p> <p>16 weighted a lot higher when you just start</p> <p>17 developing rate options to ensure things are</p> <p>18 efficient, because customers always have the</p> <p>19 option to go on this rate if they consider</p> <p>20 themselves unfairly treated, if you want to</p> <p>21 look at it that way. With regard to the</p> <p>22 wholesale rate for Newfoundland Power,</p> <p>23 Newfoundland Power is the only person who is</p> <p>24 under this energy only rate. Hydro recovers</p> <p>25 its fair cost from the Cost of Service through</p>	<p>1 it, therefore, there's no fairness issue.</p> <p>2 Therefore the only issue with regard to the</p> <p>3 wholesale mill rate is really efficiency. And</p> <p>4 if efficiency is the only real reason which</p> <p>5 seems to be what everybody is talking about,</p> <p>6 an incentive for potentially DSM, you know,</p> <p>7 possibly a need to make sure Newfoundland</p> <p>8 Power sets its rates more efficiently in terms</p> <p>9 of rate options. These are all efficiency</p> <p>10 arguments and efficiency requires marginal</p> <p>11 costs as I believe, you know, Hydro's experts</p> <p>12 support, along with all the other Cost of</p> <p>13 Service experts. So, that's the real issue</p> <p>14 we're trying to deal with here and the Board</p> <p>15 doesn't have that.</p> <p>16 MR. PERRY:</p> <p>17 A. In fact, I think there's an RFI that Hydro</p> <p>18 acknowledges that DSM programs should be</p> <p>19 evaluated based on marginal costs. And, you</p> <p>20 know, sending us a signal of \$84 that yes an</p> <p>21 embedded cost number is mathematically correct</p> <p>22 based on embedded costs, suggests to us that</p> <p>23 that's the number we use as a benchmark to go</p> <p>24 out and find DSM programs. You know, I guess</p> <p>25 the Board could order us after it orders the</p>
Page 31	Page 32
<p>1 demand/energy rate put in place, say,</p> <p>2 Newfoundland Power even though we set at \$84,</p> <p>3 you can't spend the \$84 to look for DSM</p> <p>4 programs and put a condition in like that.</p> <p>5 But, you know, again, what's the purpose of</p> <p>6 doing that.</p> <p>7 MR. YOUNG:</p> <p>8 Q. You seem to take a different perspective on</p> <p>9 that than most of the experts I'd suggest to</p> <p>10 you who have appeared here. Mr. Patrick</p> <p>11 Bowman indicated that he didn't see the link</p> <p>12 between the marginal cost study and the</p> <p>13 demand/energy rate structure. And some of the</p> <p>14 other experts have indicated, Mr. Greneman,</p> <p>15 that the marginal cost study can be used after</p> <p>16 the fact to fine tune, tweak I think is the</p> <p>17 word, the rates, but that pricing the two</p> <p>18 components; demand and energy, from a Cost of</p> <p>19 Service study, from an embedded basis is a</p> <p>20 very traditional rate making principle.</p> <p>21 MR. HENDERSON:</p> <p>22 A. That's right. If you look to Larry Brockman's</p> <p>23 testimony, he alluded to a study, I believe</p> <p>24 that was done by NARUC, the regulatory</p> <p>25 association in the United States and it talked</p>	<p>1 about aligning rates with integrated resource</p> <p>2 planning, trying to deal with this efficiency</p> <p>3 issue. And then he talked about, yes, a lot</p> <p>4 of jurisdictions do have rates based on</p> <p>5 embedded costs that's probably inappropriate.</p> <p>6 It's an inappropriate emphasis put on embedded</p> <p>7 costs.</p> <p>8 MR. PERRY:</p> <p>9 A. I just want to go to NP-178 because I think</p> <p>10 Hydro itself answers its question on this, if</p> <p>11 we could. I believe the way I understand</p> <p>12 this, anyway. If you go down to line 15 it</p> <p>13 says, "Hydro believes that the demand/energy</p> <p>14 rate structure provides an efficient pricing</p> <p>15 signal since it serves the dual purpose of</p> <p>16 collecting embedded demands costs while also</p> <p>17 providing a marginal pricing signal and thus</p> <p>18 it is in the long-term best interest of system</p> <p>19 expansion planning." So, you know, I think</p> <p>20 Hydro is saying, you know, that it is a signal</p> <p>21 that you're planning on sending to us and if</p> <p>22 that signal, if DSM is to be valued at a</p> <p>23 marginal cost, I think that if the Board in</p> <p>24 its wisdom, wants a demand/energy rate, I</p> <p>25 think the rate should reflect marginal cost</p>

Page 33	Page 34
<p>1 MR. PERRY:</p> <p>2 principles rather than embedded cost</p> <p>3 principles.</p> <p>4 MR. YOUNG:</p> <p>5 Q. Well, it does a bit of both doesn't it? As I</p> <p>6 read that sentence I see that the \$84 per</p> <p>7 kilowatt per year is collecting the embedded</p> <p>8 demand costs, but it also does--and Mr.</p> <p>9 Banfield touched on this when he was on the</p> <p>10 stand--it also does a fairly good job of</p> <p>11 reflecting the long run marginal costs if you</p> <p>12 use a proxy as a peaker. I mean -</p> <p>13 MR. PERRY:</p> <p>14 A. I guess that's why we have problems -</p> <p>15 Q. - it seems to be added comfort from our point</p> <p>16 of view. I don't know why you would take it</p> <p>17 differently.</p> <p>18 MR. PERRY:</p> <p>19 A. I think, Mr. Young, that's where we have</p> <p>20 problems. If we used a proxy--you know, this</p> <p>21 information can determine, the right numbers</p> <p>22 can be put in front of the Board. We do know</p> <p>23 that Hydro has discontinued an interruptible</p> <p>24 contract for \$28, so that's the real evidence</p> <p>25 that's in front of the Board at this point in</p>	<p>1 time. And to suggest that \$84 is going to</p> <p>2 send us the right number, right signal, I have</p> <p>3 trouble with that. It may turn out to be that</p> <p>4 number, but I think the prudent approach is to</p> <p>5 do the work, do the study and then if the</p> <p>6 Board decides to put in a demand/energy rate,</p> <p>7 then at least it will be based on the</p> <p>8 appropriate number.</p> <p>9 Q. Going back to the--we don't need to go back to</p> <p>10 it because I read in parts of your evidence in</p> <p>11 relation to some of the issues that the Board</p> <p>12 has stressed, the stability and things of that</p> <p>13 nature and part of that passage also referred</p> <p>14 to things the Board has looked at before for</p> <p>15 rate stability. For example, Newfoundland</p> <p>16 Power's weather normalization reserve; Hydro's</p> <p>17 Rate Stabilization Plan. I think you'd agree</p> <p>18 with me that those two measures were moves to</p> <p>19 moderate or attenuate the volatility in the</p> <p>20 past, is that correct?</p> <p>21 MR. PERRY:</p> <p>22 A. Sorry, Mr. Young, where are you?</p> <p>23 Q. Well the reference I was reading from was in</p> <p>24 your evidence on page 8.</p> <p>25 MR. PERRY:</p>
Page 35	Page 36
<p>1 A. Okay, yes. Bottom of page 8.</p> <p>2 Q. It's still on the screen, actually.</p> <p>3 MR. PERRY:</p> <p>4 A. Perfect.</p> <p>5 Q. Lines 18 to--and it goes to the next page.</p> <p>6 MR. PERRY:</p> <p>7 A. Okay.</p> <p>8 Q. I'm just wondering if you'd agree with me that</p> <p>9 those two measures, the Newfoundland Power's</p> <p>10 weather normalization reserve and Hydro's RSP,</p> <p>11 they're essentially means that the Board has</p> <p>12 used in the past and has approved to deal with</p> <p>13 some volatility issues that have occurred even</p> <p>14 under the energy only rate, would you agree?</p> <p>15 MR. PERRY:</p> <p>16 A. Yes.</p> <p>17 Q. I'm just wondering, under the sample rate,</p> <p>18 your concern has been expressed that perhaps</p> <p>19 more volatility could occur and I think Mr.</p> <p>20 Greneman agrees that under the sample rate or</p> <p>21 a demand/energy rate structure, at least some</p> <p>22 volatility goes hand in hand with it. Have</p> <p>23 you looked at other means that may be used by</p> <p>24 Newfoundland Power, on its own side, to</p> <p>25 address these volatility issues? Have you</p>	<p>1 canvassed other jurisdictions, have you</p> <p>2 considered what might occur where distributing</p> <p>3 utilities buy purchased power under a</p> <p>4 demand/energy rate structure to deal with an</p> <p>5 issue like this?</p> <p>6 MR. PERRY:</p> <p>7 A. Generally, obviously the first one you have to</p> <p>8 deal with is weather normalization and I think</p> <p>9 Hydro has acknowledged that, you know, we'd</p> <p>10 have to work on figuring out how to normalize</p> <p>11 the demand and the work is not done yet, but</p> <p>12 we believe that it could be--we could agree</p> <p>13 with Hydro on an approach for that. I guess</p> <p>14 the next solution that could be made is some</p> <p>15 sort of reserve mechanism where the variance</p> <p>16 gets placed in a reserve account, a balance</p> <p>17 sheet account I'll call it that is--you know,</p> <p>18 so our earnings are not impacted. And that</p> <p>19 account, I guess there's a couple of</p> <p>20 approaches. One is it's a flow through, you</p> <p>21 know, once you put the balance in the</p> <p>22 following year, customer rates are impacted,</p> <p>23 or another mechanism probably similar to our</p> <p>24 Hydro equalization reserve where it balances</p> <p>25 out over time. But that presents some</p>

Page 37

Page 38

1 MR. PERRY:
 2 problems because we have this floor that Hydro
 3 has for their protection, we have our cap on
 4 Newfoundland Power's earnings so we'd have to
 5 factor all that in so it wouldn't be easy to
 6 develop this but, you know, it is I think a
 7 possible solution to the volatility problem is
 8 to put in some sort of reserve mechanism.
 9 MR. YOUNG:
 10 Q. Thank you, that's all my questions, thank you.
 11 CHAIRMAN:
 12 Q. Thank you, Mr. Young. Good morning, Mr.
 13 Browne.
 14 BROWNE, Q.C.:
 15 Q. Good morning, Mr. Chairman. Good morning, Mr.
 16 Perry, Mr. Henderson. Mr. Perry, let's go
 17 over some of your basic qualifications to
 18 speak to these issues. When did you join
 19 Newfoundland Power?
 20 MR. PERRY:
 21 A. April 2000.
 22 Q. And upon joining Newfoundland Power where did
 23 you come from?
 24 MR. PERRY:
 25 A. I was with Abitibi Consolidated. I was the

1 Vice President and Treasure of Abitibi
 2 Consolidated.
 3 Q. And you were one of a number of vice-
 4 presidents?
 5 MR. PERRY:
 6 A. Yes.
 7 Q. At Abitibi -
 8 MR. PERRY:
 9 A. Yes, that is correct.
 10 Q. And you joined in April, 2000. And upon
 11 joining Newfoundland Power, did you take any
 12 courses in rate design?
 13 MR. PERRY:
 14 A. No. I went to grade school, as I said to you
 15 once before, with Mr. Alteen, but no formal
 16 courses.
 17 Q. So you had conversations with Mr. Alteen, who
 18 was your -
 19 MR. PERRY:
 20 A. And Mr. Henderson.
 21 Q. And have taken any since the time of the last
 22 hearing?
 23 MR. PERRY:
 24 A. No, I haven't, Mr. Browne.
 25 Q. So you're here purporting to be a Cost of

Page 39

Page 40

1 Service expert?
 2 MR. PERRY:
 3 A. Definitely not.
 4 Q. The information you have in reference to Cost
 5 of Service issues and the like would come from
 6 others?
 7 MR. PERRY:
 8 A. Yeah. CFO, Mr. Browne, you know, obviously I
 9 have to take input from Mr. Henderson and
 10 other people to make decisions and, you know,
 11 to come to conclusions on how Newfoundland
 12 Power would be impacted by Hydro's proposal.
 13 So, yes, I do take input from others.
 14 Q. And you are currently Vice-President--or
 15 you're currently CFO at Newfoundland Power, is
 16 that your position right now?
 17 MR. PERRY:
 18 A. That's correct.
 19 Q. And you're a member of the executive there at
 20 Newfoundland Power?
 21 MR. PERRY:
 22 A. Yes, I am.
 23 Q. And who is on the executive there at
 24 Newfoundland Power these days?
 25 MR. PERRY:

1 A. Phillip Hughs is the President; Earl Ludlow is
 2 VP Operations; I'm the Chief Financial
 3 Officer; and Michael Mulcahy is the Vice-
 4 President of Customer Service and Corporate
 5 Administration; and Peter Alteen is our
 6 Corporate Secretary.
 7 Q. So there's a five-member executive?
 8 MR. PERRY:
 9 A. That is correct.
 10 Q. I thought I had heard in the press that Mr.
 11 Hughs had gone. Is he still there?
 12 MR. PERRY:
 13 A. He is there until the end of this year, Mr.
 14 Browne.
 15 Q. And are you--what's your status?
 16 MR. PERRY:
 17 A. I'm actually taking a new role, as well.
 18 Effective January 1st I'll be the Chief
 19 Financial Officer of Fortis.
 20 Q. As of January 1?
 21 MR. PERRY:
 22 A. Yes.
 23 Q. And is Mr. Ludlow still there?
 24 MR. PERRY:
 25 A. Yes, currently he's still there. He's -

Page 41	Page 42
<p>1 BROWNE, Q.C.: 2 Q. Is he going as well? 3 MR. PERRY: 4 A. He's doing some stints out west. It's 5 possible he may move out west, but it's not 6 finalized yet. 7 Q. And Mr. Mulcahy is still there and Mr. Alteen? 8 MR. PERRY: 9 A. Absolutely, yes, he is. And just to complete 10 the picture, Mr. Browne, as the Board would be 11 aware, Mr. Carl Smith has been appointed the 12 President and CEO as of January 1st. And the 13 Board would be familiar with Mr. Smith and I 14 think you would, as well. 15 Q. And your concern here in coming before the 16 Board is dealing basically with volatility in 17 earnings, is that your major concern? 18 MR. PERRY: 19 A. As well, no benefit to customers of the 20 Demand/Energy Rate that's being proposed. 21 Q. And in reference to your first concern, 22 volatility in earnings, how are you doing with 23 your earnings? 24 MR. PERRY: 25 A. We're doing okay this year. We're, you know,</p>	<p>1 within the range of return that the Board has 2 specified. 3 Q. Okay. And that range of return is what for 4 2003? 5 MR. PERRY: 6 A. I believe it's between something like 8.9 7 percent and 9.2 percent. 8 Q. And for 2004 is it the same? 9 MR. PERRY: 10 A. Yes. 11 Q. And what are you able to achieve on your Rate 12 of Return on Equity in reference to the 13 current Board order? 14 MR. PERRY: 15 A. Commissioners, the current order set rates 16 using 9.75 percent Return on Equity. The 17 Board also indicated to the Company that there 18 was a range of about approximately 50 basis 19 points above that 9.75 before a rate review 20 could be triggered. 21 Q. So - 22 MR. PERRY: 23 A. Or, actually, not a rate review. That's 24 probably not the right word. A review by the 25 Board could be triggered.</p>
Page 43	Page 44
<p>1 Q. So you can earn up to 10.25 percent? 2 MR. PERRY: 3 A. That's correct. 4 Q. Okay. And in reference to 2003, is that where 5 you're headed? 6 MR. PERRY: 7 A. I hope so. 8 Q. Do you have any idea? 9 MR. PERRY: 10 A. No. Mr. Browne, we're, you know, we're 11 tracing it at 9.75 to 10 range at this point 12 in time. 13 Q. And in actual earnings, in actual profit that 14 you've made up to the end of your third 15 quarter, what had your profitability been? 16 MR. PERRY: 17 A. I don't have that number off the top, Mr. 18 Browne, for the three quarters. It's public 19 information available, I just don't have it on 20 the top of my head. 21 Q. Does 24 million to 25 million sound familiar, 22 perhaps? 23 MR. PERRY: 24 A. I think it does, but I would rather just, you 25 know, if you--you know, we can give you the</p>	<p>1 number, but if you've checked it, I'll rely 2 that it's the right number. 3 Q. So you say subject to check - 4 MR. PERRY: 5 A. Yes. 6 Q. - it's not a bad estimate? In reference to 7 this volatility issue, therefore, your rate 8 right now and your rate for 2004 has been set 9 by the Board? 10 MR. PERRY: 11 A. Customer rates are set for 2003 and 2004, 12 absolutely. 13 Q. And then for 2005, 2006 and 2007 you go on the 14 Automatic Adjustment Formula, is that correct? 15 MR. PERRY: 16 A. That is correct. 17 Q. Okay. In 2003 the Board set your rate in part 18 based on the long-term Canada, is that 19 correct? 20 MR. PERRY: 21 A. Yes, that's correct. 22 Q. And the long-term Canada at the time was what, 23 do you remember that? 24 MR. PERRY: 25 A. I don't recall.</p>

Page 45

Page 46

1 BROWNE, Q.C.:
 2 Q. Does 5.6, 5.65 sound familiar?
 3 MR. PERRY:
 4 A. Yeah. I think it's actually 5.6. I was--you
 5 know. It is 5.6 was the base.
 6 Q. It is 5.6. And what is it today, the long-
 7 term Canada?
 8 MR. PERRY:
 9 A. I'd say long Canada is right now around 5.3,
 10 5.35, something like that.
 11 Q. So it's 5.3, 5.35. So based on that, your
 12 rates are set 25 basis points above the 5.60,
 13 is that correct?
 14 MR. PERRY:
 15 A. Can you repeat your question, Mr. Browne?
 16 Q. Based on that your rates are set 25 basis
 17 points above the current long-term Canada, the
 18 long-term Canada is five, I'm sorry, 5.3,
 19 three is 30 basis points, right, to 5.6?
 20 MR. PERRY:
 21 A. I wouldn't answer you--I wouldn't ask the
 22 question the way you've asked it, Mr. Browne.
 23 The rates today are 25 basis points lower than
 24 when rates were set. That's a natural thing.
 25 You know, rates are set at a point in time and

Page 47

1 something like, I think. I think it was five
 2 percent for next year and four percent for
 3 this year, if I recall correctly.
 4 Q. Would five--yeah, okay, five percent or 5.25
 5 percent, in that range?
 6 MR. PERRY:
 7 A. For 2004, yeah.
 8 Q. And do you have any idea of what the short-
 9 term interest rates are now?
 10 MR. PERRY:
 11 A. We're borrowing about, I would say, at about
 12 three and a half percent right now, three
 13 twenty-five to three and a half percent.
 14 Q. And for 2004 your rates will be set based on
 15 the forecast, the forecast of your embedded
 16 cost of short-term debt as if it were five
 17 percent despite the fact you're getting the
 18 lower figure?
 19 MR. PERRY:
 20 A. That's correct. But again, it's the natural
 21 way that rates are set. I will tell you that
 22 we have--we're gaining on--we expect, I would
 23 say, to gain some on the interest side. But I
 24 can tell you we're losing a lot on pensions
 25 and insurance costs. These things go up, some

1 the long Canadas go up, go down after they're
 2 set. But mathematically, you're right in that
 3 the current rate is about 25 basis points
 4 lower than when rates were set.
 5 Q. And that current rate will prevail for 2004,
 6 you rates will be set as if the long-term
 7 Canadas were at 5.6?
 8 MR. PERRY:
 9 A. Absolutely.
 10 Q. Despite the fact that they might be at 5.3?
 11 MR. PERRY:
 12 A. Or they might be at 5.9.
 13 Q. And also, is your--when your rates were set,
 14 they were based on your forecasting of short-
 15 term interest rates, as well?
 16 MR. PERRY:
 17 A. A certain part of our debt is forecasted to be
 18 short-term debt, so we would have had a short-
 19 term interest rate forecast as well, yes.
 20 Q. And the short-term interest rate forecast that
 21 you presented the Board with in 2003 would be
 22 what?
 23 MR. PERRY:
 24 A. I can't recall the actual number, Mr. Browne.
 25 It was probably around four percent, I think,

Page 48

1 go up, some go down and the range of Return on
 2 Rate Base is there to accommodate for those
 3 fluctuations, so that's essentially how it
 4 works. You can't set rates every day,
 5 basically. You set them for periods of time
 6 and you have a mechanism in place to monitor
 7 the returns. And obviously the Company always
 8 has the choice to come back in if things go
 9 all against it, but you know, so yes,
 10 interests, we're hopeful that we can make some
 11 gains on the short-term interest side next
 12 year because we're going to need them to
 13 offset some increases in some other areas that
 14 we have.
 15 Q. But basically in terms of volatility you have
 16 two good numbers in your favour as we sit, you
 17 have the 5.6 rate despite the fact the long-
 18 term Canadas at 5.3 and you also have the
 19 short-term, the short-term borrowing, the cost
 20 of embedded debt which you have booked in at
 21 five despite the fact it's three or below
 22 three now?
 23 MR. PERRY:
 24 A. Yeah, I agree with that. But I would also
 25 add, we have a couple that are not in our

Page 49	Page 50
<p>1 MR. PERRY: 2 favour that are very similar in size, as well. 3 BROWNE, Q.C.: 4 Q. And in terms of volatility in your 5 forecasting, how--have you been monitoring 6 your forecasting in reference to housing 7 starts and the like, how well have you been 8 doing there? 9 MR. PERRY: 10 A. I think our customer growth is about point one 11 of a percent ahead of where we had expected it 12 to be. I think point one I think is about 13 200, 200 houses or something like that. 14 Q. So you're 200 up thus far? 15 MR. PERRY: 16 A. Yeah. I think that's--if I recall correctly, 17 we're about point one of a percent ahead, so 18 220,000 customers is about 200 or so 19 customers. 20 Q. And I think I just heard in the press CMHC 21 stating that the vacancy rate for apartments 22 in the urban areas, in particular, in St. 23 John's, is at an all time low of two percent 24 or three percent. Are you familiar with that? 25 MR. PERRY:</p>	<p>1 A. I'm not. I hope that's the case. 2 Q. And if that's the case, you'd be getting the 3 benefit of that, as well? 4 MR. PERRY: 5 A. Commissioners, you know, this year the economy 6 of the island seems to be doing well, and 7 obviously Newfoundland Power, you know, 8 benefits from that and it's a positive thing. 9 We still are seeing a real split between rural 10 areas and the Avalon, that's still evident, 11 but, you know, growth is tracking slightly 12 ahead of where we had expected it to be. 13 Q. You're stating that the Demand/Energy Rate 14 would not be beneficial to consumers. Is that 15 your evidence? 16 MR. PERRY: 17 A. Yes. What we're saying is that we would-- 18 because 92 percent of all our customers are 19 domestic and small general service customers 20 where, you know, it's basic standard industry 21 practice that they're not on a Demand/Energy 22 Rate, we wouldn't change anything for those 23 customers. And when you look at the remaining 24 customers, we already have demand rates in 25 place for them, so we wouldn't change anything</p>
Page 51	Page 52
<p>1 there. So, we said it's no benefit from the 2 rate for those customers. And then when you 3 start looking at the other issues with the 4 rate, we sort of say, why would you go ahead 5 with this. 6 Q. But isn't it true that there would be a 7 positive aspect to the introduction of the 8 Demand/Energy Rate for consumers generally? 9 Do you know of any positive aspect that there 10 might be? 11 MR. PERRY: 12 A. No. One could--you know, what you keep 13 hearing is that it will send a signal to 14 Newfoundland Power to go out and do DSM, to 15 control growth in demand on the system. We 16 believe that you don't need to have a 17 Demand/Energy Rate to do that. What we need 18 is to know what is cost effective to spend on 19 DSM and at this point in time we don't have 20 that evidence; Hydro doesn't have it and the 21 Board doesn't have it. The only piece that we 22 do have is Hydro has said they have ample 23 capacity, there's no capacity issue on the 24 system and that they just turned down a--or 25 not extended a deal with Stephenville for 428</p>	<p>1 a kilowatt. So that's what we're staring at. 2 Q. We've had evidence from Mr. Greneman in this 3 proceeding. And, Mr. O'Reilly, if we can go 4 to the transcript of November 14, 2003 at page 5 21? And I asked Mr. Greneman the question at 6 line 21, "And the rates will go down because 7 there will not be as great a capital outlay?" 8 And I was speaking in reference of the 9 Demand/Energy Rate. And his answer was, "It's 10 not necessarily in the very immediate term, 11 but in the longer term it may defer the next 12 plant and therefore will eventually be a lower 13 outlay and there actually could be a present 14 worth effect of that." And then I asked him 15 again, "So with a Demand/Energy Rate we should 16 see eventually reduced capital budgetary 17 expenditures by Power and indeed by Hydro?" 18 And he says, "That would be my expectation." 19 And then I asked him, "And therefore, 20 ultimately the consumers wouldn't be paying 21 for what is not really necessary on the 22 system?" And he said, "And that's correct." 23 With a Demand/Energy Rate would you anticipate 24 your capital expenditures would come down? 25 (10:16 a.m.)</p>

Page 53	Page 54
<p>1 MR. HENDERSON:</p> <p>2 A. With a Demand/Energy rate itself, no. As</p> <p>3 we've described, and maybe Mr. Greneman really</p> <p>4 doesn't appreciate the extent to which we do</p> <p>5 this, we focus on system cost. Or rates</p> <p>6 reflect system costs. DSM needs to be</p> <p>7 evaluated based on system costs. They don't</p> <p>8 need to be evaluated against purchased power</p> <p>9 rates. Purchased power rates signal at the</p> <p>10 best of times is not going to--is only going</p> <p>11 to be an approximation of system costs. So</p> <p>12 you need to evaluate all these things against</p> <p>13 system costs. I think Mr. Greneman alluded to</p> <p>14 Newfoundland Power might make a change in its</p> <p>15 rates. It might be incentive to do some kind</p> <p>16 of DSM. I think in light of his anticipation</p> <p>17 that maybe we will be doing something because</p> <p>18 of the Demand/Energy Rate itself that there</p> <p>19 may be some long-term benefits. What we do is</p> <p>20 we focus on system costs as if we're a</p> <p>21 vertically integrated utility, you know, as if</p> <p>22 we're all one, to make sure things are</p> <p>23 optimized with regard to our customers, so as</p> <p>24 we best optimize EPCA Act, that type of stuff,</p> <p>25 right. So as a result, I don't, you know, I</p>	<p>1 don't agree, I suspect, with the premise by</p> <p>2 which Mr. Greneman is coming forward with</p> <p>3 those statements. And as far as I'm</p> <p>4 concerned, if the Board establishes some kind</p> <p>5 of process for evaluating DSM against system</p> <p>6 costs, which has never really gotten off the</p> <p>7 ground here and had, you know, had these</p> <p>8 marginal costs or has the necessary studies to</p> <p>9 do appropriate rate designs, we will get the</p> <p>10 benefits and it won't be attributed to the</p> <p>11 Demand/Energy Rate, it would be attributed to</p> <p>12 the studies that have been done.</p> <p>13 Q. In reference to your testimony, Mr. Perry, can</p> <p>14 you go to page 5 of your evidence, please, of</p> <p>15 September 2, 2003? And at line 6 you state,</p> <p>16 "The use of an energy-only rate for domestic</p> <p>17 customers and small general service customers</p> <p>18 as a common billing practice among Canadian</p> <p>19 utilities." What do you mean by that?</p> <p>20 MR. PERRY:</p> <p>21 A. Most Canadian utilities bill their customers,</p> <p>22 domestic customers on an energy-only rate.</p> <p>23 For example, Nova Scotia Power, Maritime</p> <p>24 Electric, NB Power, Hydro Quebec, Hydro 1,</p> <p>25 Ottawa Hydro, Manitoba Hydro, Sask Power,</p>
Page 55	Page 56
<p>1 ENMAX, Aquilla B.C., B.C. Hydro are all on an</p> <p>2 energy-only rate.</p> <p>3 Q. But isn't it true that these utilities, for</p> <p>4 the most part, purchase on a Demand/Energy</p> <p>5 basis?</p> <p>6 MR. HENDERSON:</p> <p>7 A. Well, if you go to how people purchase their</p> <p>8 power on the mainland, I think there is</p> <p>9 multitude of methodologies by which they</p> <p>10 purchase their power. They purchase power</p> <p>11 under long-term contracts, under a mixture of</p> <p>12 terms and conditions. They may purchase their</p> <p>13 energy requirements versus their capacity</p> <p>14 requirements separately. They--you know, I'm</p> <p>15 sure some of their rates may be a</p> <p>16 Demand/Energy Rate. But there's a plethora of</p> <p>17 ways in which a lot of utilities on the</p> <p>18 mainland purchase their power. You know, it's</p> <p>19 a very much different situation than we have</p> <p>20 here in which you have one distributor and one</p> <p>21 seller and there's only one rate out there,</p> <p>22 you know, generally speaking. I know with</p> <p>23 Maritime Electric they purchase power off New</p> <p>24 Brunswick and Nova Scotia and occasionally, I</p> <p>25 think, Maine and even Hydro Quebec at times.</p>	<p>1 So they do it, I know they purchase their</p> <p>2 energy and capacity separately. And in</p> <p>3 talking to them I understand they're paying</p> <p>4 something in the order of \$2 a kilowatt month</p> <p>5 for purchasing capacity during the winter.</p> <p>6 So, you know -</p> <p>7 MR. PERRY:</p> <p>8 A. And they also have reserves in place to</p> <p>9 mitigate volatility as well, Mr. Browne, so.</p> <p>10 Q. Yes. Because I asked all the experts who came</p> <p>11 forward here to name for me any other</p> <p>12 jurisdiction in Canada that sells power on an</p> <p>13 energy-only rate, and they came up with two, I</p> <p>14 think, which they referred to as anomalies,</p> <p>15 the Yukon and some other place close by.</p> <p>16 MR. PERRY:</p> <p>17 A. Do you mean buy power at an energy-only rate</p> <p>18 or?</p> <p>19 Q. Yes. That would be comparable to yourselves,</p> <p>20 you know. And they referred to you, I think</p> <p>21 one of the witnesses referred to Newfoundland</p> <p>22 Power as an outlier in reference to this</p> <p>23 particular matter.</p> <p>24 MR. PERRY:</p> <p>25 A. I guess -</p>

Page 57	Page 58
<p>1 BROWNE, Q.C.:</p> <p>2 Q. Now, Mr. Henderson, I notice you're answering</p> <p>3 here. You're not purporting to be a Cost of</p> <p>4 Service expert yourself, are you, just to</p> <p>5 clarify for the record?</p> <p>6 MR. HENDERSON:</p> <p>7 A. I'm quite familiar with Cost of Service. I've</p> <p>8 -</p> <p>9 Q. And I grant you that. But are you -</p> <p>10 MR. PERRY:</p> <p>11 A. He's an expert in my eyes, Mr. Browne, I know</p> <p>12 that.</p> <p>13 Q. I just want to get on the record what he's--if</p> <p>14 he's an expert, if he's purporting to be an</p> <p>15 expert. Have you been declared an expert as a</p> <p>16 Cost of Service expert in the same vein as the</p> <p>17 Mr. Bowmans and Mr. Greneman?</p> <p>18 MR. HENDERSON:</p> <p>19 A. I guess if some other utility wanted me to</p> <p>20 testify on their behalf in another</p> <p>21 jurisdiction, I'd be called an expert there.</p> <p>22 You know, I don't know how you develop the</p> <p>23 criteria as to what is an expert. I'm very</p> <p>24 familiar with the issues of Cost of Service.</p> <p>25 I've, you know, been involved in doing it for</p>	<p>1 a number of years and been on courses in the</p> <p>2 States, I've read a lot of course material,</p> <p>3 I've been obviously involved with Mr. Brockman</p> <p>4 quite a bit and he's done training courses for</p> <p>5 public utility reports or whatever, so he's an</p> <p>6 expert on it. And I guess everybody gets</p> <p>7 their training and eventually becomes somewhat</p> <p>8 of an expert on it. You know, I feel I know</p> <p>9 him fairly well.</p> <p>10 MR. PERRY:</p> <p>11 A. We don't pay him extra, Mr. Browne.</p> <p>12 Q. He should get a bit of an extra cheque, maybe</p> <p>13 in Mr. Brockman's style. But in any case, Mr.</p> <p>14 Brockman was asked that very question</p> <p>15 concerning other jurisdictions by Mr. Young.</p> <p>16 And if we can go to the transcript of November</p> <p>17 18, 2003? Mr. Brockman was your own Cost of</p> <p>18 Service expert presented in this hearing,</p> <p>19 correct?</p> <p>20 MR. HENDERSON:</p> <p>21 A. That's correct.</p> <p>22 Q. And previously in previous hearings he had</p> <p>23 presented himself on your behalf as in favour</p> <p>24 of the Demand/Energy Rate in hearings in 1990</p> <p>25 and 1992. Is that correct, Mr. Henderson?</p>
Page 59	Page 60
<p>1 MR. HENDERSON:</p> <p>2 A. That's correct.</p> <p>3 Q. But now he's come forward saying that he</p> <p>4 doesn't favour the Demand/Energy Rate but</p> <p>5 favours the energy-only rate, is that correct?</p> <p>6 MR. HENDERSON:</p> <p>7 A. That's correct.</p> <p>8 Q. Okay. And he was asked by Mr. Young in a</p> <p>9 question, November 18th, 2003 to state--and I</p> <p>10 think Mr. Young begins his--it's a long</p> <p>11 question, actually, like one of mine. On page</p> <p>12 18, line 4 he says, "Mr. Brockman, I believe</p> <p>13 you were present in the room the last few days</p> <p>14 when the rate design relationship that Hydro</p> <p>15 has with Newfoundland Power at present, being</p> <p>16 the energy-only rate has been discussed. You</p> <p>17 probably heard Mr. Patrick Bowman describe</p> <p>18 Demand/Energy Rates as the norm. You probably</p> <p>19 heard Mr. Greneman refer to energy-only rates</p> <p>20 as being an anomaly. And yesterday Mr. Doug</p> <p>21 Bowman referred to the present situation of an</p> <p>22 energy-only rate with Newfoundland Power as</p> <p>23 being an outlier, I think his term was. I'm</p> <p>24 just wondering what your sense of this is, how</p> <p>25 common are energy-only rates between</p>	<p>1 relatively large wholesale distributing</p> <p>2 utilities such as Hydro and Newfoundland</p> <p>3 Power?" And Mr. Henderson, can you read what</p> <p>4 Mr. Brockman told us in reference to this?</p> <p>5 MR. HENDERSON:</p> <p>6 A. "Well, it is true that in that sense</p> <p>7 Newfoundland is an outlier. I think I even</p> <p>8 testified to that at some point in time over</p> <p>9 the last--I can't remember all the things I've</p> <p>10 said over the last 13 years, but you are a bit</p> <p>11 of an outlier." Will I go on?</p> <p>12 Q. Sure.</p> <p>13 MR. HENDERSON:</p> <p>14 A. "Most very large customers are on</p> <p>15 Demand/Energy Rates. I would point out that</p> <p>16 sometimes when people start counting the</p> <p>17 number of jurisdictions that it entails in the</p> <p>18 U.S., it's really only one jurisdiction,</p> <p>19 that's the FERC. They regulate all the</p> <p>20 wholesale power rates. It's not like all 50</p> <p>21 states say, well, we're going to have</p> <p>22 Demand/Energy Rates. They regulate the local</p> <p>23 utilities. The FERC regulates the wholesale</p> <p>24 rates and, you know, the local jurisdictions</p>

Page 61	Page 62
<p>1 MR. HENDERSON: 2 have to deal with the volatility. This 3 particular jurisdiction is unenviable or 4 unenviable position to actually--of actually 5 regulating both the wholesale rate and the 6 retail rates. But, yes, it's fairly common. 7 Then again, Newfoundland Power's is a lot 8 different looking than most of the utilities 9 in North America in terms of its hydraulic 10 mix, as you know, in terms of being isolated, 11 and so on. But I certainly can't argue that 12 it doesn't--it's not an outlier." 13 BROWNE, Q.C.: 14 Q. Now, are you here telling us today it is--that 15 that's not correct? 16 MR. HENDERSON: 17 A. No. I agree that Demand/Energy Rates, I would 18 say probably, except for the two, distribution 19 utilities generally purchase power under 20 demand, a mixture of demand and energy rate. 21 Newfoundland Power is in somewhat of a unique 22 situation, as Mr. Brockman talks about here, 23 and, you know, unlike a lot of jurisdictions 24 in North America, I'd say we have much less 25 choice in where we purchase our power, so that</p>	<p>1 makes us unique. And the effect of which 2 utilities on the mainland are able to deal 3 with volatility because of their options, you 4 know, I can't speak to. But it just goes to 5 show that the situation in Newfoundland is 6 considerably different than you would find, 7 you know, on the North American grid. 8 Q. He mentioned in his answer there that it's on 9 account of the hydraulic mix that that would 10 be a distinguishing factor. Do you agree with 11 that, that that would be a distinguishing 12 factor that would suggest an energy-only rate 13 would be applicable for Newfoundland Power? 14 MR. HENDERSON: 15 A. I think what he's speaking to with regard to 16 hydraulic makes Newfoundland--the 17 interconnected system on Newfoundland somewhat 18 unique. You know, there's a lot of other 19 aspects that make it unique, it being isolated 20 from the North American grid and so on. With 21 regard to why we have an energy-only rate, I 22 suspect there's other unique circumstances 23 that attribute to that being a viable option 24 in Newfoundland and it's been viable, you 25 know, ever since we started purchasing off</p>
Page 63	Page 64
<p>1 Hydro back in the '60s, and it's still viable. 2 On the mainland where you probably have quite 3 a number of customers under the same rate, 4 that energy-only rate is probably not viable 5 because you have fairness concerns which arise 6 which means that you're going to have one 7 customer pitted against the other saying that 8 I'm not being allocated the right rate, I've 9 got a better load factor. Those things will 10 happen necessitating Demand/Energy Rates. 11 Newfoundland, the situation in Newfoundland is 12 unique and as a result an energy-only rate is 13 perfectly viable here. 14 Q. Now, in reference to the current situation 15 with Newfoundland Power, it's my understanding 16 that Fortis is in the process of purchasing 17 two new utilities in Canada. Is that correct, 18 Mr. Perry? 19 MR. PERRY: 20 A. Yes. 21 Q. And those utilities that they are purchasing, 22 can you name those for us? 23 MR. PERRY: 24 A. They are Aquilla British Columbia and Aquilla 25 Alberta.</p>	<p>1 Q. And these two companies, are they in fact on a 2 Demand/Energy Rate? 3 MR. PERRY: 4 A. I'll talk to B.C.. Maybe you can talk to 5 Alberta. I think Alberta--B.C., sorry, they 6 generate 50 percent of their own power. It's 7 very much a vertically integrated company. 8 And they purchase 25 percent under an energy- 9 only rate from a hydroelectric operator. And 10 then the remaining 25 percent, they purchase 11 from B.C. Hydro under a Demand/Energy Rate. 12 So they buy 25 percent of their power 13 requirements under Demand/Energy Rate and 14 there is a reserve mechanism to deal with 15 volatility for that 25 percent as well. In 16 Alberta, can you comment? I'm not - 17 MR. HENDERSON: 18 A. Alberta, all I know is that we are basically a 19 poles and wire company. We aren't a retailer. 20 Therefore, we're not responsible for the--what 21 I understand, and Barry can correct if - 22 MR. PERRY: 23 A. You're right. 24 MR. HENDERSON: 25 A. - that we're not obligated for any of the</p>

Page 65	Page 66
<p>1 MR. HENDERSON: 2 difference in costs between energy sales to 3 customers and energy purchases. The utility 4 is primarily affected by its own poles and 5 wires costs. The rates are unbundled, as a 6 result you have a substantial flow-through of 7 any purchase power costs. So with respect to- 8 -you know, I don't know to what extent it 9 actually is obligated to purchase power and 10 sell it to customers. It's a different kind 11 of arrangement.</p> <p>12 MR. PERRY: 13 A. Just to give you a sense, Mr. Browne, in my 14 understanding the Alberta operation is they 15 don't even own--they don't own any 16 transmission lines, they don't own any 17 substations. They basically own the poles, 18 the wires and the transformers on the tops of 19 the poles. That's what that company owns. 20 And it basically transmits or distributes the 21 power, I would say, for a fee, essentially is 22 what happens.</p> <p>23 BROWNE, Q.C.: 24 Q. So Fortis is out purchasing a company that has 25 a Demand/Energy Rate, at least in British</p>	<p>1 Columbia, and you're here telling us that a 2 Demand/Energy Rate would not be beneficial in 3 Newfoundland because of volatility in 4 revenues. Do you see some inconsistency in 5 that, perhaps?</p> <p>6 MR. PERRY: 7 A. No, obviously on the face of it, it's 8 inconsistent when you look at it, but you 9 know, every utility is different. Every 10 regulator has different views in most cases. 11 You know, I think when I look at the Fortis 12 Companies, they all have unique things that 13 they do and you know, it's--you know, when you 14 look at the BC company, they have 25 percent 15 of their power on demand energy. They have a 16 reserve in place. I don't know if they've 17 done marginal cost studies, for example, to 18 justify the demand charge that they're paying. 19 (10:30 a.m.) 20 What we're saying is we don't support a 21 demand/energy rate. We think that we can do 22 DSM, once we know the costs that we need to 23 spend on that, based on our marginal cost 24 studies, and we're also saying if the Board 25 decides to go down the road for a</p>
Page 67	Page 68
<p>1 demand/energy rate, then make sure it's put in 2 with the right rate, first of all, and 3 secondly, make sure that we deal with the 4 volatility issues and you know, it could be 5 put in place after that. There's a bunch of 6 other issues that have to be salted away, 7 obviously as well, but you know, we don't 8 think you have to go down that path, but if 9 you do, then do those things and we end up 10 with a demand/energy rate.</p> <p>11 Q. So in British Columbia, a company has been 12 acquired by Fortis that has a demand/energy 13 rate and you yourself in Newfoundland, 14 Newfoundland Power sells to some of its own 15 customers on demand/energy rate, does it not?</p> <p>16 MR. HENDERSON: 17 A. Yes, that's correct.</p> <p>18 Q. And how is it that it can be good for these 19 customers, but not good for the rest?</p> <p>20 MR. HENDERSON: 21 A. Because we're in the fortunate position of 22 being--we're substantially all the--we're 90 23 percent of the customers in Newfoundland. We 24 see the system costs. We don't need a 25 demand/energy rate for a pricing signal.</p>	<p>1 Customers of ours, I don't think there's 2 either one so sophisticated that they could 3 see through their rates, see what the impact 4 on their costs would be by gaining an 5 understanding of what's going on in the 6 system. As a result, they need a pricing 7 signal to control their load. For 8 Newfoundland Power, we don't have very much 9 load ourselves. The whole objective of all 10 this is to try to get customers to use their 11 electricity wisely and appropriately and the 12 pricing signals we give our customers are 13 based on the best information we have, trying 14 to balance fairness and efficiency, and that's 15 the important pricing signal is the one to, 16 you know, the end users.</p> <p>17 Q. Now, you keep mentioning the word "volatility" 18 but some of the experts that came here, didn't 19 they address that very issue, how volatility 20 can be addressed in reference to the 21 introduction of a demand/energy rate? Have 22 you been reading the transcripts at all?</p> <p>23 MR. PERRY: 24 A. Yes. It is an amazing amount of material 25 that's been put forward, Mr. Browne, on this</p>

Page 69	Page 70
<p>1 MR. PERRY: 2 topic. Yes, I hope I've read just about all 3 of it. 4 BROWNE, Q.C.: 5 Q. Because I just want to refer you to what Mr. 6 Greneman had to say on the issue of 7 volatility, because he was asked that very 8 question, and if you go to his evidence of 9 November 14, 2003, on page 14, I asked him 10 concerning volatility and volatility issues 11 and he stated that there was a number of ways 12 to mitigate the volatility on line 11 and 12 13 on page 14, and he goes on to state, "well, 14 number one, Hydro has gone a long way in 15 offering to weather normalize the demand, and 16 that goes a very large way in mitigating 17 volatility, and that is to say it's recognized 18 that there'll be colder winters, there'll be 19 warmer winters. What we're proposing to use a 20 weather normalized demand, so that goes a long 21 distance to stabilizing volatility." And I 22 gather there will still be weather 23 normalization in reference to a demand/energy 24 introduction in this jurisdiction. Is that 25 not true?</p>	<p>1 MR. PERRY: 2 A. Yes, but all the numbers we've talked about in 3 my opening comments were after weather 4 normalization. So we're assuming that weather 5 normalization occurs and there's still a 6 problem, significant problem with volatility 7 after weather normalization. 8 MR. HENDERSON: 9 A. One of the things you need to understand is 10 that the process of weather normalizing is a 11 process of doing some kind of analytical 12 exercise to figure out, within the demand, how 13 much of it is actually related to weather. 14 That calculation is very rough at best. The 15 question becomes how good of a model, how much 16 of the weather can you actually normalize out 17 of it? Hydro has a model that probably knocks 18 the variances down from plus or minus maybe 19 ten percent down to five percent. That's 20 significant, and he talks about it and I'll 21 encourage it, you know. If and when 22 Newfoundland Power and Hydro get together to 23 try to improve upon that, you know, we may be 24 able to knock it down a little bit more, but 25 knowing that our peak is dependent on load on</p>
Page 71	Page 72
<p>1 the west coast and load on the east coast and 2 load in central Newfoundland, the weather is 3 going to be different at different times 4 across the province, be warm here and cold on 5 the west coast. Trying to come up with a 6 single calculation that somehow takes weather 7 accounting for those huge number of variables 8 is going--is very difficult and the success at 9 the end of the day, from my perspective, you 10 know, I'd be quite surprised if we're able to 11 get that weather normalized down to a level 12 such that the volatility on demand is 13 comparable to volatility on energy, and from 14 what I've seen of our numbers, even if that 15 were the case, because you've moved from one 16 rate form to the other, and each one has 17 different impacts, at the end of the day, 18 you're probably still going to have this 19 volatility issue or concerns for that bottom 20 line. 21 Q. But yet we have Mr. Greneman telling us that 22 weather normalization would assist in 23 reference to that volatility. Are you saying 24 he is wrong? 25 MR. HENDERSON:</p>	<p>1 A. It will assist. It will reduce what the 2 volatility will be, but will it bring it to a 3 level that eliminates that as being a serious 4 concern to Newfoundland Power? I doubt it. 5 Q. He also goes - 6 MR. PERRY: 7 A. Mr. Browne, sorry, if I could add one comment? 8 Q. Sure. 9 MR. PERRY: 10 A. The perspective that Mr. Greneman is coming 11 from, if you just go back one page, is what I 12 mentioned earlier. Can I just go back another 13 page please? No, the perspective is he 14 considers getting down to a five million 15 dollar volatility concern as being not a 16 problem. You know, like he uses the word 17 "that's not too humongous," and I tell the 18 Board that it is. That's a big number, and 19 Newfoundland Power facing a five million 20 dollar issue because its demand, actual demand 21 was different than forecast, you know, that's 22 going to create issues, and you know, it has 23 to be--mechanisms have to be put in place if a 24 demand/energy rate is going to be implemented, 25 to deal with that volatility.</p>

Page 73	Page 74
<p>1 BROWNE, Q.C.</p> <p>2 Q. But you must have a favourable volatility now,</p> <p>3 don't you? Because you just told us</p> <p>4 previously that your rates were booked in at a</p> <p>5 long-term Canada of 5.60, even though the</p> <p>6 long-term Canada is 5.30 and your interest</p> <p>7 rates were booked in at around 5, and the</p> <p>8 short-term interest rates are below 3. So</p> <p>9 that must be giving you a couple of million</p> <p>10 dollars cushion there, wouldn't it?</p> <p>11 MR. PERRY:</p> <p>12 A. I don't agree with that number. Mr. Browne,</p> <p>13 you refuse to -</p> <p>14 Q. Would you tell us what the number might be</p> <p>15 perhaps?</p> <p>16 MR. PERRY:</p> <p>17 A. I don't know what the number is, but you</p> <p>18 refuse to add to your statements that there</p> <p>19 are other offsetting expenses that are going</p> <p>20 against those positives. That's the way it</p> <p>21 works. There are costs that go up. There are</p> <p>22 costs that go down, and there is a mechanism</p> <p>23 in place which is called a range of return on</p> <p>24 rate base that covers that off. Rates are set</p> <p>25 at a point in time. They're not set every</p>	<p>1 day, and you know, that's how it works.</p> <p>2 Q. Mr. Greneman also mentioned that the rate</p> <p>3 stabilization plan would assist in any initial</p> <p>4 volatility. Do you agree with that, Mr.</p> <p>5 Henderson?</p> <p>6 MR. HENDERSON:</p> <p>7 A. Can you take me to that in his testimony, just</p> <p>8 so as I understand the context?</p> <p>9 Q. Sure. Same page. Well, we can go down over</p> <p>10 it all actually, what he said. It's very</p> <p>11 interesting. It's on page 14, line 20, I was</p> <p>12 reading from where he mentioned weather</p> <p>13 normalized demand, and then he begins at line</p> <p>14 21, page 14, "in addition, the volatility that</p> <p>15 NP has shown in their evidence is based upon a</p> <p>16 plus and minus five percent deviation. That</p> <p>17 was really a rounded number. Within the</p> <p>18 recent history actually, the maximum deviation</p> <p>19 has been in the order of 3.6 percent. It was</p> <p>20 just rounded up to five percent as a whole</p> <p>21 number." Is that correct, by the way?</p> <p>22 MR. HENDERSON:</p> <p>23 A. With respect to--when I look back historically</p> <p>24 at our forecast versus actuals, there's a huge</p> <p>25 amount of volatility that has occurred over</p>
Page 75	Page 76
<p>1 the last number of years. It's up and down</p> <p>2 and up and down and as a result, it becomes</p> <p>3 very difficult to try to say what is the</p> <p>4 likelihood of it being within a certain range.</p> <p>5 The plus or minus five percent figure, I took</p> <p>6 a look at variances that suggest that the</p> <p>7 total range is somewhere around 11 percent.</p> <p>8 Taking half of that, you're talking about plus</p> <p>9 or minus five percent.</p> <p>10 Q. So Mr. Greneman isn't correct?</p> <p>11 MR. HENDERSON:</p> <p>12 A. Depending on the period you take, it could</p> <p>13 possibly be as low as 3.6, but you know, from</p> <p>14 what I've seen of the volatility numbers, at</p> <p>15 3.6 percent, you know, even if you're to try</p> <p>16 to--you know, just said that that was a</p> <p>17 reasonable interpretation of what the</p> <p>18 volatility is, it's still going to be well in</p> <p>19 excess of what, you know, our returns, our</p> <p>20 range is. So it's still going to be a</p> <p>21 problem, whether it's 3.6 or 5 percent.</p> <p>22 Q. So are you taking exception to what Mr.</p> <p>23 Greneman has said, that you've in fact rounded</p> <p>24 up to 5 percent from 3.6 percent?</p> <p>25 MR. HENDERSON:</p>	<p>1 A. I don't -</p> <p>2 Q. Is Mr. Greneman wrong in informing the Board</p> <p>3 of that?</p> <p>4 MR. HENDERSON:</p> <p>5 A. I don't know the basis for Mr. Greneman's or</p> <p>6 Hydro's calculation of plus or minus five</p> <p>7 percent, nor the 3.6 percent that Mr. Greneman</p> <p>8 talks about. So I can't speak to it.</p> <p>9 MR. PERRY:</p> <p>10 A. I want to just make sure the Board understands</p> <p>11 that point, you know. This is an answer that</p> <p>12 Hydro gave, in terms of the plus or minus five</p> <p>13 percent. They calculated the number. Mr.</p> <p>14 Greneman, their expert witness, obviously came</p> <p>15 up with another number and I think even</p> <p>16 subsequent to that, Mr. Banfield discussed</p> <p>17 this issue in the range of five percent after</p> <p>18 Mr. Greneman was on the stand. So, you know,</p> <p>19 5 percent, 3.6 percent, doesn't really matter.</p> <p>20 It's still a big number, and it's too big and</p> <p>21 has to be dealt with by the Board, in terms of</p> <p>22 if they're going to go down the path of demand</p> <p>23 energy, appropriate reserve or some other</p> <p>24 mechanism to deal with the volatility.</p> <p>25 Q. And we were headed toward what he said about</p>

Page 77	Page 78
<p>1 BROWNE, Q.C.: 2 the rate stabilization plan, and if we can 3 continue on there. He goes on to state, 4 concerning the range, line 11, that "earnings 5 range has been negotiated based upon two 6 conditions. One of them was the fact that 7 they would be served under an energy only rate 8 and there was a decreased level of volatility. 9 The other one is the fact that there was a 10 load variation component in Hydro's rates and 11 they had RSA as well, so when their range of 12 allowed earnings is viewed in the context of 13 the energy only rate and viewed in the context 14 of the rate stabilization plan, it would, in a 15 sense, make sense." Is he in fact suggesting 16 that the rate stabilization plan would reduce 17 volatility? Would you say that, Mr. 18 Henderson? 19 MR. HENDERSON: 20 A. The rate stabilization plan, the way the 21 mechanism works is that Hydro has this rate 22 stabilization plan and that is an annual 23 adjustment that flows through Newfoundland 24 Power's RSA account to our customers. So the 25 RSP plan itself does not affect Newfoundland</p>	<p>1 Power's income statement. So as a result, it 2 is immaterial from that perspective. It 3 certainly flows Hydro's costs through to our 4 customers. There's no question about that. 5 So the RSP in of itself doesn't stabilize 6 volatility for Newfoundland Power. We have - 7 Q. But it does - 8 MR. HENDERSON: 9 A. - we have weather normalization, which 10 stabilizes our purchase power expense to some 11 extent, and our RSA, we flow through municipal 12 tax adjustments. There's a couple of other 13 little small things that tend to reduce 14 volatility and there's no question that the 15 range that has been set for Newfoundland Power 16 is based in the context that all these things 17 exist, therefore a certain level of volatility 18 exists, therefore the range is what it is. 19 Q. How do you assist customers currently in 20 reference to volatility in rates? Do you have 21 any plans in effect that will assist customers 22 there? 23 MR. HENDERSON: 24 A. I'm trying to understand what you mean by 25 volatility. Customers -</p>
Page 79	Page 80
<p>1 Q. Well, if we look at volatility in customers' 2 rates, you people have testified here this 3 morning that if you allow the demand energy 4 charge, there will be volatility in customers' 5 rates. Haven't you told us that? 6 MR. HENDERSON: 7 A. That is correct. 8 Q. Okay. How do you deal with volatility in 9 customers' rates currently? Don't you have an 10 equal payment plan or something like that so 11 that - 12 MR. PERRY: 13 A. No. 14 Q. - customers can opt in to a set rate each 15 month? 16 MR. PERRY: 17 A. What we're saying, Mr. Browne, is the existing 18 energy only volatility of approximately 19 \$900,000 is of a size that we can deal with it 20 within the range of return on rate base. 21 There's a \$2 million upside and downside on 22 that range right now. The volatility on the 23 energy only rate could take up as much as 24 approximately half of that. So you know, we 25 deal with that and customer rates are not</p>	<p>1 impacted. You know, that's our position on 2 that, but the demand rate will create much 3 more volatility and what we're saying is it 4 would cause us to have to apply for relief 5 from the Board. There'd have to be a reserve 6 mechanism, so customer rates will be impacted 7 and will maybe go up in one year. The next 8 year, they may go down. So you're going to 9 have this yo-yo effect on rates. 10 Q. Sure, but other utilities across the country 11 have been dealing with this for years, haven't 12 they, they're on a demand/energy rate? 13 (10:45 a.m.) 14 MR. PERRY: 15 A. The ones that I--the one I have looked at in 16 BC obviously has a reserve, so it mitigates 17 the volatility and Maritime Electric, I think, 18 picks up 90 percent--90 percent of the 19 forecast variance is flowed back to customers 20 and there's a 10 percent of it that they 21 absorb. So you know, again, it brings the 22 number down to a sizable number that the 23 utility can deal with. There is no such 24 proposal in front of the Board for the Hydro 25 rate to do that for Newfoundland Power.</p>

Page 81	Page 82
<p>1 MR. PERRY:</p> <p>2 Essentially Hydro said we'll take care of</p> <p>3 ourselves by putting this demand floor in</p> <p>4 place, and Newfoundland Power, you do what you</p> <p>5 want to do. They sort of washed their hands</p> <p>6 of it, you know.</p> <p>7 BROWNE, Q.C.:</p> <p>8 Q. But they can't manage the enterprise for you.</p> <p>9 Certainly you're not suggesting Hydro should</p> <p>10 come forward and inform you how you will react</p> <p>11 to the imposition of a demand/energy rate. I</p> <p>12 could hear the screams now.</p> <p>13 MR. PERRY:</p> <p>14 A. Mr. Browne, I think that's absolutely</p> <p>15 incorrect. The two utilities deal with each</p> <p>16 other every day. We believe that the best</p> <p>17 approach for this would have been a</p> <p>18 coordinated approach between the two utilities</p> <p>19 to design a solution, if one needed to be</p> <p>20 designed for this. We think what needs to</p> <p>21 happen is do the long-run marginal cost</p> <p>22 studies, retail rate design studies, then</p> <p>23 there can be a discussion with the Board</p> <p>24 whether a demand/energy rate is appropriate.</p> <p>25 Our position will be that we don't think so,</p>	<p>1 but if the Board decides to go that way, it'll</p> <p>2 have the right information on what the right</p> <p>3 rate should be and we can put the appropriate</p> <p>4 mechanisms in place to deal with volatility.</p> <p>5 We think that's a reasonable approach.</p> <p>6 Q. Haven't you had every opportunity to work with</p> <p>7 Hydro in the past to deal with a demand/energy</p> <p>8 rate? In fact, wasn't there an existing order</p> <p>9 of this Board, stemming from previous</p> <p>10 decisions, to have the two utilities work</p> <p>11 together in reference to the introduction of</p> <p>12 demand/energy rate? Do you know of anything</p> <p>13 like that? Mr. Henderson, you recall that?</p> <p>14 MR. HENDERSON:</p> <p>15 A. Yes, we have looked at it in the past and the</p> <p>16 reason why it eventually, as far as I'm</p> <p>17 concerned, the reason why it faltered was</p> <p>18 because of this volatility issue and the</p> <p>19 consequence that whatever we do is not going</p> <p>20 to improve things for customers, then why do</p> <p>21 it? At the last hearing, I think we both came</p> <p>22 forward saying it's not necessary, it's not</p> <p>23 required, it's not going to achieve anything.</p> <p>24 Q. And what was the reason you said that? Didn't</p> <p>25 you write a letter to the Board after their</p>
Page 83	Page 84
<p>1 last direction telling you to get together on</p> <p>2 the demand/energy rate? Newfoundland Hydro,</p> <p>3 or Newfoundland Power, under Mr. Gerard Hayes'</p> <p>4 signature, wrote the Board stating that it was</p> <p>5 no longer necessary to pursue this because it</p> <p>6 would impact on the revenue requirements for</p> <p>7 the utilities. Do you have any recollection</p> <p>8 of that?</p> <p>9 MR. HENDERSON:</p> <p>10 A. I know, before the last--we wrote Hydro, we</p> <p>11 had discussions with Hydro and we wrote Hydro</p> <p>12 a letter indicating that an energy only rate</p> <p>13 was most appropriate.</p> <p>14 Q. And now you want to come forward and you're</p> <p>15 suggesting to the Board, despite the fact</p> <p>16 we've been dealing with this issue since 1989</p> <p>17 and you've had opportunities in the past to</p> <p>18 deal with the issue, of suggesting that you be</p> <p>19 given more opportunity to do further studies?</p> <p>20 Where is that going to get us ultimately, sir?</p> <p>21 MR. HENDERSON:</p> <p>22 A. I think the reality of it is that we've come</p> <p>23 through an impasse. We've come through and</p> <p>24 impasse probably, I don't know, maybe four</p> <p>25 years ago. There certainly seems to be an</p>	<p>1 impasse at the last hearing in that--well, at</p> <p>2 the last hearing, I suspect there was not</p> <p>3 sufficient evidence presented for the Board to</p> <p>4 make a decision. Now we're at an impasse at</p> <p>5 this point in time and the Board's going to</p> <p>6 have to adjudicate as to whether they think</p> <p>7 there's sufficient benefits in a demand/energy</p> <p>8 rate to offset the impact of volatility and</p> <p>9 that it's something that's worth going ahead.</p> <p>10 We're stating our position; obviously the</p> <p>11 other parties are stating their position.</p> <p>12 There's no question that at this point in</p> <p>13 time, I'm really not sure if negotiation</p> <p>14 without any firm direction from the Board is</p> <p>15 going to achieve anything.</p> <p>16 MR. PERRY:</p> <p>17 A. Mr. Browne, clearly, our position, and I'll</p> <p>18 state it again, is that we still believe the</p> <p>19 Board does not have sufficient evidence before</p> <p>20 it to make a decision on this rate. It does</p> <p>21 not know what the long-run marginal cost of</p> <p>22 capacity is on the system. Hydro's asking the</p> <p>23 Board to give Newfoundland Power a signal to</p> <p>24 spend \$84.00 a kilowatt on demand side</p> <p>25 management programs when it knows right now</p>

Page 85	Page 86
<p>1 MR. PERRY:</p> <p>2 that it can go and, maybe the price has gone</p> <p>3 up from the Industrials now, but it could have</p> <p>4 extended a contract with Stephenville at</p> <p>5 probably \$28.00. So the logic of Newfoundland</p> <p>6 Power going out and spending \$84.00 on water</p> <p>7 heater control programs when you know you can</p> <p>8 access 46 megawatts for sure, maybe another 50</p> <p>9 at Grand Falls, maybe another 50 at Corner</p> <p>10 Brook Pulp and Paper, it's very simple there.</p> <p>11 They have refiner lines, big motors. They</p> <p>12 switch them off; they store the pulp in their</p> <p>13 pulp tanks, and off you go. At one hour's</p> <p>14 notice, you know, they can do it. It boggles</p> <p>15 my mind that there's this discussion about 84</p> <p>16 and 28.</p> <p>17 BROWNE, Q.C.:</p> <p>18 Q. Isn't it true that experts have testified</p> <p>19 before this Board that there's no requirement</p> <p>20 for a marginal cost study prior to the</p> <p>21 implementation of demand/energy rate?</p> <p>22 MR. HENDERSON:</p> <p>23 A. I think what they all stated is that it is not</p> <p>24 necessary, you know. Newfoundland Power right</p> <p>25 now develops its rates in the absence of this</p>	<p>1 information which we'd like to have. So I'm</p> <p>2 sure it's very possible that you could come up</p> <p>3 with a rate. Is it a good rate? Is it going</p> <p>4 to give you--can it purport to be efficient?</p> <p>5 I think there's significant problems with it</p> <p>6 purporting to be efficient. I know people say</p> <p>7 it reflects embedded costs, therefore it may</p> <p>8 be even considered fair, but as we've</p> <p>9 discussed, I don't think there's any</p> <p>10 particular fairness issues with the current</p> <p>11 energy only rate.</p> <p>12 MR. PERRY:</p> <p>13 A. Mr. Browne, I'll go a little further. I think</p> <p>14 it's foolhardy. I think that--I'm not an</p> <p>15 expert here, but to put a rate in willy nilly,</p> <p>16 I know it's based on embedded costs, but what</p> <p>17 is that? When you know you can do a study,</p> <p>18 come up with the right number, have the right</p> <p>19 information before the Board and the Board can</p> <p>20 say "okay, Newfoundland Power, this is the</p> <p>21 signal that you're getting. This is what</p> <p>22 you're going to be measured on, on DSM</p> <p>23 programs. We don't want you out there</p> <p>24 spending money that you don't need to spend."</p> <p>25 You know, it all ends up impacting customers.</p>
Page 87	Page 88
<p>1 And I think it's a bit foolhardy, frankly,</p> <p>2 that we'd go forward without knowing what the</p> <p>3 right number is.</p> <p>4 Q. Yet all the experts have come forward, with</p> <p>5 the exception of your own, advising the Board</p> <p>6 that it is appropriate thing to do. Are you</p> <p>7 describing them as being foolhardy?</p> <p>8 MR. PERRY:</p> <p>9 A. Well, that's what boggles my mind. I wouldn't</p> <p>10 say they're foolhardy. I don't want to use</p> <p>11 that word, but I interpret it, when I see</p> <p>12 what's in front of the company and what we're</p> <p>13 being asked to do, unless the Board, as soon</p> <p>14 as it writes the Order, that yes, the demand/</p> <p>15 energy rate is \$84.00 and Newfoundland Power,</p> <p>16 you can't spend \$84.00, unless that's the next</p> <p>17 sentence they write, they you got to ask</p> <p>18 yourself why was it put in place in the first</p> <p>19 place. You know, I think that's why I</p> <p>20 conclude it's foolhardy.</p> <p>21 MR. HENDERSON:</p> <p>22 A. One other comment I'd like to add on it is</p> <p>23 that Mr. Bowman at the last 2001 GRA mentioned</p> <p>24 that you need to have marginal -</p> <p>25 Q. Which Mr. Bowman?</p>	<p>1 MR. HENDERSON:</p> <p>2 A. Sorry, Doug Bowman argued that you needed to</p> <p>3 have marginal cost before you did a wholesale</p> <p>4 rate. At the latest hearing, they're saying</p> <p>5 that well, you should go ahead with it anyway.</p> <p>6 Do the study, and then tweak it or adjust it</p> <p>7 afterwards, and I think pretty well every</p> <p>8 expert has said well, marginal cost is</p> <p>9 important for efficiency and you then tweak in</p> <p>10 the rate afterwards and I'm concerned that</p> <p>11 what they call tweaking is something that</p> <p>12 could be very substantial and as a result, I</p> <p>13 don't particularly see that the rate theory or</p> <p>14 anything along that line is inconsistent</p> <p>15 between the various experts, just but all the</p> <p>16 experts--a lot of the experts are saying</p> <p>17 you've got enough information that you can do</p> <p>18 a rate, but I think, in general you can</p> <p>19 foresee reading between the lines that they</p> <p>20 all acknowledge that in order for to ensure</p> <p>21 the rate's efficient, you need marginal cost</p> <p>22 and you need to reflect that in the rate.</p> <p>23 Q. Isn't it true that Newfoundland Power likes</p> <p>24 business as usual, the energy only rate</p> <p>25 certainly in reference to the revenue</p>

Page 89	Page 90
<p>1 BROWNE, Q.C.:</p> <p>2 requirements, don't disturb what we have now?</p> <p>3 Isn't it true that you're really here</p> <p>4 advocating the comfortable pew approach?</p> <p>5 MR. PERRY:</p> <p>6 A. No, that's not correct. We've been--you know,</p> <p>7 obviously this demand/energy rate impacts the</p> <p>8 company, impacts our customers. We're</p> <p>9 representing our customers and the company</p> <p>10 here and clearly, if the Board decides to go</p> <p>11 down the demand/energy rate, we will work with</p> <p>12 Hydro and the Board. We would hope that there</p> <p>13 would be a reserve mechanism put in place, you</p> <p>14 know. Clearly that's how we would conduct our</p> <p>15 affairs. So Mr. Browne, you know, I think</p> <p>16 we're putting our views forward. That's all</p> <p>17 we're doing.</p> <p>18 Q. Okay. Thank you for that. It's nearly 11:00.</p> <p>19 I'm moving into another area. Can we take a</p> <p>20 break now, Mr. Chairman?</p> <p>21 CHAIRMAN:</p> <p>22 Q. Sure. We'll take a half hour break now until</p> <p>23 25 after, please.</p> <p>24 (BREAK - 10:55 A.M.)</p> <p>25 (RESUME - 11:28 A.M.)</p>	<p>1 CHAIRMAN:</p> <p>2 Q. Ready, Mr. Perry and Mr. Henderson.</p> <p>3 MR. PERRY:</p> <p>4 A. Yes.</p> <p>5 CHAIRMAN:</p> <p>6 Q. When you're ready, Mr. Browne, please.</p> <p>7 BROWNE, Q.C.:</p> <p>8 Q. Thank you. There's just one other area I wish</p> <p>9 to explore with the witnesses. Can we go to</p> <p>10 NLH-217 NP? There was a question posed in</p> <p>11 reference to your hydraulic generating</p> <p>12 facilities and you state that Newfoundland</p> <p>13 Power will continue to operate its hydraulic</p> <p>14 generating facilities in the best interest of</p> <p>15 the overall system, and then you state, at</p> <p>16 line 16, "it is Newfoundland Power's position</p> <p>17 that the sample rate proposed by Hydro</p> <p>18 provides an incentive for the management of</p> <p>19 generation facilities that is contrary to</p> <p>20 Section 3.B(i) of The Electrical Power Control</p> <p>21 Act and is therefore inappropriate." Now how</p> <p>22 does Newfoundland Power ensure that it is</p> <p>23 operating its generating facilities in the</p> <p>24 best interest of the overall system and in</p> <p>25 accordance with the Act? How do you do that</p>
Page 91	Page 92
<p>1 now?</p> <p>2 MR. HENDERSON:</p> <p>3 A. Primarily through coordination with Hydro. We</p> <p>4 talk to Hydro regularly about, you know, how</p> <p>5 our generation can be utilized for the overall</p> <p>6 system benefit to minimize costs. Hydro is</p> <p>7 obviously responsible for generation dispatch</p> <p>8 and such, so they're by far the people who are</p> <p>9 managing the--keeping the system operating as</p> <p>10 efficiently as it can. So it's primarily</p> <p>11 through coordination with Newfoundland Hydro.</p> <p>12 Q. Are there occasions now when Newfoundland</p> <p>13 Power is not operating its facilities in</p> <p>14 accordance with the Act?</p> <p>15 MR. HENDERSON:</p> <p>16 A. Not that we know of.</p> <p>17 Q. In reference to the proposed demand energy</p> <p>18 charge, what exactly is Newfoundland Power</p> <p>19 suggesting therefore in reference to its</p> <p>20 generation facilities?</p> <p>21 MR. HENDERSON:</p> <p>22 A. Newfoundland Power's concern is with the</p> <p>23 design of the sample rate. The sample rate</p> <p>24 itself contains a two-block rate in which the</p> <p>25 first block is significantly below the</p>	<p>1 marginal cost of Holyrood and also, seeing</p> <p>2 that seasonal cost difference would encourage</p> <p>3 anyone under that charge to shift their</p> <p>4 production from summer to winter.</p> <p>5 Q. Encourage who?</p> <p>6 A. It will -</p> <p>7 Q. What are you suggesting here?</p> <p>8 A. It will encourage us. Now the signal itself,</p> <p>9 what will Newfoundland Power do in response to</p> <p>10 it? We recognize that it's not an efficient</p> <p>11 thing to do, to shift things. We also</p> <p>12 recognize that the cost differences on the</p> <p>13 system are the same all year round for energy</p> <p>14 costs. It's primarily Holyrood fuel costs.</p> <p>15 And as a result, we know to the system there's</p> <p>16 no benefit in shifting things. Also, the way</p> <p>17 the RSP is set up, if we go and shift costs,</p> <p>18 we may save Newfoundland Power some money on</p> <p>19 the bottom line, but the reduction in revenue</p> <p>20 that Hydro sees because Newfoundland Power is</p> <p>21 able to shift some generation around will</p> <p>22 result in Hydro taking money out of the RSP to</p> <p>23 make up for it and charging it to our</p> <p>24 customers. So our customer is going to not</p> <p>25 benefit from it. So it's certainly not</p>

Page 93	Page 94
<p>1 MR. HENDERSON: 2 something we are going to do to--we are not 3 going to go out and shift our load for this 4 purpose, but the fact that the signal is 5 there, the fact that the signal is 6 inconsistent with system costs, all those 7 things make that an inappropriate signal. 8 BROWNE, Q.C.: 9 Q. You're not suggesting--I think one of the 10 witnesses, when he answered about that, used 11 the term "gaming the system." You're not 12 suggesting that Newfoundland Power will be 13 gaming the system through its generation 14 facilities on account of the introduction of 15 the demand energy charge? 16 MR. HENDERSON: 17 A. No, there's--you know - 18 MR. PERRY: 19 A. We don't--no, Mr. Browne, clearly not. All 20 we're saying is that the rate that's being 21 suggested or put forward incents generation to 22 occur in the wintertime because that's when 23 you'd pay more for purchased power, and that's 24 going to cause--could cause, you know, on the 25 face of it, to go into the winter with more</p>	<p>1 water in reservoirs and given the nature of 2 the weather, especially on the Avalon 3 Peninsula, you know, winter time is when you 4 get a lot of precipitation. It could cause-- 5 if you're going in full reservoirs, it could 6 cause more spillage on the system. We're 7 saying why would you ever put a rate in place 8 that encourages that to happen? We're not 9 going to do it, but like, why would you go 10 there in the first place? That's all that 11 we're talking about here, and clearly, we've 12 been going around in circles on this a little 13 bit. I'll say on the record, we're not going 14 to do it. But you know, why the Board would 15 approve the rate in the first place that sort 16 of suggests that's what should be done, we 17 have some problems with. 18 Q. And it's true that your facilities have a 19 relatively large amount of storage, don't 20 they, the generation facilities, with the 21 exception of Rose Blanche? 22 MR. HENDERSON: 23 A. I wouldn't describe them as large. We have 90 24 gigawatt hours relative to annual production 25 of 400.</p>
Page 95	Page 96
<p>1 MR. PERRY: 2 A. 400 or so, yes. 3 MR. HENDERSON: 4 A. So you're talking about production of--storage 5 of maybe a quarter. Hang on now. 6 MR. PERRY: 7 A. Yes, about one quarter of annual production is 8 what we could at any point in time have in 9 storage if all the systems around the island 10 were full at the same time, which rarely 11 happens. 12 MR. HENDERSON: 13 A. Now Hydro's storage is probably in the order 14 of 50 percent. That's a guess. I'm not quite 15 sure exactly what it is, but it's 16 substantially greater. So you know, 17 Newfoundland Power has a mixture of run-of- 18 rivers and plants with a certain degree of 19 storage, but we don't have a whole lot of 20 storage. 21 Q. Because Ms. Richter, when she was testifying, 22 and we can go to her evidence on October 28th, 23 2003 at page 19. Do you know who Ms. Richter 24 is, Mr. Henderson? 25 MR. HENDERSON:</p>	<p>1 A. Yes, I do. 2 Q. And who is she? 3 MR. HENDERSON: 4 A. She is the consultant that--a consultant with 5 Acres who did a hydrology study for Hydro and 6 I think prior to that, did a study for 7 Newfoundland Power also. 8 Q. So she's familiar with your facilities? 9 MR. HENDERSON: 10 A. She'd be familiar with our facilities, yes. 11 Q. October 28th, 2003, got the right date there, 12 Mr. O'Reilly? Okay. If we can go to page 19? 13 And there the question was asked of Ms. 14 Richter, at line 10, "I think Newfoundland 15 Power estimates its spillage represents less 16 than one percent of its normalized energy 17 requirements. Is that a high amount?" and her 18 response was "well, that's a relatively low 19 amount, and I think in the case of 20 Newfoundland Power, it's attributable to the 21 fact that many of their developments were 22 sized to provide reliable electricity and 23 therefore they have relatively large amounts 24 of storage." You don't agree with her on 25 that, Mr. Henderson?</p>

Page 97

Page 98

1 MR. HENDERSON:

2 A. She's obviously much more expert than me on
3 this. I think she's obviously comparing
4 ourselves to a run-of-river plant that, you
5 know, I think Abitibi probably has a plant
6 that has a tremendous amount of spillage
7 associated with it, but if in her judgment she
8 considers it a large amount of storage, she
9 can consider it. I accept that. From my
10 perspective, our storage is significantly less
11 than Newfoundland Hydro's and we do have a
12 significant number of generators that are run
13 of the river, you know, which does attribute
14 to a certain degree of spill, but there's no
15 question we do have storage and the storage
16 can be managed in a manner to minimize spill.
17 If she wants to call it large amounts of
18 storage, I'll accept that.

19 MR. PERRY:

20 A. Mr. Browne, it's simply our position is Bay
21 D'Esper is large storage, you know, that's
22 massive storage. We're talking about Mobile,
23 Tors Cove. These are little ponds around the
24 Avalon Peninsula that are in no way in
25 comparison to anything that Hydro would have

1 in their large generation.

2 BROWNE, Q.C.:

3 Q. In your opinion, Mr. Perry, would it be better
4 and more efficient if Hydro took over all the
5 generation in the province?

6 MR. PERRY:

7 A. I don't think so. I think that, you know,
8 most of these plants are remotely operated as
9 they are. We coordinate with Hydro very well
10 on the plants. I don't see a huge amount of
11 savings in putting them under one roof at this
12 point in time. I just don't see that.

13 Q. Thank you, Mr. Perry and Mr. Henderson. Thank
14 you.

15 CHAIRMAN:

16 Q. Thank you, Mr. Browne, Mr. Perry and
17 Henderson. We'll move now to--good morning,
18 Mr. Hutchings.

19 HUTCHINGS, Q.C.:

20 Q. Good morning, Mr. Chair. Good morning, Mr.
21 Perry and Mr. Henderson.

22 MR. PERRY:

23 A. Morning.

24 MR. HENDERSON:

25 A. Good morning.

Page 99

Page 100

1 Q. I had a few questions as well on the last
2 subject that Mr. Browne was dealing with and
3 maybe we should look at Schedule 2 to Mr.
4 Haynes' evidence, so we can just confirm that
5 we're talking about the same numbers here.
6 Okay, if we could just highlight the customer
7 generation section there, second block on the
8 page. Yes, okay. So that shows Newfoundland
9 Power's hydroelectric capacity at 93. 2
10 megawatts and annual average energy at 424
11 gigawatt hours. Does that sound about right?

12 MR. HENDERSON:

13 A. Yes.

14 Q. Okay. And there's a firm annual energy shown
15 of 323. What criteria do you use to determine
16 your firm annual energy?

17 MR. HENDERSON:

18 A. From what I understand, and maybe it could be
19 subject to check, but from what I understand,
20 that firm criteria came out of the study that
21 Acres recently did and was probably based on
22 available information--was based on basically
23 around 30 years of historical data that was
24 available.

25 Q. Okay. And is this something like the three

1 driest years, three consecutive driest years
2 criteria that Hydro uses or do you know?

3 MR. HENDERSON:

4 A. I don't know.

5 Q. Okay. And in contrast to Hydro's facilities,
6 I take it that essentially each and everyone
7 of your plants are independent in the sense
8 that none of them share a reservoir?

9 MR. HENDERSON:

10 A. We do have some that shares reservoirs. We
11 have--down on the Southern Shore, we have a
12 small plant at Lourdes that feeds now into, I
13 think, it's Mobile. To the best of my
14 knowledge, it's probably the only one.

15 Q. And just by way of comparison, if we were to
16 look at Mr. Haynes' Schedule 4, the total
17 system energy storage there, maximum operating
18 level, the top line, just to put in context
19 your question earlier on, is sometimes in
20 excess of 2500 gigawatt hours?

21 MR. HENDERSON:

22 A. That's what it shows here, yes.

23 Q. Yes. And that's well--it's, in fact, over 50
24 percent of the average annual energy that
25 Hydro produces hydroelectrically, yes, okay.

Page 101	Page 102
<p>1 HUTCHINGS, Q.C.:</p> <p>2 Do you utilize anything like this system</p> <p>3 energy storage curve that Hydro uses?</p> <p>4 MR. HENDERSON:</p> <p>5 A. You know, I know there's certain guide curves</p> <p>6 used for hydro generation. As far as</p> <p>7 reporting storage levels on an aggregate basis</p> <p>8 like this, I'm not familiar with it.</p> <p>9 Q. Okay.</p> <p>10 MR. HENDERSON:</p> <p>11 A. We may.</p> <p>12 Q. And what are the operating guidelines for your</p> <p>13 hydraulic plants? What terms and conditions</p> <p>14 or guidelines do you follow for regulating</p> <p>15 their operation?</p> <p>16 MR. HENDERSON:</p> <p>17 A. I'd have to say I'm really not expert in that</p> <p>18 area. I really don't know of any formal</p> <p>19 guidelines that we have. I'm just not</p> <p>20 familiar with it.</p> <p>21 Q. Okay. I mean, you've told us that obviously</p> <p>22 you want to minimize spillage. I mean, are</p> <p>23 there any other guidelines that you have or</p> <p>24 you're not aware?</p> <p>25 MR. HENDERSON:</p>	<p>1 A. From what I understand is we maximize</p> <p>2 availability of our hydraulic generation</p> <p>3 during the winter season, during the peak</p> <p>4 periods during the winter season.</p> <p>5 MR. PERRY:</p> <p>6 A. For example, Hydro called upon us last week</p> <p>7 during the storm and we delivered 82 megawatts</p> <p>8 of capacity during the storm, which I think is</p> <p>9 exactly what they've included in their</p> <p>10 assumptions that they would get from us in</p> <p>11 that situation. So you know, in this time of</p> <p>12 year, going into the winter time, we make sure</p> <p>13 that we can do that, if called upon by Hydro.</p> <p>14 Q. Okay. And I'm assuming that the production</p> <p>15 from these plants is essentially year round,</p> <p>16 is it?</p> <p>17 MR. HENDERSON:</p> <p>18 A. Yes. You know, during the summer when there's</p> <p>19 very little water, obviously the amount of</p> <p>20 kilowatt hour production in the run of a month</p> <p>21 is less than it would be in our wet time</p> <p>22 period, but you know, they are available to</p> <p>23 run all year round.</p> <p>24 Q. And this production is localized to your</p> <p>25 service areas, I presume?</p>
Page 103	Page 104
<p>1 MR. HENDERSON:</p> <p>2 A. All of our generation connects to Newfoundland</p> <p>3 Power's transmission or distribution line.</p> <p>4 Q. Yes, okay.</p> <p>5 MR. PERRY:</p> <p>6 A. And that's essentially historically based</p> <p>7 because, you know, we were here long before</p> <p>8 Hydro was and plants were built around the</p> <p>9 service of customers in those areas.</p> <p>10 Q. Yes, okay. In terms of your power purchases,</p> <p>11 how are your demands upon the Newfoundland and</p> <p>12 Labrador Hydro system affected by production</p> <p>13 at your own hydraulic facilities?</p> <p>14 MR. HENDERSON:</p> <p>15 A. Our hydraulic production, you know, reduces</p> <p>16 the demand requirements that are on Hydro's</p> <p>17 system, similar to our thermal generation</p> <p>18 being available reduces, you know, what Hydro</p> <p>19 needs to have on their system.</p> <p>20 Q. Yes. So when you provide a forecast to</p> <p>21 Newfoundland and Labrador Hydro, how do you</p> <p>22 treat your own hydraulic production?</p> <p>23 MR. HENDERSON:</p> <p>24 A. Our forecast to Hydro is primarily focused on</p> <p>25 Newfoundland Power's native peak. It also</p>	<p>1 provides information on the amount of</p> <p>2 generation available, which would be, you</p> <p>3 know, 81.6 for hydraulic and I can't think of</p> <p>4 the figure right off the top of my head for</p> <p>5 thermal, but both of those, you know, elements</p> <p>6 are factored into it. In our actual forecast</p> <p>7 that we give Hydro, we have a schedule that</p> <p>8 has here's the native peak, and we would also,</p> <p>9 on that schedule, show here's available</p> <p>10 hydraulic generation which is the 82.6 that we</p> <p>11 talked about.</p> <p>12 Q. Okay. When you say "native peak" you mean the</p> <p>13 total requirements of your customers on your</p> <p>14 system?</p> <p>15 MR. HENDERSON:</p> <p>16 A. Yes.</p> <p>17 (11:45 a.m.)</p> <p>18 Q. Okay. And if we could go back to Schedule 2</p> <p>19 for a moment, Mr. O'Reilly? The 81, I think,</p> <p>20 that you referred to or 82, I take it that's</p> <p>21 the 93.2 that we're looking here, less the</p> <p>22 reserve. Is that correct?</p> <p>23 MR. HENDERSON:</p> <p>24 A. That's correct.</p> <p>25 Q. Okay. So as regards the thermal, it would be</p>

Page 105	Page 106
<p>1 HUTCHINGS, Q.C.: 2 54.2 less whatever reserve - 3 MR. HENDERSON: 4 A. That's correct. 5 Q. - number is appropriate? Okay. So I take it 6 your forecast that you provide to Newfoundland 7 and Labrador Hydro would assume that you're 8 generating average annual energy from your 9 hydraulic plants, the 424 gigawatt hours we're 10 seeing here? 11 MR. HENDERSON: 12 A. Yes, that's correct. It's slightly higher 13 than that, but I think it's 425 and 426 are 14 the actual numbers that are in the forecast. 15 Q. Okay. And assumes that you generate nothing 16 from your thermal? 17 MR. HENDERSON: 18 A. For energy, yes, that's correct. 19 Q. Yes, okay. Now can you help me with the 20 question of dispatch of Newfoundland Power 21 production? Because I've seen references that 22 say that Newfoundland and Labrador Hydro has 23 control of that dispatch when it's necessary 24 to meet system peak. Is it implicit that 25 other than on those occasions, Newfoundland</p>	<p>1 Power has control of the dispatch? 2 MR. HENDERSON: 3 A. It's really a coordinated effort. Our two 4 control centres coordinate things. So if 5 Hydro has a need for thermal generation during 6 the summer and requests us to put on what's 7 available, we will do so. You know, so it's 8 very much a coordinated perspective. So to 9 say one person has control at one point and 10 someone else has control at another point is 11 not really correct. It's a coordinated 12 effort. So during the winter, if Hydro sees a 13 point that, well, you know, next week, we know 14 this and this is happening and we really need 15 to make sure that your thermal generation is 16 on. They will contact us and we will 17 coordinate to make sure that every possible 18 thing is available. So it's much more of a 19 coordination effort as opposed to one having 20 the all encompassing role. 21 Q. Okay. Is there any contractual relationship 22 between Hydro and Newfoundland Power that 23 addresses that issue? 24 MR. HENDERSON: 25 A. I wouldn't say there's a formal contract</p>
Page 107	Page 108
<p>1 arrangement. Newfoundland Power and Hydro 2 have joint committees and through that, I'm 3 sure they develop certain guidelines. Whether 4 they're written or verbal or whatever, it's 5 certainly a very clear understanding between 6 the two as to the roles that they're playing, 7 and it works through that. It works through 8 that coordination effort. 9 Q. So all the facilities that we're talking about 10 are owned by Newfoundland Power? 11 MR. HENDERSON: 12 A. Yes. 13 Q. Okay. So you know, and I don't know why it 14 would ever come up, but it would be for 15 Newfoundland Power to decide if Hydro 16 requested dispatch of any amount of power from 17 your facilities, it would be within your 18 rights, you'd be within your rights to say 19 "no, we just don't want to do that right now." 20 MR. PERRY: 21 A. Well, I think there are other considerations, 22 you know, in terms of The Electrical Power 23 Control Act and our obligation to adhere to 24 the Act in terms of making, I guess, the best 25 utilization of the resources available. I</p>	<p>1 don't think Newfoundland Power could willy 2 nilly go off and say we're going to run our 3 generation completely different than what 4 we're doing today, because I think what's in 5 place today is good for the system, so you 6 know, and I know that's not sort of clean, but 7 there are obligations that we have and we 8 recognize under the PCA that factor into this 9 as well. 10 Q. I come back to, I guess, page 10 of your 11 evidence, right at the top, where you say 12 "Hydro directs the operation of Newfoundland 13 Power's generating plants when required to 14 ensure sufficient on-line generation on the 15 Island Interconnected System." Is that really 16 more of a request than a direction, a request 17 that's almost inevitably answered, but - 18 MR. HENDERSON: 19 A. Yes, you know, it depends on how you interpret 20 what the meaning of "direct" means, you know. 21 Hydro will call us and say we need generation, 22 and we will go and put it on. 23 Q. Okay. 24 MR. HENDERSON: 25 A. You know, as to say whether--you know, I can't</p>

Page 109	Page 110
<p>1 MR. HENDERSON: 2 imagine a situation where Newfoundland Power 3 is going to refuse because I don't know who 4 that benefits. 5 HUTCHINGS, Q.C.: 6 Q. No. 7 MR. PERRY: 8 A. And again, a recent example was just a few 9 days ago. They asked for it and we put 82 10 megawatts on. 11 Q. Okay. And that was your hydraulic generation? 12 MR. PERRY: 13 A. Yes. 14 Q. Okay. So what would be happening with those 15 82 megawatts had not Hydro requested them? 16 MR. HENDERSON: 17 A. We run them to optimize our kilowatt hour 18 production. If for some reason the storage 19 was such in one of those facilities that 20 Newfoundland Power was better--felt it was 21 better to build it up, in the event that Hydro 22 might need to require it, we may not have had 23 it on during peak. We may have left it off 24 and let the water build up, so if they request 25 it the following day, we will put it on. They</p>	<p>1 obviously requested it and we got 82 megawatts 2 on. 3 Q. Okay. In the absence of a request from Hydro, 4 it's up to you to decide whether you're going 5 to have it on or not have it on? 6 MR. HENDERSON: 7 A. Yes. Now Hydro has--you know, the notice that 8 Hydro's necessarily going to give us for 9 putting our generation on can be fairly short. 10 As a result, in us dispatching our own 11 generation, we're going to be dispatching it 12 in a manner that's relatively consistent with 13 the need to have it on during peak, okay. To 14 say it's going to be exactly as high as what 15 it would have been if Hydro requested it, I 16 can't--you know, it may not necessarily be 17 exactly the same amount, but you know, we will 18 certainly be dispatching it so as it could go 19 on if Hydro asked us, you know, an hour in 20 advance or you know, whatever. 21 MR. PERRY: 22 A. Saying it another way, it would be 23 inappropriate for us, for example, going into 24 the winter with zero storage. We understand 25 that we have to have so much storage going</p>
Page 111	Page 112
<p>1 into the winter so that when Hydro places the 2 call or the request that we can actually put 3 the 82 megawatts on. So you know, that's a 4 consideration that we have now, this time of 5 year, that as we go into the winter months, we 6 need to have storage so that we can deliver 7 that 82 megawatts. 8 Q. But overall, the operating criteria is to 9 maximize kilowatt hour production from your 10 hydraulic resources? Is that - 11 MR. HENDERSON: 12 A. That would be, I'd say, the primary criteria. 13 The secondary criteria is making sure it's 14 available for all peak. 15 Q. Okay. And you rely more on Hydro in respect 16 to the secondary criteria than on your own 17 resources, shall we say? 18 MR. HENDERSON: 19 A. Yes. Hydro, yes. 20 Q. Yes, okay. All right. What are the operating 21 guidelines for your thermal capacity? 22 MR. HENDERSON: 23 A. It would be substantially similar to 24 hydraulic, from the perspective that their 25 dispatch would be reflective of a coordinated</p>	<p>1 approach between Newfoundland Hydro and 2 Newfoundland Power. I know on the radial 3 systems themselves, Hydro might need to 4 maintain their line or more locally, we might 5 have to maintain our own line and in those 6 situations, there's a coordinated effort to 7 get the generation on to support, you know, 8 Hydro in maintaining their lines or in us 9 maintaining our lines. Similarly, there's 10 coordination on the high level to make sure 11 that they're dispatched appropriately with 12 respect to peak, you know, or when Hydro has 13 problems on their system with generation, to 14 make sure that they're on. 15 Q. Can you give us any indication of the amount 16 of energy that your thermal production 17 actually puts out in a given year? 18 MR. PERRY: 19 A. I think there was an RFI on that, but I can't 20 recall. 21 MR. HENDERSON: 22 A. You know, if you want, we can undertake. I 23 don't have any of those figures with me. 24 Q. Okay. I mean, is it fair to say it's probably 25 a fairly small amount?</p>

Page 113	Page 114
<p>1 MR. HENDERSON:</p> <p>2 A. Yes, I would say it's fairly small. It</p> <p>3 depends on which one. I think I was reading</p> <p>4 something that was indicating our--anyway it</p> <p>5 was one of our generators that had significant</p> <p>6 amount of production. I think it may have</p> <p>7 been related to certain distribution work or</p> <p>8 you know, we may have been reconstructing a</p> <p>9 line or something, and as a result, it was</p> <p>10 utilized more so than it otherwise would have</p> <p>11 been.</p> <p>12 HUTCHINGS, Q.C.:</p> <p>13 Q. So essentially those generators are there to</p> <p>14 support the system in the event of a</p> <p>15 maintenance outage or an unplanned outage or,</p> <p>16 you know, for voltage support or something of</p> <p>17 that nature? Is that correct?</p> <p>18 MR. HENDERSON:</p> <p>19 A. It's for those and it's for system peak too.</p> <p>20 Q. Yes.</p> <p>21 MR. HENDERSON:</p> <p>22 A. I think, you know, recently Hydro had a peak</p> <p>23 that was high enough, and I don't know if they</p> <p>24 had generation enough, but they requested</p> <p>25 available generation just in case.</p>	<p>1 Q. Would Newfoundland Power be prepared to sell</p> <p>2 its thermal production capacity to</p> <p>3 Newfoundland Hydro?</p> <p>4 MR. PERRY:</p> <p>5 A. We haven't really considered that, Mr.</p> <p>6 Hutchings, as a business proposition, I guess,</p> <p>7 so I'm not prepared to answer that sitting</p> <p>8 here without considering all the ramifications</p> <p>9 of doing it.</p> <p>10 Q. I suppose the implication of the question is</p> <p>11 does Newfoundland Power have a use for this</p> <p>12 generating capacity that is unrelated to the</p> <p>13 Newfoundland Hydro system?</p> <p>14 MR. HENDERSON:</p> <p>15 A. Yes. We use it to backup, you know, some of</p> <p>16 our own components on the system. So they</p> <p>17 provide assistance to the system and they</p> <p>18 provide assistance to the local load.</p> <p>19 Q. I mean, you can understand our interest in</p> <p>20 this, in that if Hydro owned this plant, we'd</p> <p>21 be paying less than 20 percent of the cost and</p> <p>22 now we're paying almost 60 percent of the</p> <p>23 cost. So this is not a subject that has been</p> <p>24 discussed between yourselves and Hydro?</p> <p>25 MR. PERRY:</p>
Page 115	Page 116
<p>1 A. I have not been involved in any discussions</p> <p>2 with anyone at Hydro on that. Whether Mr.</p> <p>3 Hughes has, I'm unaware, but myself, I've not</p> <p>4 been involved in any discussions on it.</p> <p>5 Q. Okay. Just one other area to cover with you.</p> <p>6 If we could for a moment go back to Mr.</p> <p>7 Haynes' evidence and look at Schedule 11? I</p> <p>8 need the original Schedule 11 actually, not</p> <p>9 the revision. Yes, that's the one. Looking</p> <p>10 at the comparison between the forecast for the</p> <p>11 year 2002 and the actual, specifically for</p> <p>12 Newfoundland Power, and the variance of 92.</p> <p>13 megawatts between what Newfoundland Power</p> <p>14 forecast its peak would be and what that peak</p> <p>15 actually turned out to be. Can you explain</p> <p>16 how that forecast turned out to be off by so</p> <p>17 much?</p> <p>18 MR. HENDERSON:</p> <p>19 A. That winter obviously all the variables lined</p> <p>20 up such that the peak that was incurred on</p> <p>21 Newfoundland Power's system was substantially</p> <p>22 higher than forecast. It shows there it's 92</p> <p>23 megawatts. You know, what caused it to be</p> <p>24 higher, you know, I guess it depends on the</p> <p>25 wind conditions and the temperature and what</p>	<p>1 it was like across the province and all that</p> <p>2 kind of stuff. So that's probably the reason</p> <p>3 why that variance actually occurred.</p> <p>4 MR. PERRY:</p> <p>5 A. This is not weather normalized. I don't see</p> <p>6 it, so this again confirms what we talked</p> <p>7 about earlier about the variance potential on</p> <p>8 demand of being 10-11 percent that, you know,</p> <p>9 when weather is factored in, we likely would</p> <p>10 have had--I think it was probably February</p> <p>11 10th of that year, it was extremely cold right</p> <p>12 across the province, and that's a time when I</p> <p>13 think we just about had everything on to keep</p> <p>14 the lights on. I think there might have been</p> <p>15 one piece of capacity left to put on, but you</p> <p>16 know, as Lorne said, everything lined up at</p> <p>17 that point in time.</p> <p>18 Q. You may recall that there was some debate</p> <p>19 about this in the last Hydro general rate</p> <p>20 hearing because that forecast of 1,001.2</p> <p>21 megawatts was, in fact, a new one which was</p> <p>22 produced in the course of the hearing, which</p> <p>23 was significantly lower than the previous one.</p> <p>24 Can you explain to us why the decrease at that</p> <p>25 point in that forecast?</p>

Page 117

1 MR. HENDERSON:
 2 A. Basically, the reason why the forecast
 3 decreased is we annually do up the forecast
 4 and in 2000, we provided Hydro a forecast
 5 based on the methodology we used at the time,
 6 which involved looking at the load factors in
 7 the previous five years. So our 2000 forecast
 8 would have been based on Newfoundland Power's
 9 native peak that occurred from between the
 10 periods of 1995 and 1999. When we filed a new
 11 forecast in 2001, the five-year historic
 12 period that was covered included 1996 through
 13 to 2000 and primarily what changed with regard
 14 to the load factor was that in 1995, the load
 15 factor was considerably lower than it was in
 16 2000, and that resulted in the projected load
 17 factor changing in the order of three and a
 18 half percent. So that resulted in the
 19 projected forecast dropping by roughly 25
 20 megawatts.
 21 (12:00 p.m.)
 22 HUTCHINGS, Q.C.:
 23 Q. Did you consider making an adjustment to your
 24 forecast to take into account the anomalous
 25 1995 year?

Page 119

1 been a change in your methodology of doing the
 2 forecast?
 3 MR. HENDERSON:
 4 A. Yes. Subsequent to that occurrence of having
 5 a very large variance, Hydro approached us
 6 about trying to come up with a methodology
 7 that reflected a longer historic period and
 8 focused on what they referred to as an
 9 expected peak, and our system planning, I
 10 wasn't involved with it at that time, but at
 11 that time, they reviewed it and picked the
 12 ten-year historic period and that was
 13 considered reasonable at that time as being
 14 enough of an historic period to cover off
 15 enough variances so that the forecast is close
 16 to what would be expected.
 17 Q. Do you know how it was that you came up with
 18 the five-year period in the first place?
 19 MR. HENDERSON:
 20 A. No, I don't. That was used historically by
 21 the company, you know, a long time ago,
 22 probably in the 80s it may have been reviewed.
 23 So I don't know what the motivation was for
 24 the five-year historic period.
 25 Q. It is correct, is it not, that so long as

Page 118

1 MR. HENDERSON:
 2 A. The methodology we used was based on the
 3 actual load factors that occurred in the five-
 4 year period and that was the consistent
 5 methodology that we used in the subsequent.
 6 You know, we don't go in and start playing
 7 with the numbers so as to try to, I don't
 8 know, account for something. You know, we
 9 wouldn't have considered--we didn't go back
 10 and look at 1995 and say something weird is
 11 going on here, as a result something should be
 12 done differently. Our forecast up to that
 13 point has been tracking reasonably good. The
 14 forecasts are high some years, low other
 15 years, so that methodology was working quite
 16 well. In our forecast for 2001 or 2002,
 17 forecast that year was higher than the peaks
 18 that have occurred, I think, in the previous
 19 four or five years as it was. I would suspect
 20 whoever did the forecast at that point in time
 21 had no reason to believe that it was, you
 22 know, anywhere--any less accurate, I suppose,
 23 than what it otherwise could be.
 24 HUTCHINGS, Q.C.:
 25 Q. I understood from Mr. Haynes that there has

Page 120

1 Newfoundland Power purchases from Newfoundland
 2 Hydro based on an energy only rate, there's
 3 basically no financial implication for you as
 4 to whether or not your forecast of demand is
 5 accurate or not? Is that correct?
 6 MR. HENDERSON:
 7 A. There's no immediate impact on our costs or
 8 whatever.
 9 MR. PERRY:
 10 A. It does come in though every cycle of, you
 11 know, rate setting. It would be factored into
 12 that.
 13 MR. HENDERSON:
 14 A. Yes, insofar as the actuals affect your
 15 forecast, so it would be reflected in the next
 16 test year, and that will increase or decrease
 17 Newfoundland Power's costs accordingly.
 18 Q. Yes, just so that whatever you forecast for
 19 Newfoundland and Labrador Hydro's test year is
 20 going to stay in place until Newfoundland and
 21 Labrador Hydro comes back for another rate
 22 increase, correct?
 23 MR. HENDERSON:
 24 A. That's right, yes.
 25 Q. Thank you, gentlemen. Thank you, Mr. Chair.

Page 121

1 HUTCHINGS, Q.C.:
 2 Those are all my questions.
 3 CHAIRMAN:
 4 Q. Thank you very much, Mr. Hutchings. Good
 5 afternoon, Mr. Kennedy.
 6 MR. KENNEDY:
 7 Q. Good afternoon, Chair, Commissioners. Mr.
 8 Perry and Mr. Henderson, I wanted to mostly
 9 just focus on your pre-filed testimony and go
 10 through it. I've got some questions
 11 concerning some of the data and analysis that
 12 you complete in it. Just before we start
 13 there, I just wanted to make sure I had the
 14 correct understanding about what Newfoundland
 15 Power's concerns are with the sample rate as
 16 proposed by Hydro vis-a-vis moving from an
 17 energy only rate to the proposed wholesale
 18 demand rate, and did I gather correctly that
 19 the two concerns are earnings volatility and
 20 that there were no customer benefits that
 21 Newfoundland Power could see?
 22 MR. PERRY:
 23 A. Yes. The only volatility point translates
 24 also into a rate instability issue for
 25 customers. So they're somewhat linked, but I

Page 123

1 new wholesale rate, wouldn't the first
 2 question be whether that materially benefits
 3 the wholesale customer relationship?
 4 MR. PERRY:
 5 A. I don't know where you're going, Mr. Kennedy,
 6 I guess. You know, the demand/energy rate,
 7 you know, our understanding is being put in so
 8 Newfoundland Power can do something to--you
 9 know, incent it to do something to control the
 10 demand growth on the system or, you know, and
 11 in order to do that, we got to go to our
 12 customers. So it's -
 13 Q. Okay. Just leaving aside for the moment the
 14 intention, whether there is or isn't one in
 15 putting in a wholesale rate, so what
 16 Newfoundland Power is expected or not expected
 17 to do as a result of a wholesale rate being
 18 put in place. Would you agree with me that,
 19 just on its face, Newfoundland Power's
 20 purchasing, as has been stated several times,
 21 two products from Hydro. One's capacity and
 22 one's energy?
 23 MR. PERRY:
 24 A. Yes.
 25 Q. And you'd agree with me then that normally at

Page 122

1 would agree with you.
 2 Q. To the point where earnings volatility may
 3 cause Newfoundland Power to seek rate changes,
 4 that would be true?
 5 MR. PERRY:
 6 A. That is correct.
 7 Q. And when you say "no customer benefits" you're
 8 referring specifically to your own customers,
 9 Newfoundland Power's customers?
 10 MR. PERRY:
 11 A. Yes, and I suppose in the way the system works
 12 here, it also extends to Hydro's customers,
 13 Rural Interconnected customers.
 14 Q. Okay.
 15 MR. PERRY:
 16 A. I think there's 22,000 of those.
 17 Q. Sure, and so Hydro's retail customers?
 18 MR. PERRY:
 19 A. Correct.
 20 Q. Right. And so you recognize though that
 21 that's a different customer class than Hydro's
 22 wholesale customers?
 23 MR. PERRY:
 24 A. Yes.
 25 Q. Okay. And so if we were going to implement a

Page 124

1 a wholesale level, Newfoundland Power would
 2 see two sets of prices for those two separate
 3 products?
 4 MR. PERRY:
 5 A. Normally at a wholesale level -
 6 Q. When I say normally, I mean normal utility
 7 practice in North America, so that the
 8 distribution company would see two different
 9 prices for those two different products?
 10 MR. HENDERSON:
 11 A. Yes, I'd say generally that's the case.
 12 Q. Okay.
 13 MR. PERRY:
 14 A. As you can see, I still express discomfort
 15 with this approach, but anyway, I will point
 16 out, the examples I've heard, and ones that I
 17 know about, you know, we buy 90 percent of our
 18 power from Hydro. The Aquilla BC example is
 19 25 percent. So you know, I think we have to
 20 be careful with the words we choose, in terms
 21 of everyone else does it. I don't know if
 22 I've heard a name, other than Aquilla BC, of
 23 one utility that, you know, actual name of a
 24 utility. So anyway, that's -
 25 Q. Okay. Well, I think you haven't sat through

Page 125	Page 126
<p>1 MR. KENNEDY: 2 every day like we have, which we're - 3 MR. PERRY: 4 A. But there's no name in - 5 Q. - all envious of, I can assure you, but - 6 MR. PERRY: 7 A. There's no name on the record anywhere. 8 Q. I think the only names on the record were 9 referred to specifically the two utilities 10 that did not have a wholesale demand rate. So 11 I guess it would have been superfluous to then 12 go through the exercise of naming all the 13 utilities in North America that would have a 14 wholesale rate. 15 MR. PERRY: 16 A. Aquilla, Alberta doesn't have one so, you 17 know, they weren't on the list. 18 Q. Yes. But you just explained that they're a 19 poles and wires company? 20 MR. PERRY: 21 A. True. 22 Q. Yes. So, I guess what I'm trying to 23 understand is would Newfoundland Power 24 recognize that the purpose of the wholesale 25 demand rate is to send an appropriate price</p>	<p>1 signal between Hydro and then its wholesale 2 customer, Newfoundland Power, that that would 3 be the intention of a wholesale demand rate? 4 MR. PERRY: 5 A. No, we don't recognize that. 6 Q. Okay. I wonder if we could just turn to your 7 pre-filed evidence? And I just wanted to go 8 through this and make sure I understood some 9 of the tables as I alluded to. First, though, 10 I just wanted to get a fix on the amount of 11 money that we're dealing with or amounts of 12 money that we're dealing with in your analysis 13 of the potential volatility that the sample 14 rate may have on Newfoundland Power's 15 earnings. And at page 1 you indicate that--at 16 line 21, that after you do your--you say, 17 starting on line 18, "The sample rate 18 significantly increases the potential 19 financial impact of forecast variances." And 20 you go, line 21, "Consequently, there is a 21 combined risk that forecast variances under 22 the sample rate could result in an 8.3 million 23 decrease in pre-tax earnings." And if I'm 24 gathering correctly, the post-tax effect is 25 provided on page 25. I just want to make sure</p>
Page 127	Page 128
<p>1 that we're referring to the same thing. And 2 if I'm gathering correctly, the post-tax 3 combined risk forecast variance under the 4 sample rate would be 5.4 million, is that 5 correct? 6 MR. PERRY: 7 A. Correct. 8 Q. Okay. I wonder if we could just flip to page 9 21 of your pre-filed? And as indicated in 10 your pre-filed, Chart 5, I'm reading from page 11 20 just at the context. "Chart 5 illustrates 12 that there is no true relationship between the 13 annual percentage change in Newfoundland 14 Power's normalized peak demand and the annual 15 change in Newfoundland Power's normalized 16 energy requirements." And just before we 17 address that, first I wonder, this chart, the 18 Chart 5, the annual percent change, is that 19 the annual percent change from forecast or is 20 that an annual percent change year over year? 21 MR. HENDERSON: 22 A. That would be year over year. 23 Q. This is a year over year change? 24 MR. HENDERSON: 25 A. That's right.</p>	<p>1 Q. Oh, okay. So this isn't the percent change 2 based on forecast data? 3 MR. HENDERSON: 4 A. No, no. 5 Q. I see. So right underneath the chart then you 6 go, "Chart 5 indicates that in four of the 7 last ten years changes in normalized peak 8 demand and changes in normalized energy 9 requirements moved in opposite directions. 10 This type of experience indicates the 11 potential for additive effects. In other 12 words, there is a risk that in the same year 13 energy sales could be below forecast and 14 normalized peak demand could be above 15 forecast." But if the chart's not dealing 16 with forecast, if it's only dealing with year 17 over year annual change, how can you reach the 18 conclusion that based on this chart that 19 energy sales could be below forecast and 20 normalized peak demand could be above 21 forecast? Isn't that a bit of a leap in 22 logic? 23 MR. PERRY: 24 A. I don't think so. I think it's directly--your 25 actual results--your forecasting and actual</p>

Page 129	Page 130
<p>1 MR. PERRY: 2 should, they should move--you know, be based 3 on the same concepts. And I think it's good 4 evidence to suggest that the demand could move 5 in opposite direction than energy. 6 MR. KENNEDY: 7 Q. So at page 22 in Chart 6, we have the annual 8 forecast variance in energy requirements. So 9 am I gathering correctly that Chart 6 is 10 showing the difference between actual to 11 forecast in energy purchase by Newfoundland 12 Power for each of the years given in that 13 chart? So in other words, in 1993 you were 14 about one and a half percent less energy sales 15 or energy purchased from Newfoundland Power 16 from forecast? 17 MR. PERRY: 18 A. Correct. 19 Q. Which is it, is it sales or purchased power? 20 MR. PERRY: 21 A. I think the total energy requirement. 22 MR. HENDERSON: 23 A. That's right. So that would be purchased and 24 produced. 25 Q. Okay. So is there a similar chart for demand</p>	<p>1 in your documents? 2 MR. HENDERSON: 3 A. No, there's not. 4 Q. Okay. 5 MR. HENDERSON: 6 A. The evidence which we relied on for the 7 volatility in--from forecast is based on 8 Hydro's response to one of their questions 9 which they talked about the plus or minus five 10 percent volatility. 11 MR. PERRY: 12 A. And when you look at demand itself, obviously 13 we know that our customer demand for the 14 customers that are on demand rates does not 15 track the actual native peak demand for 16 Newfoundland Power, and that's shown in Chart 17 3 on page 18. So when you look at demand 18 itself, there is no relation there. 19 MR. HENDERSON: 20 A. It might be helpful if you want to turn to NP- 21 156, NLH, which Hydro has provided a 22 comparison of historic forecast to actual. 23 It's on the second page. And you can see 24 there the variances that occurred between the 25 forecast error and gigawatt hours. So let's</p>
Page 131	Page 132
<p>1 pick a year like 1996. In 1996 our forecast 2 for energy was high and our peak forecast was 3 low. So they're in opposite directions. 4 (12:16 p.m.) 5 Similarly, in 1994 they're in opposite 6 directions. In 1993 they're in opposite 7 direction. 1997 they're in opposite 8 directions. So, you know, that illustrates 9 the fact that they can be moving in opposite 10 directions and as a result both of the - 11 MR. PERRY: 12 A. The risks - 13 MR. HENDERSON: 14 A. - risks can be additive. 15 Q. Sure. And do you know if this is normalized 16 data that we're looking at? 17 MR. HENDERSON: 18 A. That looks like actual. 19 Q. Right. So that weather normalized percent 20 error from forecast would be different than 21 the numbers we're seeing there, yes? 22 MR. HENDERSON: 23 A. They'd be different, yes. 24 Q. Yeah. And just going back to Chart 5 then, 25 because I think that in a way is similar to</p>	<p>1 what we were just looking back. Just back one 2 page, I think, yeah, Mr. O'Reilly. There we 3 go. This is the point you were just trying to 4 make, Mr. Henderson, of the fact that demand 5 and energy sometimes moves in opposite 6 directions? 7 MR. HENDERSON: 8 A. Yes, that's right. 9 Q. Again, this isn't forecast. These are just 10 the actual changes year over year? 11 MR. HENDERSON: 12 A. That's right. 13 Q. And you indicate in there that that line on 14 Line 2 there, that Chart 5 indicates that in 15 four of the last ten years changes in 16 normalized peak demand and changes in 17 normalized energy requirements moved in 18 opposite directions. And if I'm gathering 19 correctly, that was in '96, '97, '99 and 2002? 20 MR. HENDERSON: 21 A. Yes. 22 Q. Okay. And in each of those years the opposite 23 direction that it moved was that your energy 24 sales increased and your peak demand 25 decreased?</p>

Page 133	Page 134
<p>1 MR. HENDERSON: 2 A. That's correct. 3 MR. KENNEDY: 4 Q. And would that under the wholesale rate as 5 proposed by Hydro work in Newfoundland Power's 6 favour? 7 MR. HENDERSON: 8 A. Yes, if that was the forecast variances to-- 9 variances to forecast. This is just the year 10 over year changes. 11 Q. Right. So - 12 MR. HENDERSON: 13 A. There will be years in which the two will be 14 additive so as it will - 15 Q. I know you say that, but I guess I'm trying to 16 find that information in your report where 17 we're actually dealing with forecast. 18 MR. PERRY: 19 A. Well, I think he just took you to--he just 20 took you to Hydro's evidence that - 21 Q. Yeah, but that wasn't weather normalized, so 22 it's not much that we can do with that whether 23 it's not--if it's not weather normalized? 24 MR. PERRY: 25 A. Well, I disagree, Mr. Kennedy, because, you</p>	<p>1 know, we've acknowledged that demand variances 2 have been as high as 11 percent without 3 stripping out the weather normalization issue. 4 And stripping out the weather normalization 5 brings us down to about a five percent 6 problem. So you're still--you know, when you 7 weather normalize those numbers, you're still 8 going to have resulting variances. 9 Q. Where does the five percent come from? 10 MR. PERRY: 11 A. I think that--the five percent of stripping 12 out weather normalization? 13 Q. No. The five percent variance in forecast 14 demand as a potential range of what 15 Newfoundland Power could be off in its 16 forecast of demand for a given year? 17 MR. HENDERSON: 18 A. That was put on the record by Newfoundland 19 Hydro. Just a second, I'll - 20 Q. I think if you go to PUB-151. You actually 21 referenced it in your - 22 MR. PERRY: 23 A. That's correct. 24 Q. - report. So it's, I guess, from this very 25 first sentence, that since 1996 the difference</p>
Page 135	Page 136
<p>1 between Hydro's forecast for NP native peak 2 and the weather adjusted actual has been 3 within a range of plus or minus five percent? 4 MR. PERRY: 5 A. That's correct. 6 Q. So now this is the difference between Hydro's 7 forecast for your native peak and then your 8 actual weather adjusted peak. So that Hydro 9 forecast, does that come from Newfoundland 10 Power, do you know? 11 MR. HENDERSON: 12 A. It does - 13 Q. Or does Hydro do its own forecast? 14 MR. HENDERSON: 15 A. No, it comes from us but Hydro, I know, 16 applies for our native peak. I know Hydro in 17 the past has tried to calculate an expected 18 amount hydro production for Newfoundland 19 Power, so as a result they came up with a 20 component of what created Newfoundland 21 Power's--hang on, that says native peak 22 forecast. Yeah, I suspect we should have 23 information that's similar to what they must 24 have based theirs on. 25 Q. Yeah. So you would--Newfoundland Power--and I</p>	<p>1 guess Mr. Hutchings asked you a question that 2 in between rate hearings there's no financial 3 driven incentive for Newfoundland Power to be 4 accurate in its demand forecast? 5 MR. PERRY: 6 A. There's no financial incentive, but we do our 7 best on forecast year by year, Mr. Kennedy. 8 Q. There would be a financial incentive to be 9 accurate with your energy forecast? 10 MR. PERRY: 11 A. Clearly. 12 Q. And generally based on your--although, we 13 don't have the comparison data. Could you 14 tell us what's Newfoundland Power generally 15 more accurate in forecasting, demand or 16 energy? 17 MR. HENDERSON: 18 A. Oh, energy. 19 MR. PERRY: 20 A. But I think the issue is and it's, you know, 21 been discussed, that the forecasting demand is 22 somewhat more difficult to forecasting energy 23 given the geography of the island and the 24 various other issues involved with that. 25 Q. Now, so do we have any data before the Board</p>

Page 137	Page 138
<p>1 MR. KENNEDY: 2 on what the variance has been for forecast 3 demand sales for the period 1993 to 2002? 4 MR. HENDERSON: 5 A. I believe it's in that response that I took 6 you to in Hydro's testimony. 7 Q. And which one was that, sorry? 8 MR. HENDERSON: 9 A. NP-156. That's on the record. 10 Q. Oh, yes, okay. That's the--it's not weather 11 normalized? 12 MR. HENDERSON: 13 A. Okay, not weather normalized, okay. 14 Q. Okay. Just going to the next section then, 15 the volatility, page 22, that Chart 6 again. 16 And this we know to be the annual forecast 17 variance in energy requirements. Do you know 18 if this is weather normalized? 19 MR. HENDERSON: 20 A. Yes, that's weather normalized. 21 Q. That's weather normalized, okay. And this 22 chart is actually representative of the data 23 that Newfoundland Power used to calculate its 24 energy forecast variance for the period 1993 25 to 2002 to be plus or minus 2.4 percent. Is</p>	<p>1 that correct? 2 MR. HENDERSON: 3 A. Yes, that's correct. 4 Q. Okay. And when we look at that chart, 1993 to 5 1996, your forecasting seemed to be, I guess, 6 optimistic compared to what actually occurred 7 during that period, generally? 8 MR. HENDERSON: 9 A. Yeah. I think what you see in the slope of 10 the curve that you're seeing here is probably 11 business cycle effects that, you know, we use 12 inputs from Conference Board of Canada, and I 13 guess in the early '90s the Conference Board 14 of Canada was probably projecting that 15 Newfoundland Power--Newfoundland's economy was 16 going to be better than what it actually 17 turned out to be. Probably more recently 18 they've probably been under forecasting it 19 somewhat. You know, those types of effects 20 are going through here. 21 Q. Sure. So I think sometimes it's been referred 22 to the fact that we have a cod moratorium that 23 took place in that early '90s and that had a 24 dramatic impact on Newfoundland Power's 25 financial results?</p>
Page 139	Page 140
<p>1 MR. PERRY: 2 A. I'd say it's part of it. 3 Q. Is that a fair statement? 4 MR. PERRY: 5 A. It's part of the problem. 6 Q. So, do you have any idea what the plus or 7 minus energy variance would be if we took the 8 period 1996 to 2002? 9 MR. HENDERSON: 10 A. If you look at the graph, obviously the - 11 Q. It's not cumulative, right, so. 12 MR. HENDERSON: 13 A. Yeah. The low point is just under one percent 14 and the high point on that graph is, you know, 15 somewhere around 2.4 percent. 16 Q. So it would be plus two percent and a minus 17 0.2 percent? 18 MR. HENDERSON: 19 A. Sure. And, you know, I don't think that's 20 necessarily going to be indicative of what's 21 going to happen in the future. Things always 22 turn around and I'm sure we'll be seeing 23 variances again that are in the order of minus 24 2.4 percent again. 25 Q. Mr. Perry, you've referenced a number of times</p>	<p>1 the fact that under Hydro's Application they-- 2 I guess, there's been some different words 3 used about whether the Interruptible B 4 contract was not being renewed. And I think 5 there was a statement that it's already 6 discontinued prior to the GRA Application 7 being filed, so it was just a case of it not 8 being renewed. And you seemed to attach some 9 significance to the fact that Hydro was not 10 renewing that Interruptible B contract. And 11 if I gather correctly, that significance to 12 Newfoundland Power is the fact that if Hydro 13 doesn't feel there's value in the 14 Interruptible B contract at \$28 kilowatt, how 15 could it allege that the demand charge should 16 be \$84 a kilowatt. Is that a fair summary? 17 MR. PERRY: 18 A. Yes. 19 Q. So if the Board were to accept the Industrial 20 Customer's position and order that the 21 Interruptible B contract be re-instituted for 22 the benefit of those Industrial Customers on 23 the basis that it does have value, would that 24 alleviate that concern?</p>

Page 141

Page 142

1 MR. PERRY:

2 A. Not as much. I think the Board needs to
3 understand what the cost of capacity--marginal
4 cost of capacity is on the system. \$28 may be
5 too much, you know. So I'm not saying that
6 it's--that Hydro should go off and enter into
7 a--or extend its contract for \$28. I think we
8 need to understand how much is this worth.
9 And right now, we don't know, we don't know
10 how much it's worth. So, you know, I'm just
11 saying we have evidence before us that 28, you
12 know, was too much, and therefore you have to
13 wonder about 84.

14 MR. KENNEDY:

15 Q. Mr. Perry, I don't think I saw you here when
16 EES was testifying, but I believe, Mr.
17 Henderson, you sat in which Ms. Tabone and Mr.
18 Chymko testified?

19 MR. HENDERSON:

20 A. Yes, I did. And I'm sure Barry has probably
21 read over the testimony.

22 MR. PERRY:

23 A. I have, yeah.

24 Q. Okay. And you know that they, while on the
25 stand, put forward an alternative proposal for

1 the wholesale demand rate?

2 MR. HENDERSON:

3 A. Yes.

4 Q. You're aware of that?

5 MR. HENDERSON:

6 A. Yeah.

7 Q. And they calculated the--or proposed, at
8 least, that another view would give a demand
9 rate of four and a quarter a month as opposed
10 to \$7 a kilowatt per month charge?

11 MR. HENDERSON:

12 A. Yeah, they put on a different -

13 Q. And so the four and a quarter gives you
14 roughly \$51 annual kilowatt charge?

15 MR. HENDERSON:

16 A. Yes.

17 Q. And they arrived at that figure by combining
18 the \$28 portion of the demand relating costs
19 equated to the Interruptible B contract and
20 the balance was derived from the transmission
21 portion of Newfoundland Power's gen credit?
22 You understand that?

23 MR. HENDERSON:

24 A. You know, I know that they came up with a rate
25 that's based on some numbers they pulled from

Page 143

Page 144

1 here and some numbers they pulled from there.
2 You know, the numbers they're basing it on is
3 not based on the marginal cost to the system,
4 so I don't know if eight point two--four point
5 two, five is necessarily correct or better
6 than \$28 or better than zero dollars.

7 Q. Okay. Is it you didn't follow their argument
8 or you didn't agree with it?

9 (12:30 p.m.)

10 MR. HENDERSON:

11 A. I followed their argument in that they took
12 some imbedded cost numbers and they took some
13 Interruptible B numbers and they combined them
14 to come up with a rate. But, you know, those
15 costs don't have much relevance with regard to
16 marginal costs because there's no marginal
17 cost on the record, so, you know.

18 MR. PERRY:

19 A. We did run some numbers on what volatility
20 would result from that rate. And \$8.3 million
21 number that we've talked about declines to 5.4
22 million, which is still about two and a half
23 times the range we're allowed to work with
24 under the Rate of Return on Rate Base, so
25 there's clearly, even with that number,

1 substantial volatility.

2 Q. Okay. So just going back to Chart 5, or at
3 least page 21 again. And just dealing with
4 these additive effects as you described them.
5 That additive effect would require a scenario
6 where your energy sales are below forecast and
7 your normalized peak is above forecast,
8 correct?

9 MR. HENDERSON:

10 A. Yes, that's correct.

11 Q. And could you tell me if at any time in the
12 last ten years that's occurred?

13 MR. HENDERSON:

14 A. Is your question with regard to normalized or
15 with the actual?

16 Q. Normalized.

17 MR. HENDERSON:

18 A. Normalized.

19 Q. Your normalized peak and your normalized
20 energy. Have you in the last ten years faced
21 a situation where your energy sales were below
22 forecast and your peak demand was above
23 forecast?

24 MR. HENDERSON:

25 A. In 1995 our--I just want to make sure I got

Page 145

1 MR. HENDERSON:
 2 normalized figures. In the 1995 and '96 peak
 3 looks like our forecast was--our demand
 4 forecast was low by approximately five
 5 percent. And I notice down here in 1995 our
 6 energy forecast was under by two percent, so I
 7 guess in that year they may have gone in
 8 opposite directions. One of the caveats I got
 9 to put on that is that I'm not quite sure of
 10 the timing of the peak in 1995 because we
 11 forecast based on winter season peaks while
 12 what's down below is a calendar energy
 13 variance.
 14 MR. KENNEDY:
 15 Q. And I think you referenced on earlier cross
 16 that, and I believe it was Mr. Hutchings
 17 questioning you, that there was something
 18 anomalous about your 1995 data so that that
 19 was partially what spurred your changing in
 20 methodology in your demand forecasting?
 21 MR. HENDERSON:
 22 A. No, there's nothing anomalous about the actual
 23 figures for 1995. All it was is that 1995
 24 figures were different from 2000 figures, so
 25 as a result the five-year period contained

Page 147

1 varied by a range of 11 percent. So that
 2 would indicate that there's potential upside
 3 and down side variance in the order of plus or
 4 minus five percent.
 5 Q. I'm not sure if I follow the logic. Maybe if
 6 we could just go to Information No. 17?
 7 MR. PERRY:
 8 A. Mr. Kennedy?
 9 Q. Yes.
 10 MR. PERRY:
 11 A. Maybe the best thing we could do is just agree
 12 to undertake to show you a demand forecast and
 13 an energy forecast the way you are, I think,
 14 trying to piece together the information, and
 15 we could do it from '93 to 2003 and then, you
 16 know, it would be much easier, I think, for
 17 you to see the changes that occur.
 18 MR. HENDERSON:
 19 A. Yeah. We may need to go back prior to 1993
 20 just from the perspective that during that
 21 period we had a lot of--generally speaking, we
 22 didn't hit severe winter peaks. As a result,
 23 in general, during that time period our
 24 forecasts were high as opposed to being low,
 25 and that's not really representative of what

Page 146

1 load factors that were, you know, a different
 2 set of numbers that resulted in a different
 3 forecast.
 4 Q. Okay. But you've since 2001 changed your
 5 actual forecasting methodology?
 6 MR. HENDERSON:
 7 A. Yes, that's correct.
 8 Q. Okay. Did you do any kind of sensitivity
 9 analysis to see if you had applied that new
 10 forecasting methodology over the preceding
 11 ten-year period, how that may have impacted on
 12 your forecast versus actual?
 13 MR. HENDERSON:
 14 A. We had a look at it. The range of variances
 15 that would occur is roughly 11 percent.
 16 Therefore, you know, it's possible that plus
 17 or minus five percent could still occur on
 18 your demand forecast.
 19 Q. I'm not sure if that gets us far. Plus or
 20 minus 11 percent of what?
 21 MR. HENDERSON:
 22 A. If we had used the 15 year average load
 23 factor, okay, and compared what the forecast
 24 would have been against what I refer to here
 25 as the adjusted or normalized peak, the errors

Page 148

1 would probably happen in the future.
 2 MR. PERRY:
 3 A. Does that help you?
 4 Q. Possibly. I guess what might help is Chart 5,
 5 only with using, you know, comparisons from
 6 forecast to actual in both your energy and
 7 demand for that period, 1993 to 2002, which
 8 you then used to base all your figures on.
 9 MR. HENDERSON:
 10 A. Okay.
 11 MR. PERRY:
 12 A. We can do that.
 13 Q. And in the case of Information No. 17, just
 14 curiosity, if I'm gathering correctly, we have
 15 the five-year average chart there underneath
 16 those first rows and columns. And then
 17 there's an initial 2004 forecast and then a
 18 revised 2004 forecast. And if I'm recalling
 19 correctly, that was caused by Newfoundland
 20 Power updating its forecast in response to a
 21 request by Hydro to provide more up-to-date
 22 forecast of your demand and energy
 23 requirements for the test year?
 24 MR. HENDERSON:
 25 A. That's correct.

Page 149	Page 150
<p>1 MR. KENNEDY:</p> <p>2 Q. All right. And initially you provided a</p> <p>3 figure of your maximum peak for 2004 to be</p> <p>4 1084 megawatts on the nose, is that correct?</p> <p>5 MR. HENDERSON:</p> <p>6 A. Yes.</p> <p>7 Q. All right. And then when you revised, you</p> <p>8 revised to 1080.7 megawatts, is that correct?</p> <p>9 MR. HENDERSON:</p> <p>10 A. That's correct.</p> <p>11 Q. And so when I work that out, it constitutes</p> <p>12 0.3 percent change in your forecast maximum</p> <p>13 peak for 2004?</p> <p>14 MR. HENDERSON:</p> <p>15 A. This is the maximum peak less the amount of</p> <p>16 hydraulic generation we have on. Now, part of</p> <p>17 the effects you're seeing there is the fact</p> <p>18 that Hydro changed what they consider an</p> <p>19 appropriate reserve and so that went from--</p> <p>20 well, there's a small error that I think Mr.</p> <p>21 Haynes talked about, but that accounts for</p> <p>22 roughly 3.3 megawatts of change. So the</p> <p>23 forecast after you account for that is--you</p> <p>24 know, the figures we actually gave Hydro are a</p> <p>25 very small amount higher in the revised</p>	<p>1 forecast than in the original with regard to</p> <p>2 our native peak.</p> <p>3 Q. Okay, I guess that's what I was trying to get</p> <p>4 at, you talk about this potential variance in</p> <p>5 your forecast demand, but when I looked at</p> <p>6 this chart, it seems like you're able to be</p> <p>7 very accurate in your forecast for demand?</p> <p>8 MR. HENDERSON:</p> <p>9 A. You take historical numbers and you come up</p> <p>10 with the load factor and you apply that load</p> <p>11 factor. The forecast year over year is</p> <p>12 primarily reflective of changes in your energy</p> <p>13 forecast year over year. That is no</p> <p>14 indication of how accurate it is or how much</p> <p>15 different actual is going to be from forecast.</p> <p>16 Q. Okay, so just to close, turning over to page</p> <p>17 25 again, in that Table 7 in your summary of</p> <p>18 potential change in earnings, that under the</p> <p>19 sample rate, that first column where you have</p> <p>20 earnings gains of a total of 3.3 million,</p> <p>21 would mean that it would be a scenario where</p> <p>22 your energy forecast was--your actual sales</p> <p>23 were higher than forecast and for your demand,</p> <p>24 your demand was lower than forecast, correct?</p> <p>25 MR. HENDERSON:</p>
Page 151	Page 152
<p>1 A. Yes, and the demand is reflective of the 98</p> <p>2 percent ratchet, let's call it.</p> <p>3 Q. Right, right, there's a floor there, so that's</p> <p>4 why it only comes to 1.2 million.</p> <p>5 MR. HENDERSON:</p> <p>6 A. That's correct.</p> <p>7 Q. That's right. And in the second column is the</p> <p>8 opposite that would require that additive</p> <p>9 effect where you have a situation where your</p> <p>10 energy sales were lower than forecast and your</p> <p>11 demand was higher than forecast?</p> <p>12 MR. HENDERSON:</p> <p>13 A. Yes.</p> <p>14 Q. To the maximum?</p> <p>15 MR. HENDERSON:</p> <p>16 A. Thereabouts, the 2.4 is somewhat extreme,</p> <p>17 we've had years that have been worse than</p> <p>18 that, plus or minus five percent, you know,</p> <p>19 that can potentially be exceeded, but I think</p> <p>20 more the norm it's probably within that range.</p> <p>21 Q. That's all the questions I have, Chair. Thank</p> <p>22 you, Mr. Henderson, Mr. Perry.</p> <p>23 CHAIRMAN:</p> <p>24 Q. Thank you, Mr. Kennedy. Good afternoon, Mr.</p> <p>25 Kelly, do you have any re-direct?</p>	<p>1 KELLY, Q.C.:</p> <p>2 Q. No further questions, Mr. Chair.</p> <p>3 CHAIRMAN:</p> <p>4 Q. Thank you very much, we move to Board</p> <p>5 questions now. Commissioner Saunders?</p> <p>6 COMMISSIONER SAUNDERS:</p> <p>7 Q. I have no questions.</p> <p>8 CHAIRMAN:</p> <p>9 Q. Commissioner Whalen?</p> <p>10 COMMISSIONER WHALEN:</p> <p>11 Q. Let me have a minute to look at my notes. I</p> <p>12 just wanted to pose the same question to you,</p> <p>13 I guess to you, Mr. Perry, that I posed to Mr.</p> <p>14 Brockman and again, in reading your pre-filed</p> <p>15 evidence and listening to you this morning, do</p> <p>16 I understand as well that--well perhaps I</p> <p>17 should just ask you the question, are you</p> <p>18 opposed philosophically to demand/energy rate</p> <p>19 or are you just opposed to the sample rate</p> <p>20 that Hydro's proposing in this Application?</p> <p>21 MR. PERRY:</p> <p>22 A. I'm actually philosophically opposed to it</p> <p>23 because I don't really see the necessity of</p> <p>24 having it. The benefits that everyone is sort</p> <p>25 of putting forward for having it, can be</p>

Page 153	Page 154
<p>1 MR. PERRY:</p> <p>2 achieved by determining, you know, what the</p> <p>3 value is or what costs should be spent to</p> <p>4 defer capacity on the system. And I think</p> <p>5 that can be done by conducting a long run</p> <p>6 marginal cost studies and coming up with a</p> <p>7 number and frankly, Newfoundland Power board</p> <p>8 could say to Newfoundland Power, listen, this</p> <p>9 is your benchmark, bring forward programs, if</p> <p>10 there are any out there that you can implement</p> <p>11 to do this Demand Side Management. You know,</p> <p>12 we still need to have a demand/energy rate to</p> <p>13 do that and amplifying that is I think the</p> <p>14 rate would have to go down--the demand part</p> <p>15 would have to go down so low, absent a reserve</p> <p>16 or some mechanism to deal with volatility,</p> <p>17 that you would almost be back to the energy-</p> <p>18 only rate anyway, in terms of getting back to</p> <p>19 the \$900,000.00 of volatility that we</p> <p>20 currently have under the energy-only rate,</p> <p>21 because even at \$1.00 a month for demand, we</p> <p>22 still chew up--potentially chew up all the</p> <p>23 range of return on rate base. So, you know, I</p> <p>24 just believe that, do the studies and come up</p> <p>25 with the right numbers for Demand Side</p>	<p>1 Management, you know, ask the utilities to</p> <p>2 bring forward projects that can be done and</p> <p>3 hopefully done economically, and go forward</p> <p>4 like that. I think that's where Newfoundland</p> <p>5 Power is.</p> <p>6 COMMISSIONER WHALEN:</p> <p>7 Q. Could you just qualify for me what this</p> <p>8 reserve mechanism that you talked about, what</p> <p>9 that might--what does that look like or what</p> <p>10 would that entail? Is that really just an</p> <p>11 account where you would bank differences and -</p> <p>12 MR. PERRY:</p> <p>13 A. That's essentially what it would be,</p> <p>14 Commissioner, you know, and you would have to</p> <p>15 make a choice, I guess, whether it gets</p> <p>16 cleaned out every 12 months or whether you</p> <p>17 somehow let it balance out over time and if</p> <p>18 you go to balancing out over time, I think you</p> <p>19 got to start getting into the floor that Hydro</p> <p>20 has put on and the cap that's on Newfoundland</p> <p>21 Power's earnings. Those factors all have to</p> <p>22 be looked at to figure out if that's the right</p> <p>23 approach. But I think the cleaner approach</p> <p>24 would be it goes into a reserve and then, I</p> <p>25 guess it becomes part of the July 1st</p>
Page 155	Page 156
<p>1 adjustment to customer rates, so that it's</p> <p>2 cleaned out on an annual basis.</p> <p>3 Q. I also wanted to ask you about the timing</p> <p>4 issue because--there's really two questions, I</p> <p>5 guess, the Board has to decide whether there</p> <p>6 should be demand/energy rate and then, I guess</p> <p>7 the question is what should that rate be. And</p> <p>8 if we ordered as a part of this decision that</p> <p>9 a demand/energy rate for Newfoundland Power as</p> <p>10 a wholesale customer of Hydro is appropriate,</p> <p>11 I think I did pose a question to Mr. Banfield</p> <p>12 in terms of the timing, so what has to happen.</p> <p>13 If that was the result of this proceeding,</p> <p>14 that we said yes, a demand/energy rate should-</p> <p>15 -but you have to present us with one, what do</p> <p>16 you see as the things that have to happen?</p> <p>17 MR. PERRY:</p> <p>18 A. Well first of all, we have to deal with the</p> <p>19 volatility issue, so I think Newfoundland</p> <p>20 Power would have to come forward with a</p> <p>21 proposal to the Board to deal with the</p> <p>22 volatility issue before the rate is</p> <p>23 implemented; and the second thing is we</p> <p>24 believe the rate shouldn't be implemented at a</p> <p>25 time--any other time other than January 1st</p>	<p>1 because as you go through the year there, it</p> <p>2 creates transition issues and we said in my</p> <p>3 pre-filed or my examination-in-chief, I said</p> <p>4 up to \$5 million dollars. For instance, if</p> <p>5 the rate was implemented around April 1st,</p> <p>6 Hydro would be receiving \$5 million dollars</p> <p>7 more than if it had been implemented earlier.</p> <p>8 So I don't know if you can add--the transition</p> <p>9 issue, you know, there is always transitional</p> <p>10 issues when Hydro and Newfoundland Power</p> <p>11 implement new rates, but this time, when</p> <p>12 you're moving from the energy only to the</p> <p>13 demand/energy rate, if you do it at a time</p> <p>14 other than January 1st, there are bigger</p> <p>15 issues than normal.</p> <p>16 MR. HENDERSON:</p> <p>17 A. Yeah, I think, I'm not sure you probably</p> <p>18 understand why it may be arising, but every</p> <p>19 month the revenue that Hydro would get under a</p> <p>20 demand/energy rate would be different from</p> <p>21 what it is under an energy only rate. During</p> <p>22 the summer they will receive more and during</p> <p>23 the winter, they will receive less. As a</p> <p>24 result, if we implemented it, you know, in</p> <p>25 April, the amount of money that Hydro is going</p>

Page 157	Page 158
<p>1 MR. HENDERSON:</p> <p>2 to be receiving is going to be--for the</p> <p>3 remainder of the year, is going to be</p> <p>4 considerably different. It's not really</p> <p>5 revenue neutral, I guess is a word you can</p> <p>6 say, between then and the end of the year, as</p> <p>7 to whether it's an energy-only rate or a</p> <p>8 demand rate. When we flow our rates through</p> <p>9 our customers, we're going to be flowing</p> <p>10 through on a 12-month annual basis, so as on a</p> <p>11 go-forward basis if the rate is appropriate.</p> <p>12 That means that, for instance, we will be</p> <p>13 getting revenue from our customers at, you</p> <p>14 know, around 6.5 percent increase, that's how</p> <p>15 we're going to be recovering money, but</p> <p>16 between April 1 and the end of the year,</p> <p>17 Hydro's increase in revenues from us would be</p> <p>18 substantially more than the 12 percent that</p> <p>19 they're looking for on an annual basis because</p> <p>20 of these timing effects. And that gives rise</p> <p>21 to this \$5 million dollars that Barry was</p> <p>22 talking about. Normal transitional issues</p> <p>23 that we have to deal with which would flow</p> <p>24 through our RSA, has been in the order of, you</p> <p>25 know, a million bucks and I think our numbers</p>	<p>1 for the type of increase Hydro's talking about</p> <p>2 now, is probably in the order of a million</p> <p>3 dollars. This \$5 million is on top of it and</p> <p>4 it's related to implementing a demand-energy</p> <p>5 rate, as opposed to an energy-only rate. So</p> <p>6 that is an issue that's material, the \$5</p> <p>7 million dollars going through the customer is</p> <p>8 a much bigger issue than rolling a million</p> <p>9 dollars through, so it is an issue that's got</p> <p>10 to be considered and, you know, we could flow</p> <p>11 it through our RSA, but the other way to deal</p> <p>12 with it, is you could potentially, implement</p> <p>13 an energy-only rate immediately, implement the</p> <p>14 demand-energy rate at some point after that.</p> <p>15 Potentially in that period you could look at</p> <p>16 the volatility issue for Newfoundland Power</p> <p>17 and you could potentially, if you pick January</p> <p>18 1, this transitional issue would disappear, I</p> <p>19 guess.</p> <p>20 COMMISSIONER WHALEN:</p> <p>21 Q. And I understood as well from Mr. Banfield</p> <p>22 that there would be a necessity for</p> <p>23 Newfoundland Power and Hydro to work together</p> <p>24 on the weather normalization model as well, is</p> <p>25 that -</p>
Page 159	Page 160
<p>1 MR. HENDERSON:</p> <p>2 A. Yes, if we have a reserve, the necessity of</p> <p>3 normalization is less, but I think it's a good</p> <p>4 idea that we try to minimize all to the extent</p> <p>5 possible through this normalization mechanism,</p> <p>6 to make sure that it, in of itself, does not</p> <p>7 hold up the implementation of a demand-energy</p> <p>8 rate. We can potentially take the mechanism</p> <p>9 that Hydro already uses in their long-range</p> <p>10 forecast and I think Sam Banfield alluded to</p> <p>11 that already, beyond that, it would be a good</p> <p>12 idea for us to get together and do a study to</p> <p>13 see if we can come up with some sort of better</p> <p>14 equation that will better take out weather and</p> <p>15 that will, you know, reduce volatility a</p> <p>16 little bit further.</p> <p>17 Q. And I guess all of this, notwithstanding your</p> <p>18 philosophical fundamental objection, Mr.</p> <p>19 Perry, this would all not be predicated on a</p> <p>20 Marginal Cost Study because the timing of that</p> <p>21 is such that certainly we couldn't do that in</p> <p>22 a short term.</p> <p>23 MR. HENDERSON:</p> <p>24 A. That's right, you know, while we feel that if</p> <p>25 the Board decides to go ahead with a demand/</p>	<p>1 energy rate, they should do it with all the</p> <p>2 information that should be, you know, that we</p> <p>3 feel is required to bring forward a rate that</p> <p>4 purports to be efficient. A rate could</p> <p>5 certainly be implemented without it, you know,</p> <p>6 I think all of the experts have said, you</p> <p>7 know, and we, ourselves, design rates based on</p> <p>8 what we get in the Embedded Cost Study and</p> <p>9 know about Holyrood marginal cost, you know.</p> <p>10 Q. Thank you very much.</p> <p>11 CHAIRMAN:</p> <p>12 Q. Thank you, Commissioner Whalen. I believe in</p> <p>13 responding to Commissioner Whalen's question</p> <p>14 on the sort of solution side, you probably</p> <p>15 responded to my question, but I'll ask it in</p> <p>16 any events because there are a few issues, Mr.</p> <p>17 Perry, that sort of come before the Board, I</p> <p>18 guess, that are referred to if we make certain</p> <p>19 decisions that are mind boggling and</p> <p>20 foolhardy. And I've heard the arguments that</p> <p>21 have been put forward in terms of the</p> <p>22 volatility, the rate stability, no meaningful</p> <p>23 benefit to customers and the price signals in</p> <p>24 relation to the decision that we have before</p> <p>25 us in terms of looking at potential that is</p>

Page 161	Page 162
<p>1 CHAIRMAN:</p> <p>2 offered by energy and demand rate. What are</p> <p>3 the two or three--is it the \$5 million dollar</p> <p>4 issue that sort of puts it over the top in</p> <p>5 your view? Are there any other items, I mean,</p> <p>6 what are the two or three key issues that</p> <p>7 would bring you to describe this issue in that</p> <p>8 fashion?</p> <p>9 MR. PERRY:</p> <p>10 A. Okay, Mr. Chairman, number one, it's not going</p> <p>11 to cause us to do anything different with our</p> <p>12 customers, okay, we already have demand rates</p> <p>13 in place where they should be and Domestic</p> <p>14 customers, you don't charge demand to. The \$5</p> <p>15 million dollar or approximate after tax</p> <p>16 volatility issue for earnings is a big issue</p> <p>17 and I think has to be dealt with. But my</p> <p>18 comments about mind boggling and foolhardy, I</p> <p>19 think more relate to the rate, the \$84.00 and</p> <p>20 not knowing whether that is an appropriate</p> <p>21 rate or not. There is just no evidence to say</p> <p>22 that that's the right signal to send to</p> <p>23 Newfoundland Power and you know, and the Board</p> <p>24 can get that evidence by asking Hydro, working</p> <p>25 with Newfoundland Power, to do a Long Run</p>	<p>1 Marginal Cost Study, and so, I believe that</p> <p>2 that is sort of the prudent approach to say,</p> <p>3 well why should we pick something out of the</p> <p>4 air at \$84.00 and go with that, rather than</p> <p>5 being prudent, you know, the Board has always</p> <p>6 made sure it had all the information in front</p> <p>7 of it to make its decision, ask for the study</p> <p>8 to be done, come back in and say, okay, now</p> <p>9 you have the information, let's decide on what</p> <p>10 the correct path forward is. Right now, the</p> <p>11 Board doesn't have the information it needs</p> <p>12 and I think that's where my disconnect, I</p> <p>13 suppose, is with the rate that's being</p> <p>14 proposed.</p> <p>15 CHAIRMAN:</p> <p>16 Q. Thank you, Mr. Perry. Any questions arising?</p> <p>17 MR. YOUNG:</p> <p>18 Q. Just one, Mr. Chair, thanks. Mr. Perry, you</p> <p>19 just mentioned just a moment ago about a</p> <p>20 disconnect and the lack of evidence on the</p> <p>21 \$84.00. I'm just wondering it sounds to me,</p> <p>22 from what you're saying, that the disconnect</p> <p>23 arises because there's no Marginal Cost Study</p> <p>24 and the lack of evidence, I take it from your</p> <p>25 perspective is that the Embedded Cost Study is</p>
Page 163	Page 164
<p>1 of no value at all or no value in that</p> <p>2 relation or are you suggesting that we can</p> <p>3 only do this on a marginal cost basis and</p> <p>4 there's no other means of doing it that are,</p> <p>5 you know, considered appropriate and proper by</p> <p>6 rate designers?</p> <p>7 MR. PERRY:</p> <p>8 A. I think there's a balance required, Mr. Young,</p> <p>9 between the embedded and the marginal cost</p> <p>10 approach. I think for the purpose of the rate</p> <p>11 which is designed to give Newfoundland Power's</p> <p>12 signal to go out and do something with its</p> <p>13 customers or introduce programs, design Demand</p> <p>14 Management Programs, I think you're more</p> <p>15 leaning towards the marginal cost side of it</p> <p>16 and that's why we believe that we should go</p> <p>17 ahead and do the studies.</p> <p>18 Q. Okay, that's all.</p> <p>19 CHAIRMAN:</p> <p>20 Q. Thank you, Mr. Young. Any others, Mr. Browne?</p> <p>21 BROWNE, Q.C.:</p> <p>22 Q. No questions, thank you.</p> <p>23 HUTCHINGS, Q.C.:</p> <p>24 Q. No thank you, Chair.</p> <p>25 MR. KENNEDY:</p>	<p>1 Q. Chair, just one arising from a question of</p> <p>2 Commissioner Whalen and it just has to do with</p> <p>3 the transition issue in the event that the</p> <p>4 Board was to proceed with the ordering of</p> <p>5 adoption of wholesale demand rate that, as I</p> <p>6 understood it, Mr. Perry, you indicated that</p> <p>7 that, if it came in sort of mid year or a date</p> <p>8 other than January 1, it could cause some</p> <p>9 transition issues for Newfoundland Power?</p> <p>10 MR. PERRY:</p> <p>11 A. That's correct.</p> <p>12 Q. And I'm just wondering because I was sort of</p> <p>13 looking at that, but then I thought that you</p> <p>14 took care of that yourselves in your report,</p> <p>15 page 16, I must be mis-reading the chart and</p> <p>16 when I looked at that, this is as it states</p> <p>17 the 2004 monthly purchase power expense for</p> <p>18 Newfoundland Power, based on the sample rate,</p> <p>19 correct?</p> <p>20 MR. PERRY:</p> <p>21 A. Correct.</p> <p>22 Q. Okay, and I guess can you just explain if this</p> <p>23 rate got adopted somewhere other than January</p> <p>24 1, it wouldn't have any impact on the amount</p> <p>25 that Newfoundland Power's expected to pay for</p>

Page 165

Page 166

1 MR. KENNEDY:
 2 the demand component of the wholesale charge
 3 on a month-to-month basis, based on this
 4 chart? I assume that it looked like you were
 5 going to pay the same amount every month for
 6 your demand charge to Hydro and that it would
 7 only be the energy charge under the wholesale
 8 demand sample rate that would end up changing
 9 from month-to-month, depending on how much
 10 energy you actually sell on the system?
 11 MR. HENDERSON:
 12 A. The transition issue arises because of the
 13 difference between the total, the top of the
 14 bar here that you see here, and what the top
 15 of the bar would have been under an energy-
 16 only rate, okay?
 17 Q. Okay, if we -
 18 MR. HENDERSON:
 19 A. And that's what gives rise to this issue that
 20 we're talking about, discussing.
 21 MR. PERRY:
 22 A. And Mr. Kennedy, by the way, Hydro, Mr.
 23 Banfield has as well identified that this is a
 24 potential issue that has to be dealt with in
 25 the transition period.

1 Q. Right, okay, so it is addressable?
 2 MR. PERRY:
 3 A. Yeah, the easy solution is do it on January 1.
 4 Q. But if we don't have January 1 as an option
 5 and we want to introduce a wholesale demand
 6 rate on a date other than January 1, this
 7 transition issue can be addressed financially?
 8 MR. HENDERSON:
 9 A. Yes, it potentially can be flowed through
 10 Newfoundland Power's RSA and it will hit our
 11 customers next summer, you know, \$6 million
 12 dollars -
 13 MR. PERRY:
 14 A. One and a half to two percent.
 15 MR. HENDERSON:
 16 A. One and a half to two percent next, the
 17 following year because of this transitional -
 18 Q. Okay, that's all the questions I had, thank
 19 you, gentlemen.
 20 CHAIRMAN:
 21 Q. Thank you, Mr. Kennedy. Mr. Kelly?
 22 KELLY, Q.C.:
 23 Q. No questions, Chair.
 24 CHAIRMAN:
 25 Q. Thank you very much, Mr. Henderson and Mr.

Page 167

Page 168

1 Perry. It's probably, Mr. Perry, the last
 2 time you'll appear before this Board for quite
 3 some time, if ever, and we wish you well in
 4 your new position starting in January, sir.
 5 MR. HENDERSON:
 6 A. Thank you, Chair.
 7 CHAIRMAN:
 8 Q. That brings to a conclusion today's session
 9 and I guess we have a scheduled day off
 10 tomorrow. Mr. Brushett will be taking the
 11 witness stand on Thursday at 9:00 and the
 12 schedule I have here, in any event, would look
 13 to Mr. Brushett to continue, if necessary and
 14 then the Industrial Customer's panel of
 15 witnesses on Friday and I guess the schedule
 16 calls for us to conclude at the end of the
 17 week with written and oral argument in
 18 January. So unless there's been a change, Ms.
 19 Newman, that's -
 20 MS. NEWMAN:
 21 Q. No, Chair, that's my understanding as well.
 22 CHAIRMAN:
 23 Q. Thank you everybody and we'll see you on
 24 Thursday morning at 9:00.

1 CERTIFICATE
 2 I, Judy Moss Lauzon, hereby certify that the
 3 foregoing is a true and correct transcript in the
 4 matter of Newfoundland and Labrador Hydro's 2003
 5 General Rate Application for approval of, among
 6 other things, its rates commencing January, 2004
 7 heard on the 9th day of December, A.D., 2003 before
 8 the Board of Commissioners of Public Utilities,
 9 Prince Charles Building, St. John's, Newfoundland
 10 and Labrador and was transcribed by me to the best
 11 of my ability by means of a sound apparatus.
 12 Dated at St. John's, Newfoundland and Labrador
 13 this 9th day of November, A.D., 2003
 14 Judy Moss Lauzon