

Page 1	Page 2
<p>1 (9:05 a.m.)</p> <p>2 CHAIRMAN:</p> <p>3 Q. Thank you. Good morning. It's a fall day out</p> <p>4 there, but anyway, it beats the alternative, I</p> <p>5 suppose, this time of the year. Good morning,</p> <p>6 Ms. Newman. Are there any items before we</p> <p>7 begin?</p> <p>8 MS. NEWMAN:</p> <p>9 Q. No, Chair.</p> <p>10 CHAIRMAN:</p> <p>11 Q. Okay. Thank you. Welcome back, Ms. Greene.</p> <p>12 Good to see you.</p> <p>13 GREENE. Q.C.:</p> <p>14 Q. I didn't realize I was going to be noted, that</p> <p>15 I was missed by so many people. It was a</p> <p>16 commitment that I couldn't avoid.</p> <p>17 CHAIRMAN:</p> <p>18 Q. I'm sure, yeah.</p> <p>19 GREENE. Q.C.:</p> <p>20 Q. For work purposes.</p> <p>21 CHAIRMAN:</p> <p>22 Q. Good morning, Mr. Greneman. How are you, sir?</p> <p>23 MR. GRENEMAN:</p> <p>24 Q. Good morning.</p> <p>25 CHAIRMAN:</p>	<p>1 Q. Welcome.</p> <p>2 MR. GRENEMAN:</p> <p>3 Q. Very good, thank you.</p> <p>4 MR. ROBERT GRENEMAN (SWORN)</p> <p>5 CHAIRMAN:</p> <p>6 Q. Thank you, sir, and welcome once again. When</p> <p>7 you're ready, Ms. Greene, you can begin your--</p> <p>8 oh, Mr., good morning, Mr. Young.</p> <p>9 MR. YOUNG:</p> <p>10 Q. Thank you, Mr. Chair. It'll be just a very,</p> <p>11 very brief direct evidence this morning or</p> <p>12 direct testimony. Mr. Greneman, evidence has</p> <p>13 been pre-filed with Hydro's Application in</p> <p>14 this matter, from you. This evidence includes</p> <p>15 a witness profile, a discussion of the Cost of</p> <p>16 Service that's been filed and a brief</p> <p>17 discussion of the review of the rate design</p> <p>18 for Newfoundland and Labrador--I'm sorry,</p> <p>19 Newfoundland Power, correct?</p> <p>20 A. Right.</p> <p>21 Q. And there are two exhibits to your pre-filed</p> <p>22 testimony?</p> <p>23 A. Yeah.</p> <p>24 Q. That's the 2004 Cost of Service Study which is</p> <p>25 referred to as RDG-1, correct?</p>
Page 3	Page 4
<p>1 A. Correct.</p> <p>2 Q. And RDG-2 is the exhibit which is the report I</p> <p>3 mentioned a moment ago that you prepared for</p> <p>4 Hydro titled "The Review of Rate Design for</p> <p>5 Newfoundland Power", correct?</p> <p>6 A. That's correct.</p> <p>7 Q. And this evidence has been revised on two</p> <p>8 occasions, it was revised as an update on</p> <p>9 August the 12th, at least RDG-1 was revised</p> <p>10 and RDG-1 was further revised October 31st.</p> <p>11 Is that correct?</p> <p>12 A. That's correct.</p> <p>13 Q. Do you adopt these filings as your testimony</p> <p>14 in these proceedings?</p> <p>15 A. I do.</p> <p>16 Q. Those are all the questions. Mr. Greneman is</p> <p>17 available for cross-examination. Thank you,</p> <p>18 Chair.</p> <p>19 CHAIRMAN:</p> <p>20 Q. Thank you, Mr. Young. Just before we begin I</p> <p>21 guess we will adhere to the normal schedule.</p> <p>22 We'll proceed until 10:30, at which time we'll</p> <p>23 break for 15 minutes, if that's okay this</p> <p>24 morning. Good morning, Mr. Browne.</p> <p>25 BROWNE, Q.C.:</p>	<p>1 Q. 10:30?</p> <p>2 CHAIRMAN:</p> <p>3 Q. 10:30, yes. That's what I have here. That</p> <p>4 was the, what I thought was agreed to, in any</p> <p>5 event, 10:30 to 10:45 and we break at 12:15</p> <p>6 for lunch, so if that's satisfactory to</p> <p>7 everybody, we'll proceed on that basis. Okay.</p> <p>8 BROWNE, Q.C.:</p> <p>9 Q. Good morning, Mr. Greneman.</p> <p>10 A. Good morning.</p> <p>11 Q. Can you summarize for us what Hydro is</p> <p>12 proposing with regard to the wholesale rate</p> <p>13 for sales to Newfoundland Power?</p> <p>14 A. Yes. Hydro is proposing in this proceeding to</p> <p>15 request that the Board order Hydro, it's my</p> <p>16 understanding, to implement a demand and an</p> <p>17 energy rate for wholesale sales to</p> <p>18 Newfoundland Power.</p> <p>19 Q. And -</p> <p>20 A. If--sorry, go ahead.</p> <p>21 Q. Oh, sorry, continue, please?</p> <p>22 A. If the Board does not order it, it has filed</p> <p>23 as a backup an energy only rates.</p> <p>24 Q. But the preference for Hydro is what you</p> <p>25 stated previously?</p>

Page 5	Page 6
<p>1 MR. GRENEMAN:</p> <p>2 A. That's my understanding.</p> <p>3 BROWNE, Q.C.:</p> <p>4 Q. You are here testifying on behalf of Stone and</p> <p>5 Webster as well?</p> <p>6 A. It depends--right, I'm here on behalf of Stone</p> <p>7 and Webster, yes.</p> <p>8 Q. Okay. In reference to the report that was</p> <p>9 filed?</p> <p>10 A. That's correct.</p> <p>11 Q. Okay. And in that report you advocate or you</p> <p>12 state in part of your recommendations, if we</p> <p>13 can go there for a moment? That's on page 17.</p> <p>14 And the first bullet there you state, "An</p> <p>15 energy only rate to a wholesale customer the</p> <p>16 size of Newfoundland Power is an anomaly in</p> <p>17 terms of current industry practice." Can you</p> <p>18 expand upon that, please?</p> <p>19 A. Yes. I think it's, in my observation it's</p> <p>20 very unusual to observe an entity the size</p> <p>21 such as Newfoundland and Labrador Hydro</p> <p>22 selling to an entity as large as Newfoundland</p> <p>23 Power on an energy only rate. And within</p> <p>24 Stone and Webster, whoever we mention this to</p> <p>25 finds it surprising as--equally surprising.</p>	<p>1 Q. You used the word "anomaly" there. We heard</p> <p>2 yesterday in evidence that there were two</p> <p>3 exceptions, I guess, from the evidence</p> <p>4 provided by the Industrial Customers' experts</p> <p>5 where they could point to situations where the</p> <p>6 energy only rate was also in practice. Can</p> <p>7 you tell us from your own experience if the</p> <p>8 energy only rate is indeed an exception?</p> <p>9 A. As I mentioned, I do believe it's an</p> <p>10 exception. And I think the two examples that</p> <p>11 were mentioned yesterday referred to the upper</p> <p>12 northwest of Canada and the surplus of hydro--</p> <p>13 related to surplus of hydro. I think those</p> <p>14 are two unique situations that were brought</p> <p>15 up.</p> <p>16 Q. Now, have you had an opportunity to review Mr.</p> <p>17 Brockman's Supplementary Evidence of November</p> <p>18 6th, 2003?</p> <p>19 A. Yes, I have.</p> <p>20 Q. Can we just go to that, please, on page 2,</p> <p>21 lines 14 to 16? And there on page 2, lines 14</p> <p>22 to 16 he states that "A Marginal Cost Study</p> <p>23 and Retail Rate Design Study would be useful</p> <p>24 in evaluating retail rates on the Island</p> <p>25 Interconnected System." Does Hydro agree that</p>
Page 7	Page 8
<p>1 such a study should be undertaken?</p> <p>2 A. Lines 14 and 15 say, refer to two separate and</p> <p>3 distinct things. And if I may comment on what</p> <p>4 they are? No. 1, it refers to a Marginal Cost</p> <p>5 Study, and secondly, it refers to what's</p> <p>6 called here a Retail Rate Design Study. Now,</p> <p>7 my recollection is if you go a few lines</p> <p>8 above, that's really not a Retail Rate Design</p> <p>9 Study, but rather what's referred to, in my</p> <p>10 reading, is a Load Research Study. And a Load</p> <p>11 Research Study is simply to determine the load</p> <p>12 profiles to ascertain more accurately the load</p> <p>13 profiles of the various customer classes. I</p> <p>14 don't think it's correct in any fashion to</p> <p>15 characterize that as a Retail Rate Design</p> <p>16 Study.</p> <p>17 Q. In reference to the Marginal Cost Study that</p> <p>18 if we go to page 3, lines 17 to 20 of the</p> <p>19 supplementary evidence? Mr. Brockman</p> <p>20 recommends that the Marginal Cost Study and</p> <p>21 the Retail Rate Design Study be a joint effort</p> <p>22 of Hydro and Newfoundland Power. Now, are you</p> <p>23 aware that Newfoundland Power had its own</p> <p>24 Margin Cost Study completed some time ago?</p> <p>25 A. I am aware of that.</p>	<p>1 Q. Are you aware that the following the</p> <p>2 completion of that--or are you aware in</p> <p>3 reference to that whether or not Newfoundland</p> <p>4 and Labrador Hydro was involved in</p> <p>5 Newfoundland Power's Marginal Cost Study?</p> <p>6 A. I have no information, I don't know.</p> <p>7 Q. Why would one company want to be involved in</p> <p>8 the Marginal Cost Study of another company?</p> <p>9 (9:15 a.m.)</p> <p>10 A. I'll tell you my views on that. With respect</p> <p>11 to Hydro's Marginal Cost Study, Hydro as a</p> <p>12 wholesale supplier has its own internal cost</p> <p>13 and it needs to go out and gather--it has</p> <p>14 internal costs. But Margin Cost Study deals,</p> <p>15 in a sense, with the rate of change or the</p> <p>16 slope of capital expenditures in the future</p> <p>17 with respect to increment--with respect to</p> <p>18 load growth. So one component of that is</p> <p>19 identifying load growth into the future, and</p> <p>20 it would need to go out and ask NP and perhaps</p> <p>21 its Industrial Customers and make projections</p> <p>22 for its Rural Customers what type of load</p> <p>23 growth is going to happen over the next five,</p> <p>24 ten, fifteen years. But I think it's limited</p> <p>25 to that inquiry. I don't think it really goes</p>

Page 9	Page 10
<p>1 MR. GRENEMAN:</p> <p>2 any further. I think the actual conducting of</p> <p>3 a Margin Cost Study for Hydro should--that is</p> <p>4 to say, the mechanics--well, we'll be careful-</p> <p>5 -I think--I don't think Hydro really needs</p> <p>6 input from other entities other than load</p> <p>7 growth projections. It needs to rely upon its</p> <p>8 internal cost. So, perhaps other entities can</p> <p>9 participate with respect to the terms of</p> <p>10 reference, but I don't--it's not clear to me</p> <p>11 how they would participate other than</p> <p>12 providing a load forecast.</p> <p>13 BROWNE, Q.C.:</p> <p>14 Q. Would there be any proprietary information or</p> <p>15 the like that to which Newfoundland Power</p> <p>16 could be violating by getting itself involved</p> <p>17 on the recommendation that's made by Mr.</p> <p>18 Brockman here that the Marginal Cost Study be</p> <p>19 a Hydro and Newfoundland Power joint effort?</p> <p>20 A. Well, there's confidential information on both</p> <p>21 sides and so, yes, those issues can arise.</p> <p>22 Q. So for that reason alone Newfoundland Power</p> <p>23 should not be involved as part of a joint</p> <p>24 effort in Hydro's enterprise for a Marginal</p> <p>25 Cost Study, in your opinion?</p>	<p>1 A. With respect to the direction of the study and</p> <p>2 the mechanics of the study and--marginal cost</p> <p>3 studies can be quite controversial and I think</p> <p>4 it needs to be handled by one entity. That's</p> <p>5 my opinion.</p> <p>6 Q. And it's your opinion in this instance if the</p> <p>7 Marginal Cost Study is to be conducted and</p> <p>8 ordered by the Board, it be conducted by</p> <p>9 Hydro?</p> <p>10 A. That's my opinion.</p> <p>11 Q. Is it your opinion that the Marginal Cost</p> <p>12 Study is required prior to the implementation</p> <p>13 of a Demand Energy Rate?</p> <p>14 A. Absolutely not.</p> <p>15 Q. Why not?</p> <p>16 A. Demand Energy Rate has been accepted for</p> <p>17 decades now. It's in virtually every--the</p> <p>18 support for Demand Energy Rate is in virtually</p> <p>19 every rate textbook that exists. I don't see</p> <p>20 any reason why a Demand Energy Rate should not</p> <p>21 be implemented within the context in this</p> <p>22 proceeding. Marginal cost studies are a</p> <p>23 different animal in a sense. They're--okay.</p> <p>24 This jurisdiction is an embedded cost</p> <p>25 jurisdiction, that is, we make rates based</p>
Page 11	Page 12
<p>1 upon costs that have been incurred and current</p> <p>2 costs as well, and we derive a revenue</p> <p>3 requirement based upon accounting costs, if</p> <p>4 you will. There are few jurisdictions, very,</p> <p>5 very few and they're dwindling, that determine</p> <p>6 revenue requirement based on marginal cost and</p> <p>7 those that do--I'm sorry. Those that</p> <p>8 determine what rate should be paid based upon</p> <p>9 marginal cost ultimately reconciles to an</p> <p>10 accounting based revenue requirement. So, if</p> <p>11 I can, for example, take as an example, the</p> <p>12 State of Illinois in the U.S., what they had</p> <p>13 done is they didn't even do fully allocated</p> <p>14 studies, they did marginal cost studies and</p> <p>15 then they scaled down all the costs to meet</p> <p>16 the accounting cost revenue requirements, and</p> <p>17 then they walked away from that about a year</p> <p>18 ago. So, we're not making rates, per se, on</p> <p>19 marginal cost, we're still--and as well as</p> <p>20 what's being done throughout the rest of North</p> <p>21 America, rates are being made on embedded</p> <p>22 cost. Marginal costs are used to provide</p> <p>23 price signals or to provide a guide as to on</p> <p>24 and off peak pricing, what the relative level</p> <p>25 of demand should be with respect to energy.</p>	<p>1 They're not a determining factor. They're, if</p> <p>2 you will, sort of a modifier to embedded or</p> <p>3 accounting cost. In addition, I observed that</p> <p>4 this Board has, and the parties have</p> <p>5 contemplated a Demand Energy Rate since as far</p> <p>6 back as I know about 1989 and really have not</p> <p>7 come to any consensus on how to implement a</p> <p>8 demand and energy rate. And this is really a</p> <p>9 pretty straightforward process among parties</p> <p>10 that are willing to agree. When one</p> <p>11 introduces the concept of marginal costs,</p> <p>12 which is extremely controversial and is</p> <p>13 really, I mean, it's always controversial,</p> <p>14 then you're adding layers of complexity and,</p> <p>15 in my view, delaying the implementation of a</p> <p>16 demand energy rate. So it's my view that a</p> <p>17 demand and energy rate should be implemented</p> <p>18 first and could certainly be modified with the</p> <p>19 Marginal Cost Study as a guideline, or</p> <p>20 tweaked, if you will, using the Marginal Cost</p> <p>21 Study as a guideline.</p> <p>22 Q. But the first step would be to implement the</p> <p>23 Demand Energy Rate?</p> <p>24 A. Absolutely. I think it would be a mistake to</p> <p>25 wait for the Marginal Cost Study.</p>

Page 13	Page 14
<p>1 BROWNE, Q.C.:</p> <p>2 Q. Why do you think--you use the word "a</p> <p>3 mistake". Why do you say that it would be a</p> <p>4 mistake to wait?</p> <p>5 A. It's my feeling that it would--we would never</p> <p>6 have a demand and energy rate because if we</p> <p>7 can't agree on something so simple as a demand</p> <p>8 and energy rate, with the added complexity of</p> <p>9 marginal cost, it just becomes too involved,</p> <p>10 in my view.</p> <p>11 Q. We heard yesterday in questions put by Mr. Ian</p> <p>12 Kelly of Newfoundland Power to the experts</p> <p>13 from the Industrial Customers that a Demand</p> <p>14 Energy Rate, if implemented in this</p> <p>15 jurisdiction, would lead to certain</p> <p>16 volatilities, I think he used the word</p> <p>17 "volatilities". You were here and heard that</p> <p>18 evidence. What is your view on that?</p> <p>19 A. My view is that a demand rate and volatility</p> <p>20 go hand in hand, they're part and parcel, the</p> <p>21 same thing. And they're intrinsically the</p> <p>22 same because when you give someone an</p> <p>23 opportunity to lower their demand, then</p> <p>24 they're going to say the other party is going</p> <p>25 to lose and vice versa. So demand</p>	<p>1 intrinsically means demand goes up, someone</p> <p>2 pays, someone doesn't collect. There's a one-</p> <p>3 to-one relationship there, in a sense</p> <p>4 inseparable. The environment that existed was</p> <p>5 one of--well, it was, if I may say, it was an</p> <p>6 energy only rate when in conjunction with</p> <p>7 Hydro's Revenue Stabilization Plan and Hydro's</p> <p>8 RSA tended to levelize or stabilize NP's</p> <p>9 purchases and its annual cost. So in moving</p> <p>10 away from that there is some volatility</p> <p>11 introduced. Now, there are a number of ways</p> <p>12 to mitigate the volatility.</p> <p>13 Q. Can you tell us about those?</p> <p>14 A. Well, No. 1, Hydro has gone a long way in</p> <p>15 offering to weather normalize the demand, and</p> <p>16 that goes a very large way in mitigating</p> <p>17 volatility. That is to say, it's recognized</p> <p>18 that there'll be colder winters and there'll</p> <p>19 be warmer winters, but we're proposing to use</p> <p>20 a weather normalized demand. So that goes a</p> <p>21 long distance to stabilizing volatility. In</p> <p>22 addition, the volatility that NP has shown in</p> <p>23 their evidence is based upon a plus and minus</p> <p>24 five percent deviation. That was really a</p> <p>25 rounded number. Within recent history,</p>
Page 15	Page 16
<p>1 actually, the maximum deviation has been in</p> <p>2 the order of 3.6 percent. It was just rounded</p> <p>3 up to five percent as a whole number. And</p> <p>4 even considering that 3.6 percent, that's a</p> <p>5 before tax effect. Now, what NP has shown in</p> <p>6 their evidence is that they have a--how do I</p> <p>7 say this? It's allowed return on rate base</p> <p>8 range. I'm not sure if I'm stating that</p> <p>9 right. But it's a sense an earnings range</p> <p>10 that they're allowed to earn between. That</p> <p>11 earnings range has been negotiated based upon</p> <p>12 two conditions that existed. One of them was</p> <p>13 the fact that they would be served under an</p> <p>14 energy only rate and there was a decreased</p> <p>15 level of volatility. The other one is the</p> <p>16 fact that there was a load variation component</p> <p>17 in Hydro's rates and they had RSA as well.</p> <p>18 So, when their range of allowed earnings is</p> <p>19 viewed in the context of the energy only rate</p> <p>20 and viewed in the context of the Rate</p> <p>21 Stabilization Plan, it would in a sense make</p> <p>22 sense. Under a Demand Energy Rate where</p> <p>23 there's a greater level of volatility, it</p> <p>24 would only make sense, in my view, to ask the</p> <p>25 Board to expand that earnings range at which</p>	<p>1 triggers occur in order to--so we can operate</p> <p>2 more normally, in a more normal range. In</p> <p>3 addition, there are mechanisms that NP can</p> <p>4 implement, for example, one similar to what</p> <p>5 B.C. Hydro has done to stabilize earnings</p> <p>6 internally. So there is that type of</p> <p>7 mechanism that could be done. And in a sense,</p> <p>8 finally, the plus and minus variations in</p> <p>9 earnings over time hopefully tend to cancel</p> <p>10 each other out. So, I don't view it as</p> <p>11 anything more than any other utility having a</p> <p>12 Demand Energy Rate needs--itself lives with.</p> <p>13 And in fact, I think it's a little more modest</p> <p>14 than that in view of the fact that we have</p> <p>15 weather normalization and so on.</p> <p>16 Q. Okay. So you say the weather normalization</p> <p>17 will assist. What about the Rate</p> <p>18 Stabilization Plan, would that assist in this?</p> <p>19 A. You mean--the rate--the range--the Rate</p> <p>20 Stabilization Plan with respect to their own</p> <p>21 earnings or to implement a new -</p> <p>22 Q. Well, the new one is about to be implemented,</p> <p>23 the fact that it allows for a certain</p> <p>24 stability in the -</p> <p>25 A. I'd have to study that little more, it might</p>

Page 17	Page 18
<p>1 MR. GRENEMAN: 2 help. I'd need to study that. 3 BROWNE, Q.C.: 4 Q. In terms of the range, can you expand upon 5 that a bit, the fact that their Rate of Return 6 on Rate Base is expressed and a range, as 7 indeed is Rate of Return on Equity? You're 8 saying that will address the volatility to a 9 degree? 10 A. Well, my understanding is that it's a pretty 11 tight range right now. 12 Q. Not tight enough from our perspective, but 13 anyway, keep going. 14 A. Well, I'm judging it to be a tight range, 15 actually, from NP's evidence where they showed 16 it can theoretically trigger beyond that. 17 There is definitely a bit more volatility 18 introduced with respect to the introduction of 19 a demand component. And all things being 20 equal, to keep the relative volatility with 21 respect to that range, perhaps the range can 22 be expanded or restructured in some fashion. 23 Q. And other utilities have to deal with this 24 volatility, this would not be unique to 25 Newfoundland Power?</p>	<p>1 A. Absolutely not. 2 Q. And other utilities deal with it in the ways 3 that you're espousing now? 4 A. Some utilities just accept the volatility. I 5 mean, it's just an increase or decrease in 6 earnings. And according to NP's evidence, 7 it's only plus or minus \$5 million over their 8 total earnings, and it's not a humongous 9 number. 10 Q. In terms of the end user, by going to a Demand 11 Energy Rate, how will the end user, the 12 ultimate consumer be affected? 13 A. It's my view that a Demand Energy Rate 14 ultimately trickles down to the end user. I 15 think it provides for relevant pricing. You 16 see, Hydro is really selling two products to 17 Newfoundland Power. They're selling capacity 18 and they're selling energy. And in order for, 19 in order to enable the sales Hydro had to make 20 a long-term financial commitment of capacity 21 to construct generating facilities and it 22 needs to pay back its bankers and it can't pay 23 back its banker on how many kilowatt hours is 24 sold, it needs to pay back a fixed amount. So 25 what's done in the industry is it structures</p>
Page 19	Page 20
<p>1 what's called a demand charge, and that demand 2 charge reflects the capital cost of generating 3 facilities and its long-term financial 4 commitment made by Hydro on behalf of NP, on 5 behalf of the Industrial Customers and the 6 Rural Customers based upon their historical 7 demand pattern. 8 (9:30 a.m.) 9 So it structures a rate in the industry to 10 recover capital cost regardless of kilowatt 11 hours that are produced or consumed by the 12 customer. And that demand charge also serves 13 an alternate purpose, it provides a price 14 signal to NP as a consumer and hopefully down 15 to NP's retail customers as to the financial 16 commitment that Hydro made on behalf of NP, 17 long-term commitment for capital generating 18 resources. So the price signal, there are two 19 price signals. One is a capital resource 20 price signal which is demand, the other is a 21 natural resource price signal which is energy. 22 Energy is gas, oil, water and the capital is 23 labour and steel. So hopefully the NP's 24 ultimate customers and NP itself as a customer 25 will recognize that there's a variable natural</p>	<p>1 resource price signal and there's a capital 2 resource price signal. And right now there's 3 only an energy price signal and it doesn't 4 differentiate between what's capital intensive 5 and what's natural resource intensive. So I 6 think there's a definite virtue in separating 7 the two, and in fact, that's what the industry 8 does do. 9 Q. Okay. That's well and good. But if you were 10 to go on CBC tomorrow morning to explain it to 11 their interviewer by moving to a demand energy 12 charge consumers will benefit, he will want to 13 know the nuts and bolts of how that benefit 14 would derive right down to a person in their 15 home. Can you tell us that? 16 A. Well, some of the responses are very subtle, 17 some could be very direct in the form of, for 18 example, water heating control or water 19 heating in range interlocks or seasonal rates. 20 And I know that in a sense could be done right 21 now, but what it really takes is actually a 22 price--I think it's Hydro's responsibility to 23 pass on its costs to its customer and 24 consumer, NP, and for NP in a sense to try to 25 reflect that to its customers. The phrase</p>

Page 21	Page 22
<p>1 MR. GRENEMAN:  2 that necessity is the mother of invention has  3 been brought out by an often quoted author,  4 James Bonbright, who identified ten attributes  5 of a sound rate structure. And one of the  6 attributes is what's known as dynamic  7 efficiency, and that is that a rate has to be  8 able to respond to invasion and changes in  9 supply and demand. And as a demand and energy  10 only rate it cannot respond to that. And it  11 takes the two components to be able to instill  12 upon the end use customers that if they lower  13 demand, there'll be a direct lowering of cost  14 to NP, so their costs will ultimately go down.  15 It may not go down next week or next year, but  16 ultimately it will be lower. So a lot of the  17 effects are subtle. But it takes an actually  18 demanded energy price signal to do that, in my  19 view.  20 BROWNE, Q.C.:  21 Q. And the rates will go down because there will  22 not be as great a capital outlay, is that -  23 A. It's not necessarily in the very immediate  24 term, but in the longer term it may defer the  25 next plant and therefore there will eventually</p>	<p>1 be a lower outlay, and there actually could be  2 a present worth effect of that.  3 Q. So with a demand energy charge we should see  4 eventually reduced capital budgetary  5 expenditures by Power and indeed, by Hydro, is  6 that -  7 A. That would be my expectation.  8 Q. And therefore ultimately the consumers would  9 get the--wouldn't be paying for what is not  10 really necessary on the system?  11 A. That's correct.  12 Q. And together with that, with this particular  13 rate we would also be able to get into other  14 variations such as seasonal rates and time of  15 use rates and so on?  16 A. It doesn't in any way prohibit that. Yes.  17 Q. Would it be enhanced by moving to a demand  18 energy charge?  19 A. It would definitely give you more flexibility.  20 You could attribute seasonality to the demand  21 component, you can attribute seasonality to  22 the energy component. Right now you just have  23 there's just one component to deal with.  24 Q. Ultimately what would it do to the system?  25 You heard evidence here yesterday concerning</p>
Page 23	Page 24
<p>1 the potential growth for the system. We just  2 brought on Granite Canal, Hydro did, for the  3 benefit of the users of the province and we  4 have Island Pond the next, and indeed, the  5 only hydrology project left on the island  6 coming on in the next six or seven years, and  7 that's it, that'll give us 36 megawatts at a  8 cost of \$150 million. In terms of the  9 necessities for these projects and for the  10 goals and objectives of the system, will a  11 Demand Energy Rate assist here?  12 A. It will assist in--it will assist in two ways.  13 Well, it will assist in two ways. It will  14 assist in deferring the need for new capacity,  15 and there's a present worth effect of that.  16 So over the long run it will save customers.  17 But the other effect is to the extent that  18 Hydro would be increasingly over years perhaps  19 going more to thermal, it would save natural  20 resources as well.  21 Q. So it would be planning for the future by  22 doing it now?  23 A. Yes, it would be.  24 Q. Just in reference to Mr. Brockman's evidence  25 again, if we can take you back there? If we</p>	<p>1 can go to page 5 and lines 6 to 8 there? He  2 states, "The extent to which the firm energy  3 criterion affects the cost of capacity is a  4 question that could best be resolved by Hydro  5 and Newfoundland Power completing a long-run  6 Marginal Cost Study in which increases in  7 demand and energy are tested for their impact  8 on future system costs." You've already  9 disagreed with that?  10 A. Yes.  11 Q. And then he says, "A Marginal Cost Study based  12 on Hydro's planning models will greatly assist  13 in resolving the relative values of marginal  14 demand versus marginal energy in retail rate  15 design, the value of Newfoundland Power's  16 curtailable service option, the value of  17 Hydro's interruptible B and the value of  18 implementing additional rate options to  19 Newfoundland Power's customers." He makes a  20 reference there to Hydro's planning models.  21 In your view is a modelling effort such as  22 that proposed by Mr. Brockman needed in order  23 to determine the marginal costs?  24 A. Of generation, of generation?  25 Q. Yes.</p>

Page 25	Page 26
<p>1 MR. GRENEMAN:</p> <p>2 A. Perhaps. Not of T and D, not of transmission</p> <p>3 and distribution.</p> <p>4 BROWNE, Q.C.:</p> <p>5 Q. Not of transmission. What would be the cost</p> <p>6 of such a study?</p> <p>7 A. I would assume that a lot of it would be done</p> <p>8 in-house by--I would need to discuss it with</p> <p>9 the Company, honestly, and I -</p> <p>10 Q. But they could do it in-house?</p> <p>11 A. I would suggest they get some outside</p> <p>12 guidance. But it could--a lot of it--well,</p> <p>13 it's their own internal costs and they know</p> <p>14 their cost better than anyone else, so I think</p> <p>15 it would be my view is that it should be done</p> <p>16 in-house with the guidance of an outside</p> <p>17 consultant.</p> <p>18 Q. And -</p> <p>19 A. There are different possibilities.</p> <p>20 Q. And is it necessary to undertake such a</p> <p>21 modelling effort in order to determine</p> <p>22 marginal costs?</p> <p>23 A. Not always. I don't--Hydro doesn't have a lot</p> <p>24 of different types of stack units. I would</p> <p>25 need to discuss it with them. I don't think</p>	<p>1 it's necessarily necessary.</p> <p>2 Q. Does Hydro have a model capable of undertaking</p> <p>3 such a study, do you know?</p> <p>4 A. I don't know offhand.</p> <p>5 Q. When Newfoundland Power completed its Marginal</p> <p>6 Cost Study, was that an in-house completion,</p> <p>7 to your knowledge?</p> <p>8 A. I looked at the study and I didn't--my</p> <p>9 understanding it was, but that's just my</p> <p>10 initial understanding. I'd need to check it.</p> <p>11 I don't recall. I think it was in-house, I'm</p> <p>12 not sure.</p> <p>13 Q. You think it was in-house. I guess Mr.</p> <p>14 Brockman will be able to apprise us of that</p> <p>15 when he gets on the stand. On page 14 of your</p> <p>16 pre-filed evidence I'm going to go to now,</p> <p>17 lines 16 to 18. Just bear with me a moment</p> <p>18 now, please. So we're looking at lines 16 to</p> <p>19 18 on page 14 of your own evidence. Some of</p> <p>20 this you have already answered now, you</p> <p>21 referred to discussions surrounding the</p> <p>22 propriety of the current energy only rate form</p> <p>23 for sales of other electricity can be traced</p> <p>24 back at least to 1989. That seems like a long</p> <p>25 time to be discussing this particular issue,</p>
Page 27	Page 28
<p>1 it goes right back to 1989. Do you have any</p> <p>2 views on that, reading between the lines what</p> <p>3 transpired from 1989 'til now?</p> <p>4 A. Well, it just seemed that parties, you know,</p> <p>5 took up the issue when they were nudged to do</p> <p>6 so. I really--it was punctuated over time and</p> <p>7 I, you know, was not here and I really -</p> <p>8 Q. And the record indicated as well at one point</p> <p>9 Newfoundland Power felt--advocated a demand</p> <p>10 energy rate, is that correct?</p> <p>11 A. That's correct.</p> <p>12 Q. And Mr. Brockman, as an expert, came forward</p> <p>13 to the Board and advocated that. You make</p> <p>14 reference to this in your evidence. Have you</p> <p>15 looked at the transcripts or have you looked</p> <p>16 at the history of what went on after that</p> <p>17 period of time?</p> <p>18 A. I have, I don't know if I can recall in</p> <p>19 detail.</p> <p>20 Q. You make reference in line 22 and 23 that the</p> <p>21 most recent proposals and discussions between</p> <p>22 Hydro and Newfoundland Power to develop a</p> <p>23 demand rate occurred in 1992, but yet, there</p> <p>24 was no resolution of the matter, we still</p> <p>25 didn't have a demand rate coming forward at</p>	<p>1 that time?</p> <p>2 A. Apparently, correct.</p> <p>3 Q. And then I think we went into--after 1992 I</p> <p>4 don't believe there were any hearings until</p> <p>5 1996. And I think the Board may have ordered</p> <p>6 something in 1996 and time passes and here we</p> <p>7 are since 1989 and what are we, fifteen years,</p> <p>8 fourteen years later and there's still nothing</p> <p>9 been done. Do you have any comment on that,</p> <p>10 as to how we could have been waiting for so</p> <p>11 long for something to happen that was</p> <p>12 recommended to begin with?</p> <p>13 A. Well, my understanding is at certain points in</p> <p>14 time, both Hydro and NP, you know, I guess,</p> <p>15 mutually happy with the energy only rates. It</p> <p>16 seemed to allow them to dispatch, for NP to</p> <p>17 dispatch their hydro in a manner that they've</p> <p>18 been doing without any constraints. It</p> <p>19 doesn't mean it's the right rate, it just</p> <p>20 means that the right amount of revenues--no</p> <p>21 one contested the amount of revenue that was</p> <p>22 being transferred.</p> <p>23 Q. Can you comment on the benefits that we have</p> <p>24 lost over time by not having put in the demand</p> <p>25 rate as recommended by Newfoundland Power back</p>

Page 29	Page 30
<p>1 BROWNE, Q.C.:  2 in 1990, 1991?  3 A. I think that's a valid point. Had it been put  4 in earlier, I think efforts could have been  5 made earlier on to change, apply--to put in  6 plans and road management techniques to lower  7 the demand at this point in time. I think  8 that's -  9 Q. And, of course, we would have seen--what, in  10 your view would have been the result in the  11 intervening years?  12 A. It would have instilled the need to conserve  13 capital and demand, hopefully, at least there  14 would have been an intellectual recognition of  15 the fact that there are two components of  16 supply; namely capacity and energy.  17 Q. Well, we would have been using our resources  18 wiser, in your view, by now?  19 A. That would be the hope.  20 Q. So there's been a lot lost over the  21 intervening period?  22 A. It could have been.  23 Q. Would consumer rates have been lower in your  24 view if we had to have introduced this back  25 when Newfoundland Power first advocated it?</p>	<p>1 A. It's difficult to say if they would have been  2 lower now or next year or three years ago.  3 But I think there would have been a more, at  4 least conceptually a more efficient rationing  5 of products, capacity and energy. Capacity  6 for the overall efficiency of utilization of  7 demand on the Island and energy for the  8 conservation of natural resources, but -  9 (9:45 a.m.)  10 Q. Given that that's the fact, why would  11 Newfoundland Power be coming forward to this  12 Board opposing the introduction of a demand  13 energy rate, in your view?  14 A. It's, you know, it's really not clear to me.  15 Q. Do you have any opinion on it at all?  16 A. I don't think the volatility issue in and of  17 itself is sufficient to oppose it, in my view  18 and that's the only evidence I've seen put  19 forth. It's not clear to me why they would be  20 opposing it.  21 Q. I guess that's something we'll have to wait  22 for Mr. Brockman to come on the stand and  23 maybe he can explain it to us. In terms of  24 your own evidence, if we go back to page 15  25 and continuing with this theme and on line 26,</p>
Page 31	Page 32
<p>1 you say, "The energy price signals the need to  2 either use or conserve natural resources,  3 while the demand price signals the need to  4 conserve capital resources and the energy only  5 rate is therefore seen as giving an incomplete  6 price signal." Now in reference to that  7 incomplete price signal, to whom does that go?  8 A. That price signal is a price signal to NP and  9 it could trickle down to its retail customers,  10 depending upon the extent to which NP  11 demonstrates to its retail customers what the  12 components of cost are.  13 Q. And why would NP not want that price signal  14 that is now not going to the customers, why  15 would they not want a demand energy in place  16 so that their end customers could get that  17 price signal?  18 A. Ideally, I think they would like to fully  19 reflect that price signal in some fashion to  20 their retail customers, to their end-use  21 customers. I think they claim that they don't  22 know of any way of doing--whatever they are  23 doing now is the most they can do.  24 Q. But that's not the fact from your perspective?  25 A. I think there are more things that can be</p>	<p>1 done, but I don't think it stands solely on  2 the merits of whether NP can reflect--I don't  3 think the need for an NP rate is solely  4 predicated on whether--I don't think the need  5 for NP demand energy rate is solely predicated  6 on whether NP can reflect that price signal  7 down to their end-use customers. I think it  8 has merits on its own just that Hydro be able  9 to charge NP based on the cost structure that  10 it lives and dies by. I don't think in that  11 regard an energy only rate is appropriate. It  12 has a financial commitment, it needs to  13 reflect that in a demand energy rate.  14 Q. Is the fact that there's no demand component  15 in the wholesale power rate unfair to Hydro's  16 other customers?  17 A. If I can just reinterpret what you said, there  18 is a demand component in it, but it's not  19 being properly charged and by virtue of the  20 fact that it's not being properly charged, I  21 do see it as being unfair to its other  22 customers.  23 Q. So it's unfair to the Industrial Customers, do  24 you believe?  25 A. Yes, I do.</p>



Page 33	Page 34
<p>1 BROWNE, Q.C.:</p> <p>2 Q. And can you expand upon that and tell us how</p> <p>3 it is unfair?</p> <p>4 A. Well as it was brought out in testimony</p> <p>5 yesterday, NP makes a forecast and if they're</p> <p>6 off by the forecast, if their forecast is</p> <p>7 different than the actual, it's just simply an</p> <p>8 academic fact. I mean, they just pay the</p> <p>9 forecast and there's no reconciliation with</p> <p>10 actual and I don't mean to say that there</p> <p>11 should be a reconciliation with actual, but</p> <p>12 Industrial Customers, on the other hand, if</p> <p>13 they forecast wrong have to--they can incur a</p> <p>14 lot of additional costs, so -</p> <p>15 Q. So NP is home free, but the Industrial</p> <p>16 Customers aren't, according to the system</p> <p>17 we're -</p> <p>18 A. Well, I'd be careful about using the phrase</p> <p>19 "home free", but -</p> <p>20 Q. Yeah, okay. When you stated that a demand</p> <p>21 energy rate would conserve capital resources,</p> <p>22 indeed reserve natural resources, because in</p> <p>23 this jurisdiction we are on a rate-base system</p> <p>24 and therefore, the more capital expended to</p> <p>25 build plant, in fact gives the proponent an</p>	<p>1 ability to in fact make more money. Would</p> <p>2 that--how do you see that in terms of</p> <p>3 introducing demand energy only rate where we</p> <p>4 wouldn't see so much capital expenditure,</p> <p>5 according to what you're saying?</p> <p>6 A. Right, that was IR, an information request</p> <p>7 actually and the anticipation is that over the</p> <p>8 long term, the effect of a demand energy rate</p> <p>9 would be to reduce Hydro's rate base.</p> <p>10 Q. Would it have the same effect on Newfoundland</p> <p>11 Power of over the term reducing Newfoundland</p> <p>12 Power's rate base?</p> <p>13 A. It would reduce--it would have the effect of</p> <p>14 reducing, hopefully it would have the effect</p> <p>15 of reducing Newfoundland Power's costs to</p> <p>16 Hydro for purchase power and hopefully it</p> <p>17 would also have the effect of reducing--to the</p> <p>18 extent that they can pass it on to their</p> <p>19 customers and their customers can respond, of</p> <p>20 reducing NP's rate base as well. So there can</p> <p>21 be that double effect.</p> <p>22 Q. Is the primary reason for including a demand</p> <p>23 component in the rate to reflect costs that</p> <p>24 Newfoundland Power imposes on the system,</p> <p>25 rather than to promote demand energy--demand</p>
Page 35	Page 36
<p>1 management, I'm sorry, the primary reason for</p> <p>2 including a demand component in the rate to</p> <p>3 reflect costs that Newfoundland Power imposes</p> <p>4 on the system, rather than to promote demand</p> <p>5 management?</p> <p>6 A. I think, in my view, they could be equal or</p> <p>7 anyone could be greater, depending upon the</p> <p>8 circumstances at the time. I could see</p> <p>9 circumstances that either one could be more</p> <p>10 important, so I think they're both important.</p> <p>11 Q. Should a demand energy rate be introduced</p> <p>12 regardless of whether Hydro forecast a need</p> <p>13 for additional capacity?</p> <p>14 A. Absolutely, because these are the costs they</p> <p>15 live and die by. They made financial</p> <p>16 commitments and they need to--a demand rate,</p> <p>17 Hydro can't say I'm going to pay--say to their</p> <p>18 bankers, I'm going to pay you back if I sell</p> <p>19 enough kilowatt hours. They have to pay their</p> <p>20 financial commitment, and the introduction of</p> <p>21 a demand component represents that financial</p> <p>22 commitment and passes it on to its customer,</p> <p>23 namely NP. So yes, it stands on its own</p> <p>24 merits.</p> <p>25 Q. So the fact that Hydro is before the Board now</p>	<p>1 saying we need no additional capacity until</p> <p>2 2008 or 2010 or whatever they're saying, that</p> <p>3 makes no difference in your view to the -</p> <p>4 A. With respect to implementing a demand energy</p> <p>5 rate?</p> <p>6 Q. Yes.</p> <p>7 A. No.</p> <p>8 Q. So we should do that now regardless?</p> <p>9 A. I totally agree.</p> <p>10 Q. What if Hydro doesn't undertake a marginal</p> <p>11 cost study? Should a demand energy rate be</p> <p>12 introduced regardless of that?</p> <p>13 A. By all means.</p> <p>14 Q. So these two events are, in your view, no way</p> <p>15 connected?</p> <p>16 A. Well, they're not in no way connected.</p> <p>17 Marginal cost can serve as a guide on how to</p> <p>18 tweak demand energy rate. There's a</p> <p>19 connection, but certainly a marginal cost does</p> <p>20 not in any way serve as a prerequisite to</p> <p>21 implementing a demand energy rate.</p> <p>22 Q. Okay. Some particulars now along these</p> <p>23 themes, this theme that we have. On page 16,</p> <p>24 line 6 to 8 of your pre-filed evidence, you</p> <p>25 state that "an additional advantage of a</p>

Page 37	Page 38
<p>1 BROWNE, Q.C.:</p> <p>2 demand energy rate form is that attracts cost</p> <p>3 causality and changes in customer load</p> <p>4 profiles much more closely than an energy only</p> <p>5 rate," and why is this important, in your</p> <p>6 view?</p> <p>7 A. Well, if customer load factor changes, a</p> <p>8 demand and energy rate should concept--a</p> <p>9 demand and energy rate will track the cost</p> <p>10 changes in accordance with the changes in the</p> <p>11 load profile. That is to say, if customers,</p> <p>12 for example, cut their energy use in half,</p> <p>13 then NP has to, for example, burn less</p> <p>14 kilowatt hours and there'll be a matching of</p> <p>15 cost and revenues. So the cost and revenues</p> <p>16 tend to follow each other for each of the</p> <p>17 products, one product being capacity and the</p> <p>18 other product being energy. I would note that</p> <p>19 the capacity product, the change does not</p> <p>20 follow immediately. It could take years, but</p> <p>21 there is a correlation, and that correlation</p> <p>22 doesn't exist accurately in an energy only</p> <p>23 rate.</p> <p>24 Q. So ultimately, is efficiency--will efficiency</p> <p>25 or greater efficiency be the result?</p>	<p>1 A. It'll be a more efficient allocation of</p> <p>2 capital and natural resources, yes.</p> <p>3 Efficiency will result. I don't think it</p> <p>4 could be argued that an energy only rate is in</p> <p>5 any way more efficient than a demanded energy</p> <p>6 rate.</p> <p>7 Q. That's not your view?</p> <p>8 A. Demand and energy rate, in my view, is more</p> <p>9 efficient than an energy only rate, and it</p> <p>10 would only add to increase system efficiency</p> <p>11 and it's more efficient in allocating</p> <p>12 society's resources.</p> <p>13 Q. Because it tracks costs more closely, is a</p> <p>14 demand energy rate a more fair rate structure</p> <p>15 ultimately?</p> <p>16 A. Absolutely. That's the whole point.</p> <p>17 Q. So it's more fair to the end user, to the</p> <p>18 consumer ultimately?</p> <p>19 A. To represent the costs as they are incurred by</p> <p>20 society is, in my view, more fair.</p> <p>21 Q. On page 16 of your evidence, lines 10 to 18,</p> <p>22 you mention seasonal rates and load management</p> <p>23 such as water heating control as ways</p> <p>24 utilities such as Newfoundland Power can pass</p> <p>25 a demand signal on to their customers, and of</p>
Page 39	Page 40
<p>1 course, Newfoundland Power does not currently</p> <p>2 have seasonal rates or water heating control</p> <p>3 rates. Do you expect this might be because it</p> <p>4 has an energy only wholesale rate? So in</p> <p>5 fact, has no incentive to implement such</p> <p>6 retail rate programs.</p> <p>7 A. That could be very likely. I personally</p> <p>8 believe in the saying "necessity is the mother</p> <p>9 of invention." If you're presented with a</p> <p>10 rate structure, you have more incentive to</p> <p>11 react to it. I mean, that's my feeling.</p> <p>12 Q. I guess if customers ultimately had the</p> <p>13 benefit of seasonal rates or water heating</p> <p>14 control rates, the electricity consumers in</p> <p>15 the province, if we had had this back in</p> <p>16 1989/1991 when Newfoundland Power first</p> <p>17 advocated it, the people, consumers of the</p> <p>18 province have missed out on a potential means</p> <p>19 for reducing their bills. Would that be true?</p> <p>20 A. It could be true. In many other</p> <p>21 jurisdictions, water heating rates, ceramic</p> <p>22 storage rates, heater rates and other</p> <p>23 variations have already been put into effect.</p> <p>24 It might be that they haven't been put into</p> <p>25 effect here because of an energy only rate. I</p>	<p>1 can't say with certainty, but it's possible.</p> <p>2 Q. On page 16 to 18 of your evidence, you discuss</p> <p>3 issues such as revenue stability and the</p> <p>4 treatment of Newfoundland Power's generation</p> <p>5 and other demand rate considerations. In</p> <p>6 terms of coming before this Board, you're now</p> <p>7 coming before advocating a demand energy rate</p> <p>8 and some of these you've viewed as problems.</p> <p>9 When can we anticipate or when should we</p> <p>10 anticipate a demand energy rate could be</p> <p>11 implemented? What is a realistic date for</p> <p>12 implementing a demand energy rate in the</p> <p>13 province?</p> <p>14 (10:00 a.m.)</p> <p>15 A. I can't speak fully for Hydro, but it's my</p> <p>16 understanding that if this Board orders in</p> <p>17 this proceeding that Hydro implement a demand</p> <p>18 energy rate, it will do so expeditiously and I</p> <p>19 can't speak with respect to for Hydro on this,</p> <p>20 but that's my understanding that it would be</p> <p>21 in a relatively short, very short time frame.</p> <p>22 Q. And how do you define relatively short time</p> <p>23 frame?</p> <p>24 A. And once again, I'm not speaking on behalf of</p> <p>25 Hydro, and I would think it would be within a</p>

Page 41	Page 42
<p>1 MR. GRENEMAN:  2 month or so, but I'd have to consult with them  3 and I'm not speaking for them.  4 BROWNE, Q.C.:  5 Q. So effectively, I guess we would have to wait  6 for the Board's order in reference to this,  7 but a month after that order, these things  8 could be implemented? That's a possibility?  9 A. Subject to Hydro.  10 Q. So we could see a demand energy rate in effect  11 what, April-May?  12 A. I would really need to confer with Hydro on  13 that. I would think -  14 Q. But we're not talking about a long period of  15 time in any case. We're talking -  16 A. We're not talking about years.  17 Q. - about some time in 2004, this demand energy  18 rate could be implemented?  19 A. That's my understanding.  20 Q. Okay. If we can just go to Mr. Brockman's  21 evidence again, I just want to get your views  22 on some of these comments that he has made in  23 reference to this particular issue, and we go  24 to page one and two of his pre-filed evidence.  25 I think there's a summary of some sort there.</p>	<p>1 That's the summary of evidence, September 2,  2 2003. He makes certain comments here, and I'm  3 just going to ask you in reference to these.  4 He says "after reviewing the energy only rate  5 compared to the sample rate, using generally  6 accepted principles of good rate design, I  7 make the following conclusions," and then he  8 uses a bullet, "the energy only rate is  9 superior to the sample rate in collecting  10 revenue requirements for a fair return." What  11 is your view of that?  12 A. I don't agree with it.  13 Q. Why do you not agree with that?  14 A. Okay. If we take--it's superior--okay, if you  15 take your sentence and look at it, "it's  16 superior to collecting revenue requirements,"  17 can you read it?  18 Q. Yes, do you have it there on the screen?  19 You're having--it says "the energy only rate  20 is superior -  21 A. What line is that?  22 Q. It's page one of the pre-filed evidence of  23 September 2, 2003. Sorry, Terry, I probably  24 should have explained it there. See page one  25 down below, September 2, 2003. You might have</p>
Page 43	Page 44
<p>1 it on a different format. Keep going, I  2 think, Mr. O'Reilly.  3 A. I could answer the question without it.  4 Q. Maybe if your counsel there gave you the page,  5 so you'd -  6 MR. YOUNG:  7 Q. I'm looking for it.  8 BROWNE, Q.C.:  9 Q. Oh, you're looking for it as well. It's the  10 pre-filed evidence of September, and he has it  11 in his summary. There might be two page ones,  12 I think, from what I can see here. Maybe  13 that's what's going on.  14 CHAIRMAN:  15 Q. Do you have the official copy there?  16 BROWNE, Q.C.:  17 Q. Okay, if you can give that to the witness.  18 Thank you.  19 KELLY, Q.C.:  20 Q. That's not the right evidence on the screen, I  21 don't think. That's 2001 you have.  22 MR. O'REILLY:  23 Q. My apologies.  24 MR. YOUNG:  25 Q. There we go.</p>	<p>1 BROWNE, Q.C.:  2 Q. Okay. Thank you, Mr. O'Reilly. Okay. It  3 says here -  4 A. I see it, okay.  5 Q. Okay. "The energy only rate is superior to  6 the sample rate in collecting revenue  7 requirements for a fair return." That's the  8 conclusion Mr. Brockman makes. What is your  9 view of that?  10 A. Okay. I have several views. Number one, the  11 revenue requirement and fair return are, in a  12 sense, synonymous. Intrinsic in the revenue  13 requirement is a fair return. So I think we  14 could take out, in my view, the words "fair  15 return" because it tends to imply things that  16 shouldn't be implied, and in my view, first of  17 all, the sentence should read "in collecting  18 the revenue requirement" and I don't think the  19 word "fair return" means anything.  20 Second of all, there are many, many  21 attributes of what a desirable rate design  22 should be, and one, perhaps, of the most  23 simplistic of all, and I really mean the most  24 simplistic, is does it collect the revenue  25 requirements and that's ignoring allocation, a</p>

Page 45	Page 46
<p>1 MR. GRENEMAN:</p> <p>2 resources ability to respond to changing</p> <p>3 supply and demand conditions, ability to</p> <p>4 result in innovation. It's ignoring what I</p> <p>5 consider to be very, very important</p> <p>6 attributes, but focusing narrowly on this one</p> <p>7 attribute, the ability to collect the revenue</p> <p>8 requirement, it does that very well because</p> <p>9 not only is it an energy only rate, but it's</p> <p>10 an energy only rate in the context of a rate</p> <p>11 stabilization plan and its own RS--NP's RSA.</p> <p>12 So even if it doesn't collect the revenue</p> <p>13 requirement, the rate stabilization plan will</p> <p>14 force it to collect the revenue requirement.</p> <p>15 So it does that, and it does it well.</p> <p>16 But it's a very simplistic measure and</p> <p>17 once--and as this was discussed many times in</p> <p>18 the demand energy report, once you unstabilize</p> <p>19 any component of that, meaning if you take</p> <p>20 some of the costs away from energy and put</p> <p>21 them in demand, by identity, they become at</p> <p>22 risk to one party or another and by virtue of</p> <p>23 the fact that they're at risk for one party or</p> <p>24 another, collecting the revenue requirement</p> <p>25 for that component is at risk. So it's an</p>	<p>1 identity in that sense. So in this very,</p> <p>2 very, very narrow sense, I would agree with</p> <p>3 that statement and I don't think it should be</p> <p>4 relied upon in any fashion as to whether or</p> <p>5 not to implement a demand and energy rate.</p> <p>6 BROWNE, Q.C.:</p> <p>7 Q. He also says that "the energy only rate fairly</p> <p>8 recovers Hydro's cost of service revenue</p> <p>9 requirement from Newfoundland Power." Do you</p> <p>10 have any comments on that, in terms of</p> <p>11 comparing it to the sample rate?</p> <p>12 A. It's not clear how that's different from the</p> <p>13 first one.</p> <p>14 Q. So that's the same thing in your view?</p> <p>15 A. It's very close.</p> <p>16 Q. Then he says -</p> <p>17 A. If you--okay.</p> <p>18 Q. Okay, do you have a comment on it at all?</p> <p>19 A. No, they're so similar as to -</p> <p>20 Q. So bullet one and two are the same</p> <p>21 effectively, in your view?</p> <p>22 A. I think they're very similar.</p> <p>23 Q. The third bullet, he says "a demand energy</p> <p>24 rate fairly apportions costs between Hydro's</p> <p>25 Industrial Customers, but is not needed for</p>
Page 47	Page 48
<p>1 Newfoundland Power since it is the only</p> <p>2 customer in its class." What is your view of</p> <p>3 that?</p> <p>4 A. While I agree that it's an absolute necessity</p> <p>5 for two customers in a class--if there were</p> <p>6 two customers, there would have to be a demand</p> <p>7 and energy rate, in my view, or else two</p> <p>8 special contracts.</p> <p>9 A. But as I mentioned before, a demand energy</p> <p>10 rate, even with one customer class is fully</p> <p>11 justified based upon the fact that I believe</p> <p>12 it's Hydro's responsibility to pass on its</p> <p>13 cost as it incurs its financial obligations.</p> <p>14 And also to encourage load management on the</p> <p>15 Island to increase the overall efficiency of</p> <p>16 capital resource utilization on the Island and</p> <p>17 to lower the use of natural resources when</p> <p>18 that can be done.</p> <p>19 Q. So, their reliance upon the fact that they're</p> <p>20 the only customer in their class, that doesn't</p> <p>21 give validity to his comment that the energy</p> <p>22 only rate is, in fact, better, I guess, is</p> <p>23 what he's trying to tell us, than the sample</p> <p>24 rate?</p> <p>25 A. Right. What struck me is that in response to</p>	<p>1 an information request, my recollection is</p> <p>2 they responded that there were two customers</p> <p>3 in class, they still--but I totally don't</p> <p>4 understand that.</p> <p>5 Q. So, they just don't want it, period.</p> <p>6 A. Yeah.</p> <p>7 Q. The fourth bullet, he says, "the current</p> <p>8 energy only rate is superior to the sample</p> <p>9 rate in promoting energy efficiency". What is</p> <p>10 your comment on that?</p> <p>11 A. Well, I think the thrust of that statement is</p> <p>12 by virtue of the fact that it's higher in</p> <p>13 magnitude. You see, the current rate rolls</p> <p>14 demand cost into the energy component and by</p> <p>15 doing so, it raises the energy component</p> <p>16 higher than it would normally be on an average</p> <p>17 basis. And I think that the thrust of that</p> <p>18 statement is, by virtue of the fact that it's</p> <p>19 higher than the energy component should be, it</p> <p>20 results in energy conservation. I think--I</p> <p>21 don't agree with that. I think the right</p> <p>22 price signal is the price signal that reflects</p> <p>23 cost as they are actually incurred. And by</p> <p>24 the way, to the extent that it promotes, may</p> <p>25 promote energy conservation, it certainly does</p>

Page 49	Page 50
<p>1 MR. GRENEMAN:  2 not address conservation of capital resources.  3 BROWNE, Q.C.:  4 Q. And they say as part of that bullet as well,  5 "an inappropriate emphasis on demand charges  6 in the sample rate design contributes to  7 inefficiency in the same rate energy charges".  8 A. I disagree with that.  9 Q. Why do you disagree with that?  10 A. Because it's the right signal for efficiency.  11 In my view, it's the correct signal and it has  12 to be the correct signal because it replicates  13 how Hydro incurs its cost, therefore it must  14 be the correct signal.  15 Q. So, the energy only rate is an incorrect  16 signal?  17 A. In my view, yes.  18 Q. Then the next bullet, it states, "the energy  19 only rate allows Hydro and Newfoundland Power  20 to optimise the use of their hydraulic and  21 thermal generation resources, the proposed  22 sample rate would send an inappropriate  23 pricing signal that would encourage  24 Newfoundland Power to modify its hydraulic  25 storage patterns to reduce cost. Newfoundland</p>	<p>1 Power indicates that the storage modification  2 would increase the likelihood of spillage and  3 result in a less than optimal use of  4 generation resources".  5 A. My understanding is that there's--on point,  6 not a lot of potential to actually move water  7 from one period to other and--I don't think it  8 would result in a large amount of dollars.  9 That's my initial understanding. And I don't  10 think they should be permitted to do that, to  11 increase overall system costs for the benefit  12 of arbitraging summer, winter kilowatt hours.  13 Q. I'm not certain what you mean by that, can you  14 expand upon that a little more?  15 A. Well, it may put a few extra dollars in their  16 pockets.  17 Q. In whose pockets?  18 A. In NP's pocket, but I think it would be to the  19 detriment of the island system.  20 Q. I'm sorry, how -  21 A. Because -  22 Q. - would they get a few extra dollars put in  23 their pocket? I'm not--that's caught my  24 attention, can you explain that?  25 A. I'm not sure it would put any more money in</p>
Page 51	Page 52
<p>1 their pocket, but the theory is that if they  2 can--they can use more water, sorry, if they  3 can move the water that they would normally  4 use from the fall to the winter, it would--if  5 they could store more water in the winter,  6 then it would displace purchasers from  7 Holyrood at the incremental cost of Holyrood.  8 Q. So, is this what--the witnesses yesterday were  9 referring to an ability to gain the system.  10 A. That's--yes. The RSP enters into this and I'm  11 not sure how that enters into it, so I can't  12 say with certainty how they would gain or not  13 gain, but yes, it ties into that conversation,  14 yesterday.  15 Q. Well, what safeguards could we put in place to  16 ensure they didn't do that?  17 A. One would be prohibition on doing it by this  18 Board.  19 Q. So, the Board itself could address that.  20 A. I believe so.  21 Q. And give them an order in reference to that  22 particular ability that they may or may not  23 have.  24 A. I believe so; I say that cautiously, yes.  25 (10:15 a.m.)</p>	<p>1 Q. Then the next bullet they state, "Newfoundland  2 Power's current rate designs reasonably  3 reflect the Island Interconnected system cost  4 of demand on energy and the sample rate will  5 not change Newfoundland Power's rate designs".  6 Can you comment on that?  7 A. Reasonably is broad term. It may reasonably  8 reflect it right now, but that's not to say  9 that there are other measures or more than can  10 be done. The fact that it won't change their  11 rate design is their own initiative.  12 Q. That was--pardon?  13 A. Is their initiative, that may be their  14 choosing, but they're perhaps--my  15 understanding is there are things that can be  16 done.  17 Q. So, they could attempt to change their own  18 rate designs if they so chose?  19 A. Yes.  20 Q. Under the sample rate, the so-called -  21 A. Under the sample rate, yes.  22 Q. Then we have four more bullets to go, by that  23 time, it would be the break, I would surmise.  24 And it says, the next bullet and it's on the  25 top of page 2, "there is no evidence to</p>

Page 53	Page 54
<p>1 BROWNE, Q.C.:</p> <p>2 support additional cost effective demand</p> <p>3 management on Newfoundland Power's system.</p> <p>4 The available evidence indicates that demand</p> <p>5 management would have little effect on Hydro's</p> <p>6 future generation plans". Can you comment on</p> <p>7 that, please?</p> <p>8 A. There's always an effect on Hydro's, even</p> <p>9 several kilowatts saved have an effect, you</p> <p>10 know, the degree of to which its measurable,</p> <p>11 but there is a one-to-one effect, but its</p> <p>12 plans happen in quantum steps, if you will,</p> <p>13 and not in a continuous fashion. And if</p> <p>14 Hydro's plans were in a continuum, you would</p> <p>15 be able to observe it, but there are changes.</p> <p>16 It would affect Hydro's plant.</p> <p>17 Q. For the better or for the worse when you</p> <p>18 affect -</p> <p>19 A. Well, if they conserve, they would be for the</p> <p>20 better. If NP conserved, it would lower the</p> <p>21 need for capital additions in the future.</p> <p>22 Q. The next, it says, "the sample rate will</p> <p>23 encourage Newfoundland Power to spend up to</p> <p>24 \$84.00 per kilowatt to reduce peak demand when</p> <p>25 Hydro has provided evidence of \$28.20 per</p>	<p>1 kilowatt is too much to pay for peak demand</p> <p>2 reduction through interruptible rates". Do</p> <p>3 you have any comment on that or can you</p> <p>4 explain what they're attempting to say here?</p> <p>5 A. Yes. I think that statement is, in a sense,</p> <p>6 slight of hand. I think it's a confusing</p> <p>7 statement, but if I can, I'd like to try to</p> <p>8 clarify it.</p> <p>9 Q. Please do.</p> <p>10 A. The \$84.00 per kilowatt year is Hydro's fully</p> <p>11 allocated Cost of Service for capacity. The</p> <p>12 \$28.20 is not something that stands next to it</p> <p>13 and that could be compared to it, but rather,</p> <p>14 it's a component of the \$84.00 per kilowatt</p> <p>15 year. I don't know how to explain this</p> <p>16 visually, but the full \$84.00 per kilowatt</p> <p>17 year is, if you will, a full--a commitment, a</p> <p>18 firm--we will serve you on a firm basis. The</p> <p>19 \$28.20 is a subtraction from the \$84.00 to</p> <p>20 make the \$84.00 less firm. It's perhaps--my</p> <p>21 understanding is its based on, I think it was</p> <p>22 a diesel rate and then it was cut in half.</p> <p>23 Ultimately, it was a negotiated number to</p> <p>24 lower the \$84.00 firm such as to make it</p> <p>25 interruptible. So, it's not comparing--it</p>
Page 55	Page 56
<p>1 reads as though you're comparing \$84.00 versus</p> <p>2 \$28.20, but it's really \$84.00 in a sense next</p> <p>3 to \$84.00 minus \$28.20. The \$84.00 being firm</p> <p>4 and the \$84.00 minus \$28.20 being non-firm</p> <p>5 demand.</p> <p>6 Q. So, what is attempting to be said here then?</p> <p>7 A. What's attempting to be said is that what's</p> <p>8 being done sounds ridiculous, but it's not at</p> <p>9 all ridiculous when viewed in the proper</p> <p>10 context. You can't compare--you can't put the</p> <p>11 84 next to the twenty eight dollars, they're</p> <p>12 not comparable. The twenty eight dollars is a</p> <p>13 component of the \$84.00 conceptually.</p> <p>14 Q. So, the way this is stated, from a layman's</p> <p>15 perspective, are you telling us this doesn't</p> <p>16 make sense, the way it's stated?</p> <p>17 A. That's correct.</p> <p>18 Q. The next bullet they state, "the energy only</p> <p>19 rate creates a more stable revenue stream for</p> <p>20 both Hydro and Newfoundland Power than the</p> <p>21 sample rate. And the energy only rate</p> <p>22 therefore avoids the costs of dealing with the</p> <p>23 additional revenue volatility, there are no</p> <p>24 benefits to customers of imposing additional</p> <p>25 revenue volatility on Newfoundland Power". I</p>	<p>1 guess that's what it's all about. Can you -</p> <p>2 A. Yes, this goes back to bullets number one and</p> <p>3 two. It's not the energy only rate per se.</p> <p>4 Let me put this on an equal basis, if I could,</p> <p>5 if there were no revenue stabilization plan</p> <p>6 and I'm in no way suggesting that we eliminate</p> <p>7 the revenue stabilization plan, but let's just</p> <p>8 take another jurisdiction. In another</p> <p>9 jurisdiction, if there were any energy only</p> <p>10 rate versus a demand and energy only rate,</p> <p>11 this statement could not be made with any</p> <p>12 degree of certainty, in my view. It depends</p> <p>13 upon what the weather is in the jurisdiction.</p> <p>14 It depends upon a lot of variables, but on the</p> <p>15 face of it, in a jurisdiction, one could not</p> <p>16 say that an energy only rate provides more</p> <p>17 stable revenues than a demand and energy rate.</p> <p>18 And demand and energy rate provides a more</p> <p>19 stable and proper matching of cost recovery</p> <p>20 with cost incurrence. That's not what's being</p> <p>21 said here. What's being said here or implied</p> <p>22 here is that once a revenue requirement is</p> <p>23 determined, then it goes on year after year in</p> <p>24 the absence of a rate case and an energy only</p> <p>25 rate will recover more reliably that target</p>

Page 57	Page 58
<p>1 MR. GRENEMAN:</p> <p>2 revenue requirement. That's a small</p> <p>3 attribute. But that's in this jurisdiction.</p> <p>4 In any other jurisdiction a demand and energy</p> <p>5 rate versus an energy rate, it cannot be said</p> <p>6 that the energy rate will fulfil this virtue.</p> <p>7 It's only in conjunction with the revenue</p> <p>8 stabilization plan that this is true. And</p> <p>9 once again, when you take cost out of energy</p> <p>10 and put it in demand, by nature it becomes--it</p> <p>11 is a risk associated with that. So, it's not</p> <p>12 the intrinsic nature of an energy only rate</p> <p>13 that makes this true. It's in this</p> <p>14 jurisdiction in conjunction with the rate</p> <p>15 stabilization plan.</p> <p>16 Q. And the weather normalization, as well?</p> <p>17 A. Well--does it say--sample rate.</p> <p>18 Q. Well, what we have, the benefits in this</p> <p>19 jurisdiction.</p> <p>20 A. Yeah, because the sample rate, even with</p> <p>21 weather normalization, there is some--there</p> <p>22 has to be some degree of risk to one party or</p> <p>23 another.</p> <p>24 Q. But that there's now, as well, isn't it?</p> <p>25 A. Under an energy only rate?</p>	<p>1 Q. Yes, isn't there a certain risk here in any</p> <p>2 case? How are they guaranteed their rate?</p> <p>3 What if everyone decides, as I advocate, to</p> <p>4 move from baseboard radiation to other forms</p> <p>5 of spacing for their homes? What if somehow</p> <p>6 the government decided to give grants for that</p> <p>7 or something like that? That would create</p> <p>8 volatility for the energy only rate in this</p> <p>9 particular jurisdiction, wouldn't it?</p> <p>10 A. Well, but then there'd be an effect of the</p> <p>11 rate stabilization plan.</p> <p>12 Q. In any case, this bullet here, in your view,</p> <p>13 is not accurate?</p> <p>14 A. It's accurate, I think it's accurate in this</p> <p>15 jurisdiction. I don't think it's the main</p> <p>16 virtue that's up for consideration. I don't</p> <p>17 think it's a major -</p> <p>18 Q. It's not an impediment?</p> <p>19 A. I don't think it's a major issue, I think it's</p> <p>20 a very minor issue. I think there are more</p> <p>21 overriding issues at hand than this.</p> <p>22 Q. Can you think of any other jurisdiction where</p> <p>23 they'd have just an energy only rate for a</p> <p>24 customer the size of Newfoundland Power? Does</p> <p>25 anything come to mind at all?</p>
Page 59	Page 60
<p>1 A. Other than what was brought out yesterday, I</p> <p>2 know of none.</p> <p>3 Q. And you worked extensively in the United</p> <p>4 States?</p> <p>5 A. Yes, reasonably extensively in the United</p> <p>6 States.</p> <p>7 Q. In the energy fields?</p> <p>8 A. Yes.</p> <p>9 Q. And there's no jurisdiction in Canada that</p> <p>10 you're familiar with in reference in making -</p> <p>11 A. Other than what was brought out yesterday, no.</p> <p>12 Q. Then they say, "both the sample rate and the</p> <p>13 energy only rate are understandable for a</p> <p>14 large customer such as Newfoundland Power.</p> <p>15 However, the energy only rate is more</p> <p>16 practical to administer because it is less</p> <p>17 complicated". What kind of reason is that?</p> <p>18 A. These are nice things to say about a rate to</p> <p>19 domestic customers, but for sophisticated</p> <p>20 customers such as NP, I think it's a</p> <p>21 meaningless or next to meaningless measure of</p> <p>22 what rationale for keeping the rate.</p> <p>23 Q. And then they come to the conclusion,</p> <p>24 "overall, the current energy only rate out</p> <p>25 performs the sample rate when evaluating,</p>	<p>1 using generally accepted, but generally</p> <p>2 accepted principles of good rate design and a</p> <p>3 sample rate should not be implemented". Now,</p> <p>4 what generally accepted principles of good</p> <p>5 rate design are being referred to here? Do</p> <p>6 you have any idea?</p> <p>7 A. I assume they're referring to Doctor James</p> <p>8 Bonbright, I assume they're referring to</p> <p>9 Bonbright. Is there a part that goes further</p> <p>10 and states that or -</p> <p>11 Q. No, it doesn't -</p> <p>12 A. It's not enough to--if they are referring to</p> <p>13 Doctor Bonbright, Doctor Bonbright has</p> <p>14 gathered up from other sources, attributes of</p> <p>15 a sound rate structure and he's combined them</p> <p>16 into what he considers the 10 attributes of</p> <p>17 the sound rate structure and he's very often</p> <p>18 quoted on these 10 attributes, as well as his</p> <p>19 other ideas on rate design and public utility</p> <p>20 economics. And in my view, it's not proper</p> <p>21 for a customer with the sophistication of NP</p> <p>22 to say, well, gee, I satisfy 1, 3, 5 and 7,</p> <p>23 because I think certain attributes are more</p> <p>24 important than other attributes and I think</p> <p>25 what's being cited here are, by far, the least</p>

Page 61	Page 62
<p>1 MR. GRENEMAN:</p> <p>2 important of the attributes for customers such</p> <p>3 as NP. I think attributes such as static and</p> <p>4 dynamic efficiency which NP says nothings</p> <p>5 about, are very, very important and those</p> <p>6 attributes are key to, I think, it economics</p> <p>7 of generation on the Island. They think they</p> <p>8 should be implemented not based upon whether</p> <p>9 it's a simplistic rate schedule. I don't</p> <p>10 think that's an important attribute.</p> <p>11 BROWNE, Q.C.:</p> <p>12 Q. Then they say on the next page, "In</p> <p>13 conclusion, the current Hydro rate designs</p> <p>14 fairly allocate the Cost of Service revenue</p> <p>15 requirements to Newfoundland Power and the</p> <p>16 Industrial Customers, the demand energy rate</p> <p>17 fairly apportions cost within the Industrial</p> <p>18 class, but is not needed for Newfoundland</p> <p>19 Power since it's the only customer in its</p> <p>20 class". Well, they're already dealt with</p> <p>21 that, haven't they?</p> <p>22 A. I believe so, yes.</p> <p>23 Q. Okay. It's 10:30, can we have a break there</p> <p>24 now?</p>	<p>1 CHAIRMAN:</p> <p>2 Q. Thank you, Mr. Browne; thank you, Mr.</p> <p>3 Greneman, we'll reconvene at 10:45 a.m..</p> <p>4 (BREAK - 10:30 A.M.)</p> <p>5 (RESUME - 10:50 A.M.)</p> <p>6 CHAIRMAN:</p> <p>7 Q. Anything, Ms. Newman, before we begin?</p> <p>8 MS. NEWMAN:</p> <p>9 Q. No.</p> <p>10 CHAIRMAN:</p> <p>11 Q. Okay. Thank you. Mr. Browne, when you're</p> <p>12 ready please.</p> <p>13 BROWNE, Q.C.:</p> <p>14 Q. For the benefit of the Board, I think we'll</p> <p>15 have about 15 more minutes and then we'll give</p> <p>16 it over to Mr. Kelly.</p> <p>17 CHAIRMAN:</p> <p>18 Q. Thank you.</p> <p>19 BROWNE, Q.C.:</p> <p>20 Q. Okay. So we left off talking--looking at the</p> <p>21 summary that Mr. Brockman had put forward, a</p> <p>22 summary of his evidence, and in your view, do</p> <p>23 the advantages of the introduction of a demand</p> <p>24 energy rate outweigh the disadvantages</p> <p>25 summarized by Mr. Brockman?</p>
Page 63	Page 64
<p>1 A. Yes, I believe they overwhelmingly outweigh</p> <p>2 the disadvantages. I think the advantages of</p> <p>3 a demand energy rate outweigh the stated</p> <p>4 disadvantages of a demand energy rate, stated</p> <p>5 by Mr. Brockman.</p> <p>6 Q. Does the sample rate send an efficient price</p> <p>7 signal?</p> <p>8 A. Yes, it does, in my view.</p> <p>9 Q. In your view, have there been--Newfoundland</p> <p>10 Power came forward in 1989-1990 in support of</p> <p>11 a demand energy rate. Is there anything you</p> <p>12 see, changes in the industry or in the</p> <p>13 economy, over the past decade that would</p> <p>14 suggest that a demand energy rate should no</p> <p>15 longer be pursued in this province?</p> <p>16 A. Not at all. In fact, throughout the rest of</p> <p>17 North America, if anything, a demand energy</p> <p>18 rate becomes more appropriate than ever</p> <p>19 before, but nothing in the other direction</p> <p>20 that an energy only rate is more appropriate.</p> <p>21 There's nothing to indicate that a demand--</p> <p>22 there's no dynamics or movement to indicate,</p> <p>23 in my view, that over the last ten years, that</p> <p>24 an energy only rate would be more appropriate.</p> <p>25 Q. In terms of the implementation, just to</p>	<p>1 conclude on this particular topic, the way it</p> <p>2 could be envisaged is this: the Board would</p> <p>3 order, if it saw fit, a demand energy rate</p> <p>4 that would send a signal to Newfoundland Hydro</p> <p>5 to implement a rate. What would happen then?</p> <p>6 What would the mechanics be, in your -</p> <p>7 A. The mechanics of -</p> <p>8 Q. The mechanics of the implementation?</p> <p>9 A. The mechanics of the implementation?</p> <p>10 Q. Yes.</p> <p>11 A. Either Hydro independently or Hydro in concert</p> <p>12 with NP--well, they could either implement the</p> <p>13 rate as it's stated in response to one of the</p> <p>14 information requests, which is a minor</p> <p>15 adjustment to the sample rate, or they can</p> <p>16 tweak it in some fashion, based upon their</p> <p>17 internal discussions, and if they were to</p> <p>18 tweak it internally based upon their</p> <p>19 discussions, they would run scenarios. My</p> <p>20 understanding is that the demand energy rate,</p> <p>21 the sample demand energy rate, as adjusted to</p> <p>22 meet the revenue requirement as originally</p> <p>23 filed is an implementable rate. But the final</p> <p>24 word rests with Hydro and not with me.</p> <p>25 Q. And from Newfoundland Power's perspective,</p>



Page 65	Page 66
<p>1 BROWNE, Q.C.:</p> <p>2 they would deal with their own customers as</p> <p>3 they saw fit?</p> <p>4 A. And I think that's appropriate.</p> <p>5 Q. That's the appropriate way, so obviously</p> <p>6 they're not going to scare all their customers</p> <p>7 off because of a demand energy rate?</p> <p>8 A. Right.</p> <p>9 Q. Or say there's confusion or tell the public at</p> <p>10 large. That would have an adverse effect,</p> <p>11 wouldn't it?</p> <p>12 A. Right.</p> <p>13 Q. Okay. That completes my evidence on that</p> <p>14 topic. Just a number of questions on the--on</p> <p>15 page 10 of your pre-filed evidence, you</p> <p>16 summarize the cost of service assignment of</p> <p>17 the Great Northern Peninsula and the Doyles-</p> <p>18 Port aux Basques and the Burin Peninsula, and</p> <p>19 you indicate that principles relied on are</p> <p>20 consistent with those commonly used in the</p> <p>21 industry. What principles are you referring</p> <p>22 to?</p> <p>23 A. Yes. There are actually two sets of--</p> <p>24 typically in cost of service, a lot of the</p> <p>25 controversy, if you will, in cost of service</p>	<p>1 arises in part out of the need to allocate</p> <p>2 joint costs or costs that are used by two or</p> <p>3 more customer classes, such as generating</p> <p>4 plant and transmission plant, but as well,</p> <p>5 there are--there's always some degree of</p> <p>6 controversy associated with were there any</p> <p>7 facilities put into place that are above and</p> <p>8 beyond what would normally be put into place</p> <p>9 for customers. I would recognize that not</p> <p>10 everything, not every customer has the same</p> <p>11 length of line going to their premises, so</p> <p>12 some customers may have ten feet of line.</p> <p>13 Other customers may have a thousand feet of</p> <p>14 line. So there are normal variations. In</p> <p>15 certain instances, substations might be</p> <p>16 assigned to a specific customer, for certain</p> <p>17 reasons. One reason might be that they</p> <p>18 request a very high reliability of service.</p> <p>19 Things that are inordinate, in a sense, normal</p> <p>20 cost of service, might be specifically</p> <p>21 assigned.</p> <p>22 Now what's happening right now with</p> <p>23 restructuring and deregulation in the United</p> <p>24 States, the United States has the Federal</p> <p>25 Energy Regulatory Commission, the FERC, and in</p>
Page 67	Page 68
<p>1 an attempt to foster open access to all</p> <p>2 customers, they have derived what's called a</p> <p>3 FERC 7-factor test and these are seven</p> <p>4 guidelines to determine whether a line is</p> <p>5 common, transmission or common, serving all</p> <p>6 customers, wholesale and retail, and hence</p> <p>7 under Federal jurisdiction versus whether it's</p> <p>8 local and under state jurisdiction. So in</p> <p>9 reviewing system planning's study of the GNP,</p> <p>10 the Burin Peninsula and the three points, it's</p> <p>11 been my observation that the guidelines that</p> <p>12 they have relied on are consistent with those</p> <p>13 that have been applied for decades in cost of</p> <p>14 service and also follow the same principles as</p> <p>15 were followed in the FERC 7-factor test, not</p> <p>16 the same, but the similar line of reasoning.</p> <p>17 Q. And based upon these principles, you came to</p> <p>18 certain conclusions about the Great Northern</p> <p>19 Peninsula and the Burin Peninsula?</p> <p>20 A. I have relied upon system planning's</p> <p>21 conclusions, but I have noted that the</p> <p>22 principles they've relied on are consistent</p> <p>23 with those that are used in the industry.</p> <p>24 Q. And you stand by your recommendations in</p> <p>25 reference to those?</p>	<p>1 A. I stand by system planning's recommendations.</p> <p>2 Q. Did you undertake any analysis of the</p> <p>3 appropriateness of terminating the</p> <p>4 Interruptible B program to Abitibi</p> <p>5 Stephenville?</p> <p>6 A. I have not personally undertaken that.</p> <p>7 Q. With regard to the treatment of Newfoundland</p> <p>8 Power's thermal generation and the cost of</p> <p>9 service study and the rates charged to</p> <p>10 Newfoundland Power, what's your position</p> <p>11 regarding treatment of Newfoundland Power's</p> <p>12 thermal generation?</p> <p>13 A. I observe that there's some controversy</p> <p>14 associated with it. I believe that their</p> <p>15 thermal generation needs to be recognized and</p> <p>16 I also note the IC's concern with the manner</p> <p>17 in which it's recognized. So I observe that</p> <p>18 there's controversy with respect to it. On</p> <p>19 one hand, I believe it needs to be recognized,</p> <p>20 and in my view, question of how it's</p> <p>21 recognize.</p> <p>22 Q. Do you see any change in the treatment of</p> <p>23 Newfoundland Power's generation in reference</p> <p>24 to the thermal generation, if there was a</p> <p>25 change in the wholesale power rate to a demand</p>

1 BROWNE, Q.C.:  
 2 energy rate?  
 3 A. There conceivably could be.  
 4 Q. How so?  
 5 (11:00 a.m)  
 6 A. We've identified three options in the demand  
 7 energy rate. They were titled option A, B and  
 8 C, and under Option A--the difference between  
 9 Option A, B and C are, if you will, decreasing  
 10 levels of recognition of NP's generation.  
 11 Under Option A, NP gets recognition for both  
 12 their hydraulic and their thermal generation.  
 13 Option B, we'd need to refer to it again,  
 14 under Option B, they get credit for their  
 15 hydraulic, but I don't recall--I don't think  
 16 it's their thermal, but I'd need to refer to  
 17 it again. Under Option C, they don't get  
 18 credit for either one of them. So there is  
 19 some relationship.  
 20 Q. So it depends which option is -  
 21 A. That's right.  
 22 Q. - results?  
 23 A. Yes.  
 24 Q. These are our questions. Thank you very much,  
 25 Mr. Greneman.

1 America, is not connected to the North  
 2 American grid. I take it you accept that?  
 3 A. That's my understanding.  
 4 Q. Okay. Number two, that the system that we  
 5 have in Newfoundland for generation is  
 6 primarily hydraulic?  
 7 A. At this moment in time, that's my  
 8 understanding.  
 9 Q. Right. And in fact, if we went to--and we had  
 10 this discussion with Mr. Haynes, if we look at  
 11 it in terms of capacity, 65 percent of it is  
 12 hydraulic capacity and in terms of energy  
 13 production, 68 percent of it is energy  
 14 production. Would you -  
 15 A. I'll accept that, subject to.  
 16 Q. Okay. The third point is that we have  
 17 hydraulic production. We also have thermal  
 18 production from Holyrood.  
 19 A. Um-hm.  
 20 Q. And you can run more water now and save oil,  
 21 but then you have less water to use later on  
 22 in the year. So there's a--it's one or the  
 23 other and you can conserve one at the expense  
 24 of the other. Do you accept that?  
 25 A. I accept that.

1 CHAIRMAN:  
 2 Q. Thank you, Mr. Brown. Thank you, Mr.  
 3 Greneman. Good morning, Mr. Kelly.  
 4 KELLY, Q.C.:  
 5 Q. Good morning, Chair. Good morning, Mr.  
 6 Greneman.  
 7 A. Good morning.  
 8 Q. Mr. Greneman, just a couple of questions first  
 9 of all on your background. I understand that  
 10 you're a licensed engineer?  
 11 A. Right.  
 12 Q. You're not an economist by profession?  
 13 A. That's correct.  
 14 Q. Okay. Before we get into the details of your  
 15 report, what I'd like to do is look at a  
 16 number of matters to be sure that we are in  
 17 the same understanding on certain basic  
 18 principles, and the first area that I'd like  
 19 to look at with that is the system operating  
 20 characteristics here of the Island  
 21 Interconnected System. Let me give you a  
 22 number of points and see whether we're in  
 23 agreement on it. First of all, the  
 24 Newfoundland Island Interconnected System,  
 25 unlike other jurisdictions in Canada and North

1 Q. Okay. The next point is that Holyrood is  
 2 usually operated in a base loaded mode with  
 3 the hydraulic units then being used to cover  
 4 peak variations. Do you accept that?  
 5 A. To a degree, and I would need to confirm that  
 6 with someone, but I would confirm that to a  
 7 degree.  
 8 Q. Well, if you like, I can take you to NP-172.  
 9 A. Are you saying that hydraulic covers all  
 10 variations?  
 11 Q. No, I'm saying that in the normal type of  
 12 operation, we go to--NP-172 is on the screen  
 13 there.  
 14 A. Yes.  
 15 Q. I'll take you down through it. During an  
 16 average daily peak -  
 17 A. May I just read -  
 18 Q. - hydraulic units -  
 19 A. - may I just read the question first?  
 20 Q. Sure, by all means.  
 21 A. Okay. Where are you taking me to?  
 22 Q. I take you down to line 12, "during an average  
 23 daily peak, hydraulic units are generally  
 24 reduced before Holyrood because Holyrood is  
 25 base loaded."

Page 73	Page 74
<p>1 MR. GRENEMAN:</p> <p>2 A. Okay. Within the constraints of the way this</p> <p>3 is framed, I accept what it says.</p> <p>4 KELLY, Q.C.:</p> <p>5 Q. Okay. And we had this discussion with Mr.</p> <p>6 Haynes. I can also take you, if you like, to</p> <p>7 IC-294, and if you go down to -</p> <p>8 A. Can I refer back to that other one once again?</p> <p>9 Q. By all means.</p> <p>10 A. Where we just were. Okay.</p> <p>11 Q. Okay. If you wanted to look further, we can</p> <p>12 have a look at IC-294, in particular lines 19</p> <p>13 through 22. This deals with system frequency</p> <p>14 is controlled using the large hydro units. So</p> <p>15 my point to you is, as confirmed by Mr.</p> <p>16 Haynes, the normal operation is that Hydro is-</p> <p>17 Holyrood rather is operated in a base-loaded</p> <p>18 mode with the hydraulic units then being used</p> <p>19 to cover peak variations as the usual</p> <p>20 operating condition.</p> <p>21 A. As you had pointed out to me, this is what's</p> <p>22 generally done under an average daily load,</p> <p>23 with those qualifications.</p> <p>24 Q. Okay, great, we'll accept that. Now the next</p> <p>25 point then is that because we have this</p>	<p>1 variation with a trade off between water and</p> <p>2 fuel, Holyrood is the marginal cost of</p> <p>3 production all year round, accept that?</p> <p>4 A. Yes.</p> <p>5 Q. Okay. Next point is the marginal cost of</p> <p>6 production at Holyrood is the same all year</p> <p>7 round. Do you accept that?</p> <p>8 A. Subject to seasonal variation in purchases or</p> <p>9 however it's expended. I would say generally,</p> <p>10 yes.</p> <p>11 Q. Yes, and we had that discussion with Mr.</p> <p>12 Haynes as well, so I won't bother to take you</p> <p>13 to the references. The next point, number</p> <p>14 seven I think it is, the marginal cost of</p> <p>15 production at Holyrood is \$5.00--sorry--yes,</p> <p>16 5.13 cents per kilowatt hour. And I can take</p> <p>17 you to NP-130 if you'd like to have a look at</p> <p>18 that.</p> <p>19 A. My recollection is that's the cost of fuel</p> <p>20 cost plus variable O&amp;M.</p> <p>21 Q. Exactly, and we can put up NP-130 perhaps.</p> <p>22 There's your 5.13 cents.</p> <p>23 A. Okay.</p> <p>24 Q. Okay?</p> <p>25 A. Yes.</p>
Page 75	Page 76
<p>1 Q. And the last point is Hydro has dispatched</p> <p>2 control on Newfoundland Power's units. They</p> <p>3 can call on Newfoundland Power for dispatch at</p> <p>4 system peak and it directs dispatch at system</p> <p>5 peak for both hydraulic and thermal plants of</p> <p>6 Newfoundland Power. Do you agree with that</p> <p>7 point?</p> <p>8 A. That's my understanding.</p> <p>9 Q. Okay. Now with that as the initial</p> <p>10 background, let me take you to a couple of</p> <p>11 other principles that I want to talk about,</p> <p>12 and the first is that I take it you are aware</p> <p>13 that resources and facilities for generation</p> <p>14 and transmission, the one that's perhaps more</p> <p>15 important here is generation, in this</p> <p>16 jurisdiction are to be operated in the most</p> <p>17 efficient manner and that results in the least</p> <p>18 cost consistent with reliable service. Do you</p> <p>19 accept that those are principles?</p> <p>20 A. I do accept that.</p> <p>21 Q. That's part of the power policy of the</p> <p>22 province?</p> <p>23 A. Yes.</p> <p>24 Q. And that the Board is mandated to apply that</p> <p>25 principle in its regulatory activities. Are</p>	<p>1 you aware of that?</p> <p>2 A. Yes.</p> <p>3 Q. Okay. Now can I take you next then to Mr.</p> <p>4 Brockman's initial evidence at page three? We</p> <p>5 have to go to page three, that should be page</p> <p>6 three at the bottom, I think. I'm not sure</p> <p>7 where--there we go, okay. Now Mr. Brockman</p> <p>8 sets out there a number of principles that</p> <p>9 accepted rate making principles, and he</p> <p>10 summarizes them in lines 17 and onto the next</p> <p>11 page. Number one is that it is effective in</p> <p>12 collecting revenue requirements. Do you agree</p> <p>13 with that principle?</p> <p>14 A. I do.</p> <p>15 Q. Okay. The next one, that the rate is fair in</p> <p>16 the apportionment of costs, both between and</p> <p>17 within rate classes. Do you accept that one?</p> <p>18 A. Not wholly.</p> <p>19 Q. Okay. Tell me in what manner that you don't.</p> <p>20 A. It may be--well, it may--the words have been</p> <p>21 carefully chosen here. It may be fair in the</p> <p>22 apportionment of costs, but I don't believe it</p> <p>23 to be fair in the collection of costs.</p> <p>24 Q. I just want to stay at, in terms of principles</p> <p>25 first of all. Let's forget the -</p>

Page 77	Page 78
<p>1 MR. GRENEMAN:</p> <p>2 A. Right, but I'd like to put it in the broader</p> <p>3 context whenever I have--whenever you--okay,</p> <p>4 go ahead.</p> <p>5 KELLY, Q.C.:</p> <p>6 Q. But in terms of, let's just go back to one for</p> <p>7 a second. In terms of one, effectively,</p> <p>8 effective in collecting the revenue</p> <p>9 requirement, the principle there is, is Hydro</p> <p>10 going to recover its cost of service. That's</p> <p>11 the point, isn't it?</p> <p>12 A. That's a consideration.</p> <p>13 Q. That's a consideration, okay. And all I want</p> <p>14 to do, I don't want to get into the rates at</p> <p>15 this stage. I want to talk about principles.</p> <p>16 The second one then is that whatever rate</p> <p>17 structure is chosen, whether its demand energy</p> <p>18 or energy only, it should be fair in</p> <p>19 apportioning the cost both between and within</p> <p>20 rate classes. So you would agree with that?</p> <p>21 A. By virtue of the fact that there's a rate</p> <p>22 class consisting of one entity between rate</p> <p>23 classes and within rate classes.</p> <p>24 Q. So let me give you a couple of examples.</p> <p>25 First of all, it should be fair in how it</p>	<p>1 allocates the cost of service between</p> <p>2 Newfoundland Power and the Industrial</p> <p>3 Customers. Would you agree with that?</p> <p>4 A. Just give me one moment. The words are</p> <p>5 confusing actually. You say the rate is</p> <p>6 effective in collecting the revenue</p> <p>7 requirements for a fair return. I think the</p> <p>8 word "fair return" is redundant. It's</p> <p>9 effective in collecting--the rate in</p> <p>10 conjunction with the -</p> <p>11 Q. I'll accept that qualification.</p> <p>12 A. - RSP is effective in collecting the revenue</p> <p>13 requirements. The rate without the RSP is not</p> <p>14 necessarily any more effective in collecting</p> <p>15 the revenue requirement than is a demand</p> <p>16 energy rate without an RSP.</p> <p>17 Q. But any rate structure you choose, this is the</p> <p>18 principle that should be applied or principles</p> <p>19 that should be applied? Number one, it should</p> <p>20 be -</p> <p>21 A. These are some principles that should be</p> <p>22 applied.</p> <p>23 Q. Okay. Let's take them one at a time. Do you</p> <p>24 agree that that is one principle that should</p> <p>25 be applied? It should be effective?</p>
Page 79	Page 80
<p>1 A. It's not a necessary principle.</p> <p>2 Q. Okay. Then I'll -</p> <p>3 A. There are other necessary--I'm sorry, I don't</p> <p>4 mean to be argumentative. I'm trying to -</p> <p>5 Q. Is it a generally accepted principle that is</p> <p>6 applied?</p> <p>7 A. Okay.</p> <p>8 Q. Do you accept that?</p> <p>9 A. Yes.</p> <p>10 Q. Okay. Number two, a fair apportionment of</p> <p>11 costs, is that a generally accepted principle</p> <p>12 that is applied?</p> <p>13 A. I don't understand the logic of this point.</p> <p>14 The rate is fair in the apportionment of</p> <p>15 costs. The rate doesn't apportion costs</p> <p>16 between rate classes in this case. So, I</p> <p>17 don't -</p> <p>18 Q. Well, let me put it to you this way, any rate</p> <p>19 structure that is used should, number one,</p> <p>20 fairly apportion costs between Newfoundland</p> <p>21 Power and the Industrial Customers, do you</p> <p>22 accept that?</p> <p>23 A. If it were common? There is no common rate</p> <p>24 that apportions cost between Newfoundland</p> <p>25 Power and Industrial Customers. There's a</p>	<p>1 rate to Newfoundland Power and there's a rate</p> <p>2 to Industrial Customers. It's not the same</p> <p>3 rate.</p> <p>4 Q. No, but whatever rate structure is used, it</p> <p>5 should fairly apportion Hydro's cost of</p> <p>6 service between these two classes? That's</p> <p>7 self evident. Surely that's an accepted</p> <p>8 principle we'd have to achieve.</p> <p>9 A. But you say the rate, singular, is fair in the</p> <p>10 apportionment of costs between--there's only</p> <p>11 one rate class. The rate, I assume you're</p> <p>12 referring to the NP energy only rate?</p> <p>13 Q. High level, Mr. Greneman.</p> <p>14 A. Well, I'm trying to answer at a level.</p> <p>15 Q. Okay. Maybe -</p> <p>16 A. Are you referring to the--okay, at a high</p> <p>17 level -</p> <p>18 Q. The principles that the Board should apply in</p> <p>19 choosing a rate structure should ensure</p> <p>20 fairness of apportionment of costs. Do you</p> <p>21 accept that principle?</p> <p>22 A. Right, I do accept that.</p> <p>23 Q. Okay.</p> <p>24 A. At a high level.</p> <p>25 Q. And at the retail customer level, it should</p>

Page 81	Page 82
<p>1 KELLY, Q.C.:</p> <p>2 also--whatever rate structure is used at the</p> <p>3 retail level should fairly apportion costs at</p> <p>4 the retail level. Fairness is an element of</p> <p>5 rate design. Do you agree?</p> <p>6 A. Okay, in generalities, yes.</p> <p>7 Q. Okay. Now item three is that "a rate</p> <p>8 structure should encourage efficient use of</p> <p>9 society's resources and discourage inefficient</p> <p>10 use." Do you agree with that principle?</p> <p>11 A. Yes, I do.</p> <p>12 Q. Okay. So that in that particular case, would</p> <p>13 you agree with me that what is important is</p> <p>14 the end user of the electricity? In other</p> <p>15 words, we need--whatever you want to do, the</p> <p>16 end user, that's where efficiency is going to</p> <p>17 be achieved?</p> <p>18 A. The end user can influence the overall</p> <p>19 efficiency.</p> <p>20 Q. Okay. The next item that Mr. Brockman is that</p> <p>21 "rate design should try to create stable rates</p> <p>22 and stable revenues." Do you agree with that</p> <p>23 principle or those two principles, if you want</p> <p>24 to call them two?</p> <p>25 A. The word--if conditions are changing, it makes</p>	<p>1 sense to me that revenues should change in</p> <p>2 accordance with conditions. So the word</p> <p>3 "stable" in isolation, I can't necessarily</p> <p>4 agree with.</p> <p>5 Q. Okay.</p> <p>6 A. What I think is the rate should follow the</p> <p>7 changing economic conditions and circumstances</p> <p>8 of cost and supply and demand.</p> <p>9 Q. Right, but we should -</p> <p>10 A. Which are not necessarily stable.</p> <p>11 Q. Right, but we should try to avoid what I would</p> <p>12 call unnecessary volatility movements up and</p> <p>13 down in rates? That we should try to ensure a</p> <p>14 degree of stability over the long term, would</p> <p>15 you agree with that, to the extent possible?</p> <p>16 A. I can agree with that under some conditions.</p> <p>17 (11:15 a.m.)</p> <p>18 Q. Okay. Let's leave that one, because we're</p> <p>19 going to come back to that. The last two</p> <p>20 points, I think we can touch on very quickly.</p> <p>21 "Rates should be both understandable and</p> <p>22 practical." Do you accept those?</p> <p>23 A. Particularly for domestic type customers, I</p> <p>24 accept that.</p> <p>25 Q. Right, and as you indicated earlier, when</p>
Page 83	Page 84
<p>1 we're talking about Hydro and Newfoundland</p> <p>2 Power, we're talking about more sophisticated</p> <p>3 entities, and I'll accept that -</p> <p>4 A. Right.</p> <p>5 Q. - as an observation. Now are there any other</p> <p>6 principles than the six stated there by Mr.</p> <p>7 Brockman that you think are important?</p> <p>8 A. If I can read perhaps some of Bonbright's,</p> <p>9 some of them may coincide, some of them may</p> <p>10 not.</p> <p>11 Q. I want you to tell us any other principles</p> <p>12 that you think are applicable.</p> <p>13 A. Okay. Okay, one is called static efficiency</p> <p>14 of the rate classes and rate locks,</p> <p>15 discouraging wasteful use of service while</p> <p>16 promoting all justified types and amounts of</p> <p>17 use.</p> <p>18 Q. Okay, and I'll accept that. That's</p> <p>19 substantially covered under item three.</p> <p>20 A. Okay. Talks about--okay, fairness of the</p> <p>21 specific rates and the apportionment of total</p> <p>22 cost of service among the different rate</p> <p>23 payers so as to avoid arbitrariness and</p> <p>24 capriciousness and to attain equity in three</p> <p>25 dimensions. Then he talks--let's skip that</p>	<p>1 one.</p> <p>2 Q. Well, that's essentially Mr. Brockman's number</p> <p>3 two. So any others?</p> <p>4 A. Okay. And very importantly, dynamic</p> <p>5 efficiency in promoting innovation and</p> <p>6 responding economically to changing demand and</p> <p>7 supply conditions.</p> <p>8 Q. I'll accept that one. That's essentially part</p> <p>9 of Mr. Brockman's number three. So dynamic</p> <p>10 and static efficiency. Do you want to just</p> <p>11 explain in a little more detail what dynamic</p> <p>12 efficiency is?</p> <p>13 A. I think it's fairly self explanatory. It's</p> <p>14 promoting innovation and responding to, as it</p> <p>15 says, changing supply and demand patterns.</p> <p>16 Q. Okay. All right. Now with those--are there</p> <p>17 any other principles you want to add, first of</p> <p>18 all?</p> <p>19 A. Well, there are numerous ones, but the most</p> <p>20 often cited are the ones that have been</p> <p>21 summarized here by Dr. Bonbright.</p> <p>22 Q. And the ones, essentially the ones Mr.</p> <p>23 Brockman has already got in his report. Now</p> <p>24 with that as the background then, let's go to</p> <p>25 your report RDG-2, because I think it's</p>

Page 85

Page 86

1 KELLY, Q.C.:

2 important we all understand exactly what  
3 you're proposing here, and I want to go  
4 through a number of sections in this. We'll  
5 start at page three of your report, in the  
6 section dealing with key issues, and you set  
7 forth there four issues to be addressed, and  
8 the first is to send a correct price signal to  
9 all parties. And you go on to say "from the  
10 inception, a continuing concern has been the  
11 ability to encourage DSM and DSM is viewed in  
12 a broad all encompassing sense," and I'll  
13 paraphrase here, not only energy efficiency  
14 and energy conservation but also peak demand  
15 control programs and therefore you refer to it  
16 as load management. Now a couple of questions  
17 come out of that. First of all, you talk  
18 about the price signal to all parties. Does  
19 that also include end users? Is it important  
20 that the price signal get down to the end  
21 user?

22 A. It could be important or it may not be  
23 important. I think it's important if it gets  
24 to the purchaser, Newfoundland Power as an  
25 entity, and it's also important it get to the

1 end user, but each has its own purpose.

2 Q. Okay. But ultimately, at the end of the day,  
3 it's the end users who are going to effect  
4 energy consumption, whether that's load or  
5 demand or energy. Would you agree?

6 A. Largely.

7 Q. Okay. Now DSM that you talk about, which are  
8 matters of energy efficiency or conservation,  
9 the words you use there, that will also be  
10 influenced and, in fact, happen at the end-use  
11 customer, would you agree?

12 A. Yes.

13 Q. Okay. Now you talk about peak demand control  
14 programs. Could you just explain what peak  
15 demand control programs are, and give us some  
16 examples?

17 A. These are programs that can be implemented by  
18 domestic as well as commercial or industrial  
19 customers in an attempt to try to limit their  
20 peak demand imposed on Hydro's system and by  
21 lowering the peak demand, there will be a  
22 lower allocation of cost ultimately. These  
23 programs can include various types of load  
24 management at the commercial or industrial  
25 level. It could be improvements in lighting.

Page 87

Page 88

1 It could be motor control. At the domestic  
2 level, it could be water heating control. It  
3 could be interlocking of, for example,  
4 electric ranges and water heaters so that  
5 they're both not on at the same time. It  
6 could be ceramic space heating, storage  
7 devices, things along that nature.

8 Q. Now in terms of peak demand control and load  
9 management, is one aspect of that curtailable  
10 or interruptible rates?

11 A. Yes, I believe that falls under that umbrella.

12 Q. And do you think that those are important  
13 components of load management?

14 A. It could be, except that one is a short-term  
15 response and the other is a long-term more  
16 infrastructure or appliance change and sort of  
17 instilling in consumers' minds, the virtues of  
18 energy and demand conservation. So the long-  
19 term response in my view is more important in  
20 this rate than the short-term interruptible.

21 Q. Why do you say that curtailable rates and  
22 getting people to put curtailable rates in  
23 place, are you saying that that is not a long  
24 term matter?

25 A. Well, it's a transient response, I mean, it

1 could be long term, but there's no guarantee  
2 that conditions will exist. I think it's much  
3 more fruitful to instill a long, to have a  
4 long term energy management policy, load  
5 management policy by instilling in people's  
6 minds and changing the appliance mix to  
7 overall lower the load long term and not just  
8 for short durations which may change from year  
9 to year, conditions for which may change from  
10 year to year.

11 Q. What conditions would change from year to  
12 year?

13 A. Unwillingness of an interruptible customer to  
14 interrupt, the customer possibly no longer  
15 being there. It's a short term thing. It's  
16 not necessarily long term.

17 Q. But some of these customers, some people,  
18 we'll talk a little bit more about this later,  
19 but some people have to go to some lengths to  
20 put interruptible and curtailable facilities  
21 in place, do they not?

22 A. They could, yes.

23 Q. Okay. Now, so, the next point that you've got  
24 is to ensure that all parties, Hydro and  
25 Newfoundland Power, remain revenue neutral and

Page 89	Page 90
<p>1 KELLY, Q.C.:</p> <p>2 avoid earnings revenue volatility. So, I take</p> <p>3 it you agree that that is an important</p> <p>4 component of what needs to be addressed?</p> <p>5 A. Yes, relatively revenue neutral.</p> <p>6 Q. Did you do any analysis yourself in terms of</p> <p>7 impact on volatility with Newfoundland Power?</p> <p>8 Did Stone and Webster look at that at all?</p> <p>9 A. Well yes, we did, qualitatively, definite--we</p> <p>10 looked at it qualitatively, for sure.</p> <p>11 Q. And what did you do and how did you do that?</p> <p>12 A. Well, we noted that there was--as I had</p> <p>13 mentioned earlier, that a demand energy rate</p> <p>14 intrinsically has some at risk revenues to</p> <p>15 either party, depending upon what the level of</p> <p>16 demand is. And Hydro's case, we looked the</p> <p>17 volatility that, as it would affect them, in</p> <p>18 moving out of the fully stabilized environment</p> <p>19 through the RSP. And we also looked, at</p> <p>20 least, qualitatively at the other side, what</p> <p>21 would happen to--qualitatively what would</p> <p>22 happen -</p> <p>23 Q. Did you look quantitatively in terms of the</p> <p>24 impact on Newfoundland Power?</p> <p>25 A. We looked quantitatively in relation to</p>	<p>1 answering and responding to an information</p> <p>2 request.</p> <p>3 Q. Okay. In terms of the impact on Hydro, what</p> <p>4 proposal did you come up with to address the</p> <p>5 impact on Hydro?</p> <p>6 A. Our proposal to--what we actually did is Hydro</p> <p>7 stepped forward and put two percent of their</p> <p>8 revenues at risk for this.</p> <p>9 Q. Okay. So, the -</p> <p>10 A. Their demand revenues.</p> <p>11 Q. - demand revenue, the down side is, in your</p> <p>12 proposal limited at 98 percent? In other</p> <p>13 words, you can only go down two percent?</p> <p>14 A. Yes, subject to where I think you're going, it</p> <p>15 may be more.</p> <p>16 Q. Well, don't try to guess where I'm going, just</p> <p>17 deal with the question.</p> <p>18 A. Okay. Initially, yes, it's two percent.</p> <p>19 Q. Okay. And we're going to come to that in a</p> <p>20 second. Now, while we're in this, you say</p> <p>21 that one of the things is to avoid a windfall</p> <p>22 or penalty to either utility due to abnormal</p> <p>23 weather. So, there's going to be some weather</p> <p>24 normalization function that has to take place.</p> <p>25 A. Right, and Hydro is proposing to weather</p>
Page 91	Page 92
<p>1 normalize which goes a long way to reducing</p> <p>2 volatility.</p> <p>3 Q. And the proposal that Hydro has put forward,</p> <p>4 we can see this in an information request,</p> <p>5 necessary, is that a joint committee be struck</p> <p>6 to look at that process, correct?</p> <p>7 A. That's correct.</p> <p>8 Q. And that has not happened yet?</p> <p>9 A. I don't know.</p> <p>10 Q. Okay. To your knowledge, it hasn't happened?</p> <p>11 A. I'm not aware of it.</p> <p>12 Q. Okay. Now, the next bullet that you got is</p> <p>13 protecting rate payers from artificial or</p> <p>14 short term cost increases. Now, isn't that</p> <p>15 the same type of proposition put forward by</p> <p>16 Mr. Brockman that as we're looking at what our</p> <p>17 options here, we need to look at protecting</p> <p>18 rate payers from artificial or short term cost</p> <p>19 increases? In other words, isn't that a rate</p> <p>20 stability issue?</p> <p>21 A. That could be a rate stability issue, yes.</p> <p>22 Q. Well, these are your words, is it a rate</p> <p>23 stability issue?</p> <p>24 A. Yes, it is.</p> <p>25 Q. Yes, it is, okay. Now, then the next one is</p>	<p>1 minimizing revenue volatility which may</p> <p>2 result, if a demand rate is established and a</p> <p>3 portion of the revenues removed from the</p> <p>4 stabilizing influence of the RSP. And that's</p> <p>5 the discussion we just had about the two</p> <p>6 percent.</p> <p>7 A. Right.</p> <p>8 Q. Now, let's go to number three next which is,</p> <p>9 what you want to do it provide NP an incentive</p> <p>10 to minimize the island peak, okay. Now, if I</p> <p>11 stop there first of all, what is the island</p> <p>12 peak that you want Newfoundland Power to have</p> <p>13 an incentive to minimize?</p> <p>14 A. Can you--what is the island peak?</p> <p>15 Q. What is the island peak that you want</p> <p>16 Newfoundland Power to have an incentive to</p> <p>17 minimize?</p> <p>18 A. The island peak is the diversified coincident,</p> <p>19 that diversified and coincident, the same</p> <p>20 peak, which is the basis--a principle basis</p> <p>21 for which generation is planned. And if that</p> <p>22 peak is minimized, then generation can be</p> <p>23 deferred at an overall cost to island</p> <p>24 consumers and the Province.</p> <p>25 Q. Now, that answer that you just gave, as I</p>

Page 93	Page 94
<p>1 KELLY, Q.C.:</p> <p>2 understand it, is that the peak that needs to</p> <p>3 be addressed to achieve that objective is the</p> <p>4 overall island system peak.</p> <p>5 A. Right, and the components that comprise that</p> <p>6 peak.</p> <p>7 Q. Right, but the ultimately objective is to</p> <p>8 influence the overall island system peak, not</p> <p>9 merely Newfoundland Power's peak, correct?</p> <p>10 A. Newfoundland Power's peak to the extent that</p> <p>11 it's a principle component of the overall</p> <p>12 island peak.</p> <p>13 Q. Okay.</p> <p>14 A. So, it's inferred that, yes, it is</p> <p>15 Newfoundland Power's peak.</p> <p>16 Q. Yes, but which is more important to meet in</p> <p>17 order to minimize and to maximize the</p> <p>18 efficiency and keep the lowest cost generation</p> <p>19 for the island as mandated by the Electrical</p> <p>20 Control Power Act. Is it not the overall</p> <p>21 system peak?</p> <p>22 A. To the extent that there's a one kilowatt</p> <p>23 reduction in your contribution, there is the</p> <p>24 corresponding one kilowatt hour reduction in</p> <p>25 the overall system peak.</p>	<p>1 Q. That is true, is it not, sir, only if</p> <p>2 Newfoundland Power's peak happens to occur at</p> <p>3 the same time as the overall system peak?</p> <p>4 A. Absolutely.</p> <p>5 Q. Right, but that doesn't always occur, does it?</p> <p>6 A. No, it doesn't always occur.</p> <p>7 Q. No, it doesn't, okay. Let's go to--now, under</p> <p>8 this heading, you've got--the first sentence</p> <p>9 is a demand rate can provide NP with a direct</p> <p>10 incentive to reduce peak -</p> <p>11 A. I'm not seeing that here.</p> <p>12 Q. Sorry, your item 3, carrying on -</p> <p>13 A. Yes, okay.</p> <p>14 Q. The first sentence, in other words, you make a</p> <p>15 couple of points here and I want to take them</p> <p>16 one by one.</p> <p>17 A. Okay.</p> <p>18 Q. "And demand rate can provide NP with a direct</p> <p>19 incentive to reduce peak through the use of</p> <p>20 its own generation during peak". So, which is</p> <p>21 the peak that you want Newfoundland Power to</p> <p>22 use its generation on?</p> <p>23 (11:30 a.m.)</p> <p>24 A. It would be either one of them actually.</p> <p>25 Q. Either one?</p>
Page 95	Page 96
<p>1 A. Either NP's individual peak or the island</p> <p>2 system peak.</p> <p>3 Q. So, is it your evidence, sir, that as we think</p> <p>4 we are getting to a Newfoundland Power peak,</p> <p>5 we should run our facilities to minimize that</p> <p>6 peak?</p> <p>7 A. No, I'm not saying that at all.</p> <p>8 Q. Well, what would we do to minimize our peak?</p> <p>9 A. We wrote up the report and I was a principle</p> <p>10 author of this report. One thing we left out</p> <p>11 is there's a major virtue of a demand energy</p> <p>12 rate. This report is sort of biased to, sort</p> <p>13 of slanted to encouraging the reduction of</p> <p>14 island peak which is definitely very</p> <p>15 important, but whether or not NP can respond</p> <p>16 to that is almost academic because it's</p> <p>17 equality meritorious, if that's the correct</p> <p>18 word, to reflect Hydro's rate structure to NP</p> <p>19 in the same fashion that it has incurred its</p> <p>20 financial commitments.</p> <p>21 Q. Yes, but that's a different issue. We're</p> <p>22 going to come to that issue.</p> <p>23 A. They're related -</p> <p>24 Q. We're going to come to that issue. I want to</p> <p>25 focus on the issue which you've put on the</p>	<p>1 table here, sir, and that is, you say, you</p> <p>2 want us to have a direct incentive to reduce</p> <p>3 peak through the use of its own generation</p> <p>4 during peak. And my question to you is, are</p> <p>5 you proposing to this Board that Newfoundland</p> <p>6 Power should be incentivized when it thinks it</p> <p>7 is coming to a peak on its system to run its</p> <p>8 system?</p> <p>9 A. That was not the intent of what was said, no,</p> <p>10 I'm not suggesting that.</p> <p>11 Q. What is the intent then of what you have in</p> <p>12 this sentence?</p> <p>13 A. Okay. What that actually was intended to say</p> <p>14 is, if one just arbitrarily implements a</p> <p>15 demand rate, it could provide an incentive for</p> <p>16 NP to run their generation. We're trying to</p> <p>17 guard against that.</p> <p>18 Q. So, you don't want us to run our generation at</p> <p>19 our peak?</p> <p>20 A. Not in an inefficient fashion.</p> <p>21 Q. No. So, the way it works now is we run our</p> <p>22 units to maximize energy production, but at</p> <p>23 the same time to have system capacity</p> <p>24 capability available when Hydro calls on it to</p> <p>25 meet overall island system peak. Do you agree</p>



Page 97	Page 98
<p>1 KELLY, Q.C.:</p> <p>2 that that is the efficient way to run it?</p> <p>3 A. I would agree.</p> <p>4 Q. And so you do not want that changed, do you?</p> <p>5 A. No.</p> <p>6 Q. You do not want us to run it to meet some</p> <p>7 Newfoundland Power peak?</p> <p>8 A. By no means.</p> <p>9 Q. By no means, okay. So, we don't need an</p> <p>10 incentive to do that because that's what's</p> <p>11 already happening, isn't it?</p> <p>12 A. Right.</p> <p>13 Q. Right, okay. Now, let's go to the next</p> <p>14 sentence. "Through the use of a demand rate,</p> <p>15 Newfoundland Power, in turn, can provide</p> <p>16 incentives to its customers to reduce peak</p> <p>17 through rates or other cost effective means".</p> <p>18 So, you got two components, you want us to</p> <p>19 reduce peak, first of all, which peak do you</p> <p>20 want us to reduce, system or Newfoundland</p> <p>21 Power?</p> <p>22 A. Well, if you reduce your own peak, you can</p> <p>23 have lower cost allocated to you in the Cost</p> <p>24 of Service Study. If you reduce the system</p> <p>25 peak, you can help reduce overall island</p>	<p>1 capacity costs.</p> <p>2 Q. But in terms of using rates to do something,</p> <p>3 would you not agree that the peak that we are</p> <p>4 going to impact, if any, will be Newfoundland</p> <p>5 Power's peak?</p> <p>6 A. It can be the island peak as well, could it</p> <p>7 not?</p> <p>8 Q. Well, only to the extent that they happen to</p> <p>9 be co-incidents, agreed?</p> <p>10 A. Well, but can you predict exactly that you're</p> <p>11 not going to--that any measures you put into</p> <p>12 effect will not reduce overall island peak?</p> <p>13 Q. Mr. Haynes said in evidence, we know not the</p> <p>14 hour or the day at which the peak will arise.</p> <p>15 A. So, you would agree it is possible?</p> <p>16 Q. Oh, certainly. And I'm sure you will agree</p> <p>17 that equally it is possible that they will</p> <p>18 happen at other times?</p> <p>19 A. Okay.</p> <p>20 Q. But my point is, my question is, that if we</p> <p>21 are going to reduce peak through rates, the</p> <p>22 peak which will initially be impacted has to</p> <p>23 be a Newfoundland Power peak, by definition.</p> <p>24 A. I don't know. I mean, why can't it be the--</p> <p>25 why can't you reduce load at the time of the</p>
Page 99	Page 100
<p>1 system peak and not reduce load, not figure on</p> <p>2 doing, but just because of the way things</p> <p>3 happen, why can't you reduce the load for the</p> <p>4 Island and not affect your own system peak?</p> <p>5 Why is that impossible?</p> <p>6 Q. Please explain to me, how, through rates, we</p> <p>7 would take load off the system simply at a</p> <p>8 time of system peak? First of all, Hydro</p> <p>9 would have to tell us now, okay, Newfoundland</p> <p>10 Power, we are coming up to a system peak.</p> <p>11 A. What if you stagger heating units, it'll</p> <p>12 affect both peaks. What if stagger storage</p> <p>13 heating units and just stag it in halves or</p> <p>14 thirds.</p> <p>15 Q. Right, but that has its initial impact, if</p> <p>16 any, on a Newfoundland Power system. So,</p> <p>17 let's just break this into pieces then. You</p> <p>18 say that we should, whatever we're going to do</p> <p>19 there, step one, is through rates. Have you</p> <p>20 performed any analysis of Newfoundland Power's</p> <p>21 existing rate structure, to its customers?</p> <p>22 A. Other than reviewing your last General rate</p> <p>23 Application filing, I have not.</p> <p>24 Q. No. And in the last rate application that</p> <p>25 Newfoundland Power which was just a short time</p>	<p>1 ago, Newfoundland Hydro, nor yourself did not</p> <p>2 come in and propose any changes to</p> <p>3 Newfoundland Power's retail rate structure,</p> <p>4 did you?</p> <p>5 A. No. With respect to providing load management</p> <p>6 ideas in context of this demand energy rate,</p> <p>7 we thought it would be--at least I thought it</p> <p>8 might be the responsibility of Newfoundland</p> <p>9 Power -</p> <p>10 Q. Okay, well, let's just -</p> <p>11 A. - to do so.</p> <p>12 Q. Okay. Now, the next part of that, so one</p> <p>13 thing is we would have to look at retail rate</p> <p>14 design which has not yet been done yet. The</p> <p>15 second part of it is, you say, "or other cost</p> <p>16 effective means", so I take it you agree that</p> <p>17 whatever has to be done or whatever you think</p> <p>18 should be done, should be cost effective?</p> <p>19 A. It should be cost effective from your point of</p> <p>20 view and from society's point of view.</p> <p>21 Q. Absolutely. So, for example, we shouldn't</p> <p>22 spend a \$1.50 to save a \$1.00 in the long run;</p> <p>23 that's the bottom line.</p> <p>24 A. Why spend a \$1.50 to save .75 of yours and .75</p> <p>25 of society's.</p>

Page 101	Page 102
<p>1 KELLY, Q.C.:</p> <p>2 Q. Okay. Now, let's just take that a step</p> <p>3 further then. So, we need to know, in order</p> <p>4 to be cost effective, what is worth spending</p> <p>5 money on, do you agree with that?</p> <p>6 A. Okay.</p> <p>7 Q. And when it is worth spending the money, would</p> <p>8 you agree with that?</p> <p>9 A. Okay.</p> <p>10 Q. Do you agree with that?</p> <p>11 A. Yes.</p> <p>12 Q. Okay. Now, would you also agree that to the</p> <p>13 extent that things should be done, if we going</p> <p>14 to engage in cost effective demand side</p> <p>15 management to reduce peak demand, that</p> <p>16 Newfoundland Hydro itself should also follow</p> <p>17 appropriate load management, cost effective</p> <p>18 load management processes? Would you agree</p> <p>19 with that proposition?</p> <p>20 A. In what context, other than -</p> <p>21 Q. Well, if you say that Newfoundland Power</p> <p>22 should have an incentive to do things that</p> <p>23 reduce the peak and we talked about that,</p> <p>24 that's the island peak.</p> <p>25 A. Right.</p>	<p>1 Q. Ultimately you want to impact, would you also</p> <p>2 agree that Newfoundland Power should do what</p> <p>3 is cost effective to reduce island peak?</p> <p>4 A. Newfoundland Power -</p> <p>5 Q. Newfoundland Hydro should also do what is -</p> <p>6 A. In proposing a demand energy rate, they are</p> <p>7 doing that.</p> <p>8 Q. But in terms of any demand side management</p> <p>9 load control programs, if we are asked to do</p> <p>10 things which are cost effective, would it not</p> <p>11 also make sense for Hydro to do things which</p> <p>12 are cost effective?</p> <p>13 A. Okay, on Hydro's side, there's nothing that's</p> <p>14 stemming out, to my knowledge, as I sit here,</p> <p>15 that's inappropriate. What does stand out as</p> <p>16 being inappropriate is the energy only rate</p> <p>17 and that's why we're discussing it because</p> <p>18 it's not that--how do I say this? The energy</p> <p>19 only rate, at this point in time, stands out</p> <p>20 as not being proper. I don't see anything in</p> <p>21 Hydro's side that's--and maybe there is--I</p> <p>22 don't see anything standing out that's being</p> <p>23 improper on the way of not promoting</p> <p>24 conservation of natural and capital resources</p> <p>25 for the island.</p>
Page 103	Page 104
<p>1 Q. Go back to your first point that you made as a</p> <p>2 key issue, you wanted to encourage demand side</p> <p>3 management, load control.</p> <p>4 A. Right.</p> <p>5 Q. And my question to you is, and we looked,</p> <p>6 well, we should do it on a cost effective</p> <p>7 basis, my question is simple, if, in fact, you</p> <p>8 want to encourage demand side management,</p> <p>9 would you also agree that Hydro itself should</p> <p>10 perform cost effective demand side management.</p> <p>11 A. For who?</p> <p>12 Q. For the benefit of the Island Interconnected</p> <p>13 System and for society as a whole.</p> <p>14 A. Cost effective demand side management on</p> <p>15 behalf of someone?</p> <p>16 Q. On behalf of Hydro with its customers. Do you</p> <p>17 not understand that Hydro has customers</p> <p>18 independent of Newfoundland Power?</p> <p>19 A. Yes, I'm trying to understand what you're</p> <p>20 getting at, its rural customers, its</p> <p>21 Industrial customers.</p> <p>22 Q. Exactly.</p> <p>23 A. Okay.</p> <p>24 Q. Would you agree with that proposition then?</p> <p>25 A. That they be required to do so?</p>	<p>1 Q. That to the extent that you think that it is</p> <p>2 appropriate on a cost effective basis--we</p> <p>3 don't want anybody doing anything that's not</p> <p>4 cost effective.</p> <p>5 A. I would generally agree with that actually.</p> <p>6 Q. Sure.</p> <p>7 A. Okay.</p> <p>8 Q. Logical thing.</p> <p>9 A. It sounds like a virtue.</p> <p>10 Q. Okay. If it's cost effective, then we should</p> <p>11 have--whoever it can be cost effective for.</p> <p>12 Now, let's go to page 9 of your report next</p> <p>13 under the potential impact of load management.</p> <p>14 So, this is your demand side management issue.</p> <p>15 And if we come down to just before the bullets</p> <p>16 there, the sentence reads, "the potential for</p> <p>17 a customer to utilize this price signal</p> <p>18 involved the interaction of and consideration</p> <p>19 of" and then you've got four bullets, "the</p> <p>20 level of the demand rate, the potential for</p> <p>21 load management in the customers end use</p> <p>22 equipment profile, cost of procuring the load</p> <p>23 management potential, and customers</p> <p>24 receptiveness to utility sponsored load</p> <p>25 management programs". And if we kind of go at</p>

Page 105	Page 106
<p>1 KELLY, Q.C.:</p> <p>2 those, let's take them, kind of backwards,</p> <p>3 "the customers receptiveness to utility</p> <p>4 sponsored load management programs". Would</p> <p>5 you agree with me that that must be the end</p> <p>6 use customer that you're trying to impact?</p> <p>7 A. Yes.</p> <p>8 Q. So we need to know how responsive they would</p> <p>9 be, we need--going back the next bullet, we</p> <p>10 need to know the cost of procuring it, the</p> <p>11 previous bullet, the potential is affected by</p> <p>12 the load management in the customer's end-use</p> <p>13 equipment profile. So again, we're talking</p> <p>14 about end-use impact, correct?</p> <p>15 A. Yes.</p> <p>16 Q. Okay, so all of these things are going to</p> <p>17 interact, but they interact, as you suggest</p> <p>18 here, at the end-use customer?</p> <p>19 A. Yes.</p> <p>20 Q. Now, the next paragraph you touch on electric</p> <p>21 heat and you close with the comment, "However,</p> <p>22 electric heat can be a problematic end-use</p> <p>23 load for utilities to manage." Could you just</p> <p>24 explain what you mean?</p> <p>25 A. Well, I think it refers to the fact that there</p>	<p>1 hasn't been a lot of experience necessarily</p> <p>2 with electric heat. We're not sure of the</p> <p>3 elasticity of customers willing to respond to</p> <p>4 electric heat and the cost of electric heat</p> <p>5 storage.</p> <p>6 Q. So it tends to be a relatively inelastic</p> <p>7 demand, from an economic's point of view?</p> <p>8 A. I would think so.</p> <p>9 Q. Now, in your bullet there, your four bullets,</p> <p>10 and as we looked at them, three of them were</p> <p>11 clearly directed to the end-use customer and</p> <p>12 the first one talked about the level of the</p> <p>13 demand rate. Should I take it then, from what</p> <p>14 you've got here, that you believe it is</p> <p>15 important that demand rates be reflected in</p> <p>16 the end-use customer's retail rate design?</p> <p>17 A. No, I don't think that's a requirement.</p> <p>18 Q. Okay, could you explain why then?</p> <p>19 (11:45 a.m.)</p> <p>20 A. The reason is, is because if NP as the utility</p> <p>21 serving its end-use customers, understands</p> <p>22 that it can achieve a savings, it can instill</p> <p>23 that to its customers without a demand rate</p> <p>24 per se.</p> <p>25 Q. So you don't need a demand rate where, at</p>
Page 107	Page 108
<p>1 Newfoundland Power's level to impact the end-</p> <p>2 use customer?</p> <p>3 A. No, I'm saying that you do need a demand rate</p> <p>4 to--from Newfoundland and Labrador Hydro to</p> <p>5 Newfoundland Power without the necessity of</p> <p>6 having a demand rate at the end-use level.</p> <p>7 Q. But if in fact what you believe is that the</p> <p>8 end-use customer knowing the demand costs that</p> <p>9 the customer is placing on the system and is</p> <p>10 it not the end-use customer that needs to have</p> <p>11 that price signal to achieve whatever quotes</p> <p>12 efficiency you believe you want to achieve?</p> <p>13 A. It doesn't have--it does not have to have a</p> <p>14 price signal per se, it can have some</p> <p>15 representation of savings, for example on if</p> <p>16 you installed an off-peak water--if you have</p> <p>17 water heating, you can save so much. They can</p> <p>18 realize the savings and the virtue of not</p> <p>19 consuming on peak, without having knowledge of</p> <p>20 the peak.</p> <p>21 Q. So if we break what we just said into two</p> <p>22 components, one component is we could give</p> <p>23 them a price incentive for some kind of demand</p> <p>24 side management issue, like water heater</p> <p>25 controls, or alternatively, if we're trying t</p>	<p>1 influence it through rates, and this is the</p> <p>2 point you made earlier, that we have rates or</p> <p>3 other cost-effective measure, at the rate</p> <p>4 level, is it not the message getting</p> <p>5 translated through in some sort of demand rate</p> <p>6 signal?</p> <p>7 A. Yes, it could be that.</p> <p>8 Q. Yes, okay, so those are the two dichotomies</p> <p>9 we've got to look at, at the end-use consumer.</p> <p>10 Now, let's go to your next paragraph which</p> <p>11 talks about water heater controls because</p> <p>12 we're very interested in what you've got here.</p> <p>13 As you get towards the end of the page, you</p> <p>14 say "Approximately 150 megawatts of load that</p> <p>15 is available for control in total", and your</p> <p>16 sentence goes on, "with controls or cycling of</p> <p>17 water heaters, achievable load management</p> <p>18 potential would be significantly lower than</p> <p>19 the technical potential reflecting the</p> <p>20 interaction of economic and market factors</p> <p>21 noted above." Now, can we break that into a</p> <p>22 whole series of points. First of all, explain</p> <p>23 technically the type of controls that you</p> <p>24 would see being envisaged?</p> <p>25 A. I've not personally undertaken a study of the</p>

Page 109	Page 110
<p>1 MR. GRENEMAN:</p> <p>2 exact types of controls, but I do know that</p> <p>3 utilities do install these types of controls</p> <p>4 and they are workable in a number of</p> <p>5 jurisdictions and they do indeed reduce peak.</p> <p>6 Q. What type of controls? Because I appreciate</p> <p>7 then you haven't studied the issue, but what</p> <p>8 type of water heater controls?</p> <p>9 A. It could be water heater cycling controls.</p> <p>10 Q. Explain that to the Board, what's a water</p> <p>11 heater cycling control?</p> <p>12 A. Well, there's an intrinsic and this is subject</p> <p>13 to check, there's an intrinsic storage, you</p> <p>14 can't change--exchange heat in zero time.</p> <p>15 When you shut the power going to a water</p> <p>16 heater, there's a residual heat that decays</p> <p>17 over time. So if consumers are willing to,</p> <p>18 for example, live for some period of time,</p> <p>19 fifteen minutes, thirty minutes, forty-five</p> <p>20 minutes with the residual amount of hot water,</p> <p>21 then what that allows the utility to do is</p> <p>22 cycle water heaters in segments and reduce the</p> <p>23 peak overall. It's like refrigerators</p> <p>24 running, a refrigerators cycle, but not all</p> <p>25 refrigerators cycle at the same exact times.</p>	<p>1 So, you get diversity between refrigerators</p> <p>2 or, in this case, water heaters.</p> <p>3 Q. Okay. Now, let's look into water heater. A</p> <p>4 water heater, if we looked across all of</p> <p>5 Newfoundland Power's system, they go off and</p> <p>6 on at a relatively random timing.</p> <p>7 A. Right.</p> <p>8 Q. Do you agree with that?</p> <p>9 A. Yes.</p> <p>10 Q. Okay. So, how will this control do anything</p> <p>11 different? Help the Board understand that.</p> <p>12 A. Well, perhaps if, take it off the system, off</p> <p>13 the anticipated system peak.</p> <p>14 Q. When would that be, sir?</p> <p>15 A. My understanding is that that could be--I'd</p> <p>16 have to check, but I think that could be</p> <p>17 relatively known within a reasonable period of</p> <p>18 time, I would think, but I'd need to check on</p> <p>19 that.</p> <p>20 Q. Well, let me help you with that because here's</p> <p>21 the evidence in Newfoundland--Mr. Haynes told</p> <p>22 us just the other day, you know not when the</p> <p>23 hour or the day of the system peak. Now,</p> <p>24 let's forget the day for a minute, you don't</p> <p>25 know the hour and the reason you don't know</p>
Page 111	Page 112
<p>1 the hour in this jurisdiction is because the</p> <p>2 main driver of system peak is temperature, but</p> <p>3 not absolute temperature, wind chill. That's</p> <p>4 the historical context. So, if we don't know</p> <p>5 when that's coming, when do you want us to</p> <p>6 have these water heaters cycle off?</p> <p>7 A. Well, another thing you could do is put more</p> <p>8 insulation on the water heaters, I mean, that</p> <p>9 would lower the system peak -</p> <p>10 Q. That's a program that's generally out there</p> <p>11 now and water heaters have generally been</p> <p>12 upgraded by industry, but on the cycling</p> <p>13 issue, when do you want us to have it cycle</p> <p>14 off?</p> <p>15 A. Well, it's my understanding that there would</p> <p>16 be pretty good estimates as to when the system</p> <p>17 peak would be. You point out that's not</p> <p>18 necessarily the case.</p> <p>19 Q. Yes, okay, but can you point us to that</p> <p>20 estimate?</p> <p>21 A. No, it was just my impression.</p> <p>22 Q. Just your impression, okay. So let us assume</p> <p>23 that the key time--that you could know the key</p> <p>24 time and it was 6:00 in the afternoon, after</p> <p>25 people come home and they get their--they're</p>	<p>1 going to do their dishes, or it's 8:00 in the</p> <p>2 morning when they're going to do their</p> <p>3 showers, are you proposing then that we should</p> <p>4 have an automatic control that would prevent</p> <p>5 people from having their shows at 8:00 in the</p> <p>6 morning because that's a potential time of</p> <p>7 system peak?</p> <p>8 A. Well, there are two things: number one, it</p> <p>9 would only be those that subscribe to it and</p> <p>10 are willing to do it; number two, you don't</p> <p>11 have to necessarily prevent them from having a</p> <p>12 shower, but you can delay the increase, the</p> <p>13 cycling time, for example and that would, tend</p> <p>14 to lower the system peak as well.</p> <p>15 Q. So now, have you done any study to figure out</p> <p>16 what the, number one, the cost of doing that</p> <p>17 would be; and number two, what the uptake on</p> <p>18 the program would be?</p> <p>19 A. No, I have not and my impression was that it</p> <p>20 was NP's--it was in NP's arena to do that.</p> <p>21 Q. That's right, so you haven't looked at that?</p> <p>22 A. No, I have not.</p> <p>23 Q. Now let me give you another scenario for water</p> <p>24 heater controls because there's another way to</p> <p>25 go at this water heater problem or issue if</p>

Page 113

Page 114

1 KELLY, Q.C.:

2 what you really want to do is system peak.

3 Another way you can go at it is you can outfit  
4 every water heater in the Province with a  
5 radial controlled device, so that when Hydro  
6 says the system is reaching peak, we'll shut  
7 them all off. Now, do you have any idea what  
8 the cost of doing that is?

9 A. There are a number of technologies around that  
10 can accomplish that, I do not know the cost.

11 Q. No, okay, so you haven't looked at or studied  
12 that issue at all?

13 A. I have not, no.

14 Q. Okay. Now, let's just go on then to the next  
15 bit that you've got in this piece here.

16 "Typically the largest load management  
17 opportunities are derived from commercial and  
18 industrial facilities, rather than residential  
19 facilities and in several U.S. jurisdictions,  
20 demand rates have resulted in significant load  
21 shapes when targeted at large users." Now,  
22 first of all, are you aware that in  
23 Newfoundland the large users are directly  
24 dealt with by Newfoundland Hydro, principle  
25 ones, we have the paper mills, we have the oil

1 refinery?

2 A. Yes, I'm aware of that.

3 Q. Okay. And what type of load management  
4 opportunity do you think Hydro should engage  
5 in to target large users?

6 A. I have not studied that and I'm not prepared  
7 to comment on that at the moment.

8 Q. Okay. Now, I appreciate you haven't looked at  
9 Newfoundland Power's retail rate design, but--  
10 apart from having a look at the basic rate  
11 structure, but are you aware that Newfoundland  
12 Power has a curtailable rate option?

13 A. I don't recall offhand, but I accept what -

14 Q. Okay, and if I say to you that Newfoundland  
15 Power's customers are generally smaller, but  
16 the cost or the incentives is approximately  
17 the same as for Hydro's Interruptible B? We  
18 have roughly, approximately about \$29.00 and  
19 the available curtailable capacity that we're  
20 looking at is only three or four megawatts, so  
21 that's there in a curtailable rate structure.

22 A. Is that \$29.00 per what?

23 Q. Per kilowatt.

24 A. Per kilowatt year?

25 Q. Yes, so roughly \$28.20 was Hydro's

Page 115

Page 116

1 Interruptible B, so approximately the same  
2 value. Now, Hydro has proposed to terminate  
3 its Interruptible B program. Should  
4 Newfoundland Power also terminate its  
5 curtailable rate option?

6 A. I'm not prepared--I'm not apprised of all of  
7 the circumstances of your curtailable rate  
8 program and it would be improper for me to  
9 comment on it without having complete  
10 knowledge and study of it.

11 Q. But one of the things that you have indicated  
12 in your report is you want us to have an  
13 incentive to do things that would minimize the  
14 Island peak, that's the whole premise of your  
15 report, so we have a curtailable rate that  
16 impacts the Island peak to the extent of three  
17 or four megawatts, so we're wondering from  
18 your long-term efficiency perspective, should  
19 we keep that or should we get rid of it?

20 A. I'd really have to study that to answer that  
21 question.

22 Q. Have you studied then Newfoundland Hydro's  
23 termination of its curtailable rate which is  
24 46 megawatts?

25 A. I don't--I've heard the evidence, I'm not sure

1 what there is to study, I have heard the  
2 evidence as to why it's been terminated.

3 Q. Okay, well you've heard the evidence here  
4 about how the situation works at Abitibi  
5 Stephenville about storage of the pulp, are  
6 you familiar with that?

7 A. Very roughly.

8 Q. Very roughly.

9 A. In a qualitative sense.

10 Q. In other words, when it's called up, they have  
11 a storage of pulp which they can draw down, so  
12 they can shut down their pulping plant, that's  
13 the--so they take loads out entirely of the  
14 system, okay?

15 A. Yes.

16 Q. Now, Newfoundland Power's curtailable rates  
17 are for, some of them are applied to  
18 hospitals, senior citizen's homes and we even  
19 have the St. John's Water Supply System. In  
20 each of those cases that I've just talked  
21 about, diesel generation that they have for  
22 emergency purposes is what the customer then  
23 has to trip in to have that curtailable rate,  
24 so in terms of relative efficiencies between  
25 storing pulp versus a diesel generation at the

Page 117	Page 118
<p>1 KELLY, Q.C.:</p> <p>2 customer's premises, at a high level, Mr.</p> <p>3 Greneman, which is more efficient?</p> <p>4 A. Well they have different entities and it's</p> <p>5 different purposes with different entities, so</p> <p>6 I don't think you can compare one versus the</p> <p>7 other. They are two different parties with</p> <p>8 two different objectives.</p> <p>9 Q. Well then, let me put the question this way,</p> <p>10 if we have capacity on the system, should we</p> <p>11 be paying people, whether it's a hospital or</p> <p>12 a--which are public institutions now, should</p> <p>13 we be paying for them to run diesel generation</p> <p>14 as an Interruptible rate, is that the most</p> <p>15 efficient way of going about it?</p> <p>16 A. I'd have to know under what conditions you</p> <p>17 would interrupt them.</p> <p>18 Q. Okay, and you haven't conducted that study?</p> <p>19 A. No, by no means.</p> <p>20 Q. Okay. Now, let's move along to page 11 of</p> <p>21 your report and at the very top of the page,</p> <p>22 you make three points in your bullet, should</p> <p>23 be an appropriate cost based price signal,</p> <p>24 maintain revenue stability and provide an</p> <p>25 incentive to control the Island peak, those</p>	<p>1 are the points we touched on earlier and if we</p> <p>2 come down to the bottom of the page, you say</p> <p>3 in the last paragraph, "In setting an</p> <p>4 appropriate energy rate, Hydro should try to</p> <p>5 strike a balance between the demand and energy</p> <p>6 rate levels, such that the demand rate</p> <p>7 satisfies the above criteria, with the energy</p> <p>8 rate reflecting short-run marginal costs", in</p> <p>9 this case, the fuel at Holyrood. So the</p> <p>10 short-run marginal costs at Holyrood we saw as</p> <p>11 5.13 cents a kilowatt hours?</p> <p>12 A. Yes.</p> <p>13 Q. Now, here you're talking about using, you had</p> <p>14 a discussion with Mr. Browne about where</p> <p>15 marginal costing fits into this, and here you</p> <p>16 are suggesting that in where we set this level</p> <p>17 of demand and energy rate, that we have to</p> <p>18 bring in a short-run marginal cost</p> <p>19 consideration as to what it costs to produce</p> <p>20 electricity. Why is that the case? Just</p> <p>21 explain that to the Board.</p> <p>22 A. Well because it influences customer decisions</p> <p>23 at the margin.</p> <p>24 Q. Right.</p> <p>25 (12:00 p.m.)</p>
Page 119	Page 120
<p>1 A. Based upon today's cost.</p> <p>2 Q. Right, so we should not be selling</p> <p>3 electricity, we shouldn't be selling energy at</p> <p>4 less than the cost of producing it? Correct,</p> <p>5 on a short-run basis?</p> <p>6 A. There may be some special circumstances where</p> <p>7 you can, but in general -</p> <p>8 Q. As a general proposition.</p> <p>9 A. Right.</p> <p>10 Q. And we're going to have a look at some</p> <p>11 variations later on, but as a general</p> <p>12 proposition, we don't want to be selling</p> <p>13 energy at less than the cost of production, do</p> <p>14 we?</p> <p>15 A. Well, it happens sometimes just as a matter of</p> <p>16 circumstance. If there were a demand--okay,</p> <p>17 go ahead, I'm sorry, I retract that.</p> <p>18 Q. If you want to add something, by all means,</p> <p>19 feel free.</p> <p>20 A. If there is a levelized energy rate that is</p> <p>21 one energy rate year round and there are two</p> <p>22 sources of energy, one higher than the other,</p> <p>23 there will always be one source that's sold at</p> <p>24 less than the short-run marginal cost.</p> <p>25 Q. If you do what?</p>	<p>1 A. Suppose you had one source of energy at 3</p> <p>2 cents and another at 2 cents and you sold it</p> <p>3 at--I'm sorry, one at 3 and one at 1 cent and</p> <p>4 the average was 2 cents -</p> <p>5 Q. Yes.</p> <p>6 A. And you had a year round rate for 2 cents, at</p> <p>7 some point you will be selling for less than -</p> <p>8 Q. But here on the Island, because of the nature</p> <p>9 of our generation structure, this is the very</p> <p>10 point we talked about at the very beginning,</p> <p>11 the marginal cost of Holyrood is the marginal</p> <p>12 cost all year round and that's 5.13 cents.</p> <p>13 A. Yes.</p> <p>14 Q. We agreed on that when we started.</p> <p>15 A. Yes, I did.</p> <p>16 Q. So that what we don't want to be doing is</p> <p>17 selling energy at less than cost, as a general</p> <p>18 proposition, you agree with that?</p> <p>19 A. Generally, yes.</p> <p>20 Q. Okay. Now, because that would be inefficient,</p> <p>21 correct?</p> <p>22 A. In the long run.</p> <p>23 Q. And in the short run it would be inefficient,</p> <p>24 wouldn't it, to be selling below cost?</p> <p>25 A. Well, unless you recovered your cost earlier</p>

Page 121	Page 122
<p>1 MR. GRENEMAN: 2 on. 3 KELLY, Q.C.: 4 Q. Okay. Now, at page 12 in your recommendation 5 as to how this works, how this should work, as 6 I understand it the type of structure that 7 you're putting forward is to be basing the 8 demand on the single winter peak, correct? 9 A. That is correct. 10 Q. In other words, you're not proposing that it 11 should be done over various months, we're 12 going to judge how to do this against the one 13 winter peak? 14 A. That is the criterion that Hydro has to live 15 by. 16 Q. Right, and that's what you're recommending and 17 I want the Board to just understand how this 18 is intended to work. 19 A. Yes. 20 Q. And then at the top of page 13, you talk about 21 the need to limit Hydro's downside risks in 22 the first sentence and if you come down 23 halfway through the paragraph, you talk about 24 setting a ban, okay, did you intend by that to 25 set any kind of a cap, as well as a floor?</p>	<p>1 A. Well, I had thought about--but you know, you 2 have to account for growth on NP side. 3 Q. But can you address my question? 4 A. Yes. 5 Q. In your proposal, were you proposing that--you 6 were clearly proposing that Hydro should have 7 a floor and my question is, were you also 8 proposing, in proposing this band that Hydro 9 should have a cap on how much revenue they 10 should earn if demand went up. 11 A. No, the thinking was that--the concept was 12 that NP's load normalized--NP's demand 13 normalized for weather, would be 14 representative of its true demand and a cap 15 would not be needed. 16 Q. So that what you would do is you would impose 17 a floor so that Hydro would be protected if 18 there were variations on the downside, but you 19 would not impose a cap to limit Hydro on the 20 upside? 21 A. Yes. 22 Q. And such a cap would also limit volatility to 23 Newfoundland Power if there was a cap on how 24 much demand was going to be subject to this 25 to, wouldn't there?</p>
Page 123	Page 124
<p>1 A. But it wouldn't--it wouldn't really cap the 2 load growth, if at the end of this proceeding 3 there is not another proceeding for eight or 4 nine years from now, NP can grow a certain 5 percent and as NP grows, it moves further away 6 from that 2 percent, if you will. For 7 example, if you grow 3 percent, then you have 8 an allowable 5 percent swing before you hit 9 that 98 percent threshold because it's 98 10 percent of the 2004 forecast. So as you get 11 bigger, the downside increases 12 proportionately. 13 Q. That's assuming Hydro doesn't come in for five 14 or six years, which I think is perhaps 15 unlikely. But let's stick with it, so you're 16 proposing a floor, but no cap? That's the 17 effect of your recommendation? 18 A. Well, the concept is that your demand 19 normalized for weather will be very closely 20 related--will be quite accurate and that it 21 will greatly minimize the chance for windfalls 22 on either side and that it would be very 23 representative of an agreeable demand between 24 everyone. And I still believe that. 25 Q. If you fully believe that, why do you need a</p>	<p>1 floor for Hydro at all? 2 A. It's sort of a safety net in moving out of a 3 revenue stabilization plan. 4 Q. A safety net for Hydro? 5 A. Well for moving out of this environment where 6 there is revenue stabilization--rate 7 stabilization plan in effect. 8 Q. And just to kind of jump ahead of that, if the 9 demand drops to the 98 percent and in fact, 10 drops more than the 98 percent, would 11 Newfoundland Power then pay for demand that is 12 not being used on your recommendation? 13 A. You're paying for it right now. 14 Q. Exactly, right now the demand - 15 A. You're paying for it right now if you're not 16 using it. 17 Q. Right now it gets all translated through at an 18 energy only rate without the volatility 19 issues, we'll talk about those as we get to 20 them. 21 A. Right. 22 Q. But on your scenario with the demand rate - 23 A. On the scenario you just stated, you're 24 gaining an economic advantage if you drop 25 below 98 percent.</p>

Page 125	Page 126
<p>1 KELLY, Q.C.:</p> <p>2 Q. But after we get to 97 percent, Newfoundland</p> <p>3 Power will still have to pay at the 98 percent</p> <p>4 level -</p> <p>5 A. Right.</p> <p>6 Q. Even though the load has dropped to 97</p> <p>7 percent, is that what you're recommending?</p> <p>8 A. Right, see you're 2 percent ahead of where you</p> <p>9 are right now.</p> <p>10 Q. Now let's just follow this along, at the</p> <p>11 bottom of page 13, you talk about your</p> <p>12 recommended rate treatment and you make a</p> <p>13 number of observations there. You say, "The</p> <p>14 report does not recommend an actual demand</p> <p>15 rate to Newfoundland Power, but a demand rate</p> <p>16 structure that is based on the principles set</p> <p>17 out in this section using the preferred Option</p> <p>18 A." Now, if we break that into a couple of</p> <p>19 parts, first of all, you say not necessarily</p> <p>20 giving you the demand rate, but saying this is</p> <p>21 the type of structure you should follow.</p> <p>22 Could you just elaborate on what you mean by</p> <p>23 that?</p> <p>24 A. Yes, I would like to. This structure--what</p> <p>25 I've done is reviewed all the parties'</p>	<p>1 objections to a demand energy rate, the basic</p> <p>2 objections from 1989 through present, and</p> <p>3 that's explained in the demand energy report</p> <p>4 and what Stone &amp; Webster done was to try and</p> <p>5 structure a demand energy rate that addresses</p> <p>6 all the concerns that have been stumbling</p> <p>7 blocks until this point.</p> <p>8 Q. Okay, but you're not proposing necessarily</p> <p>9 this rate, but this is somehow the structure</p> <p>10 to be followed?</p> <p>11 A. It's our view that a structure such as this</p> <p>12 can serve as a guideline in going past the</p> <p>13 stumbling, things that have been stumbling</p> <p>14 blocks in the past.</p> <p>15 Q. As a guideline. Then you go on to say, "Using</p> <p>16 these principles, it is recommended that Hydro</p> <p>17 run cases to carefully determine measures for</p> <p>18 such things as the appropriate demand energy</p> <p>19 balance, variation in its revenue stream, et</p> <p>20 cetera. It is also recommended that the</p> <p>21 results of various cases be shared with NP and</p> <p>22 that the proposed demand rate be based on</p> <p>23 discussions between both utilities." And if I</p> <p>24 take that in parts, that hasn't happened yet,</p> <p>25 as it? In fact, the running the various</p>
Page 127	Page 128
<p>1 analysis, providing that, getting feedback?</p> <p>2 A. Well, I have not been apprised as to whether</p> <p>3 it's happened or not.</p> <p>4 Q. Okay, you don't know the answer.</p> <p>5 A. No, I don't.</p> <p>6 Q. Now, just go back to the Option A, as I</p> <p>7 understand your recommendation, the Option A</p> <p>8 is the option with the full credit for</p> <p>9 Newfoundland Power's hydraulic and thermal</p> <p>10 generation, correct?</p> <p>11 A. That's correct.</p> <p>12 Q. And just explain to the Board the reasons why</p> <p>13 you believe that that's desirable?</p> <p>14 A. Any one of the three options could have merits</p> <p>15 on their own, but one of the stumbling blocks</p> <p>16 in the past has been the question as to</p> <p>17 whether, if we do put in a demand energy rate,</p> <p>18 then perhaps NP can maximize their generation</p> <p>19 and, in particular, their thermal generation</p> <p>20 at the time of the system peak to artificially</p> <p>21 and for the short term depress the peak;</p> <p>22 thereby giving them an economic advantage and</p> <p>23 what Option A does is it actually builds on</p> <p>24 NP's native demand, that is what its intrinsic</p> <p>25 demand before any of its own generation is</p>	<p>1 run. So we, in a sense, hung our hats on</p> <p>2 Option A because it allows NP to operate in</p> <p>3 the efficient fashion it has been operating in</p> <p>4 the past. That's not to say other options</p> <p>5 aren't viable, but it does directly address</p> <p>6 that aspect of the past negotiations that have</p> <p>7 been a stumbling block.</p> <p>8 Q. And Option A is the--what I'll say consistent</p> <p>9 with the existing generation credit</p> <p>10 methodology that the Board has used?</p> <p>11 A. Yes, it is consistent with that.</p> <p>12 Q. Right, okay. Let's turn next to page 15 and</p> <p>13 just flesh out the final bit of your report</p> <p>14 here, page 15 in Chart 1, you have the sample</p> <p>15 rate design characteristics and what I want to</p> <p>16 go to is down to the bottom and you have a</p> <p>17 proposal which goes as follows: For the</p> <p>18 energy component, you have the first</p> <p>19 420,000,000 kilowatt hours, 0.344 cents a</p> <p>20 kilowatt hour?</p> <p>21 A. That's correct.</p> <p>22 Q. And then for over that, 0.470 per kilowatt</p> <p>23 hour, okay?</p> <p>24 A. That's right.</p> <p>25 Q. And a demand charge of \$7.00 per kilowatt hour</p>



Page 129	Page 130
<p>1 KELLY, Q.C.:</p> <p>2 of billing demand, correct?</p> <p>3 A. Per kilowatt of billing demand.</p> <p>4 Q. Per kilowatt, sorry, per kilowatt of billing</p> <p>5 demand. Now, that demand charge is per month</p> <p>6 as are the energy charges, correct?</p> <p>7 A. Yes, the thing with that is the level--the</p> <p>8 number of kilowatts that NP, we're proposing</p> <p>9 here that NP is to be billed on, is the 1 peak</p> <p>10 hour of the winter, the winter being November</p> <p>11 through March. But now here, we're collecting</p> <p>12 it, this is simply a collection mechanism,</p> <p>13 we're collecting that in 12 equal payments of</p> <p>14 \$7.00, which equals the fully allocated demand</p> <p>15 cost of \$84.00 per kilowatt year.</p> <p>16 Q. Exactly the point I was coming to. So you are</p> <p>17 going to base it off the single winter peak,</p> <p>18 so the annual demand charge is \$84.00 per</p> <p>19 kilowatt?</p> <p>20 A. And that is indeed, Hydro's fully allocated</p> <p>21 cost of serving NP.</p> <p>22 Q. Right, and we'll come to that discussion, but</p> <p>23 the numbers on the annual basis is \$84.00 a</p> <p>24 kilowatt because we're looking at it off a</p> <p>25 single winter peak demand?</p>	<p>1 A. That's correct.</p> <p>2 Q. That's correct.</p> <p>3 A. And that is the costing methodology that's</p> <p>4 been used and approved.</p> <p>5 Q. Okay, Now, can we just go to NP-128 for a</p> <p>6 second, so that we see what this means in</p> <p>7 practise, and the question in NP-128, boiling</p> <p>8 down the question, what months are we talking</p> <p>9 about here, and the answer is in '98, 2000 and</p> <p>10 2001 and 2002, the monthly energy purchases</p> <p>11 exceeded 420 kilowatt hours in the months of</p> <p>12 January, February, March and December. So on</p> <p>13 your proposal, if you look at 1999 first,</p> <p>14 there were only two months, January and</p> <p>15 December, correct?</p> <p>16 A. Sorry, where are you referring me to?</p> <p>17 Q. Okay, it's lines 9 through 14. If you look at</p> <p>18 years '98 -</p> <p>19 A. Oh here, yes, I see, January and December,</p> <p>20 right.</p> <p>21 Q. So we will agree that most years we're talking</p> <p>22 about that upper rate kicking in at, for four</p> <p>23 months of the year, correct?</p> <p>24 A. That is correct.</p> <p>25 Q. Okay, so your proposal essentially boils down</p>
Page 131	Page 132
<p>1 to this, we're going to have a demand charge</p> <p>2 of \$84.00, but right now under the existing</p> <p>3 energy only rate, we have the demand charges</p> <p>4 and the energy charges rolled into one energy</p> <p>5 only charge, which is 54 whatever it is, as in</p> <p>6 the Revised Application, we're going to break</p> <p>7 that out, we're going to have a \$84.00 demand</p> <p>8 charge and then you're going to have a two-</p> <p>9 level rate, one that applies for eight months</p> <p>10 of the year and one that will apply at the</p> <p>11 higher rate in the last four months--or in</p> <p>12 four months of the year?</p> <p>13 A. No, it's one rate that applies throughout the</p> <p>14 year.</p> <p>15 Q. Yes, but the higher rate will only kick in, in</p> <p>16 the usual circumstances, on four months of the</p> <p>17 year, correct?</p> <p>18 A. Well, you will--the rate will be there, you</p> <p>19 will fall into the second block for that</p> <p>20 period of time, right.</p> <p>21 Q. Right. Now, my next question is, and I'll</p> <p>22 just give you this question before we break,</p> <p>23 is it your contemplation that Newfoundland</p> <p>24 Power should reflect that proposed wholesale</p> <p>25 rate structure in its retail rates?</p>	<p>1 A. Which component of this?</p> <p>2 Q. Any or all of them, I'd like you to tell me</p> <p>3 which component you think should be reflected</p> <p>4 in Newfoundland Power's retail rates?</p> <p>5 A. None of them can be reflected identically, but</p> <p>6 by Newfoundland Power living by the same rate</p> <p>7 structure, a rate structure such as this,</p> <p>8 which is consistent with the way Hydro incurs</p> <p>9 its cost, is a virtue on its own and will, in</p> <p>10 my view, promote innovation and being able to</p> <p>11 respond to that and proper rationing of demand</p> <p>12 and capacity. I cannot sit here and tell you</p> <p>13 the exact route to take or the exact mechanics</p> <p>14 to take, I think that's in your--more properly</p> <p>15 in your ballpark, but I think this is an</p> <p>16 essential and needed step that needs to be</p> <p>17 done.</p> <p>18 Q. As a general principle then, do you want us to</p> <p>19 reflect in our retail rate structure a</p> <p>20 seasonal component reasonably proportional to</p> <p>21 what you are proposing at the wholesale level?</p> <p>22 A. I think a seasonable component--see, Hydro is</p> <p>23 a unique situation, I mean, this Province is,</p> <p>24 in a sense, unique. I would need to study the</p> <p>25 mechanism of the seasonal--I can't say yes or</p>

Page 133	Page 134
<p>1 MR. GRENEMAN:  2 no to a seasonal, as a general concept. I  3 think it can, a seasonal component can be  4 implemented, but I would need to see the  5 mechanics.  6 KELLY, Q.C.:  7 Q. What would be the utility of you giving us a  8 seasonal rate to achieve anything unless we  9 somehow put a seasonal rate in place with our  10 customers?  11 A. That would be--isn't that what I just  12 mentioned?  13 Q. I thought you were just saying that you'd have  14 to study it and -  15 A. I'm sorry, I was referring to you putting a--  16 NP putting a seasonal rate in for their  17 customers, that's what I was referring to.  18 Q. Right, and my question to you is, well if you  19 want us to have a seasonal rate -  20 A. Oh, do we have to have one? No.  21 Q. No, my question is, if you think it is  22 worthwhile for us to have one because there is  23 some benefit to the system of having  24 seasonable rates and end-users, to we not have  25 to pass that on in some fashion to the end</p>	<p>1 users, our customers?  2 A. Can you repeat that please?  3 Q. Do you want us to pass on your seasonal rate  4 structure in our retail rate structure to the  5 end-use consumers?  6 A. Oh, this being the seasonal rate structure.  7 Q. Yes.  8 A. Not in the same form necessarily.  9 Q. In what form?  10 A. There could be--I would think that would be  11 for you to devise, a form.  12 Q. Would you think it should be reasonably  13 proportionable to what you are proposing?  14 A. Not necessarily.  15 Q. Okay, the demand charges, are you proposing  16 that we should pass on the demand charges as  17 demand charges in some reasonable  18 proportionality?  19 A. That's what is typically done, not--I mean,  20 there's divert, considerations of diversity,  21 of course, and so you can't pass on the same  22 exact demand charge and there's different ways  23 of passing it on, whether you do it at the  24 retail level based upon a single peak or  25 whether you do it on a ratched peak is up to</p>
Page 135	Page 136
<p>1 you.  2 Q. But you'd like us to pass on that demand  3 charge to our customers?  4 A. I'm not saying that's a necessity, utilities  5 do do that in response to this type of rate  6 structure.  7 Q. That's a good place for us to break and we'll  8 pick it up there after lunch.  9 CHAIRMAN:  10 Q. Thank you, Mr. Kelly, thank you Mr. Greneman,  11 we'll reconvene at 1:30 p.m.  12 (BREAK AT 12:20)  13 (RECONVENED AT 1:30 P.M.)  14 CHAIRMAN:  15 Q. Thank you. Good afternoon, Ms. Newman, is  16 there anything before we begin?  17 MS. NEWMAN:  18 Q. No.  19 CHAIRMAN:  20 Q. Okay, thank you. Good afternoon, Mr. Kelly,  21 when you're ready please? Are you ready?  22 KELLY, Q.C.:  23 Q. Thank you, Chair. Mr. Greneman, when we had  24 broken, we had had a discussion in which we  25 looked at the operating characteristics of the</p>	<p>1 system, principles to be applied and then we  2 had looked at your report, exhibit RDG No. 2.  3 And I want to go next and have a look at your  4 evidence at page 16, if we could go there.  5 And if we come down to the paragraph that  6 begins at line 10, and I'll give you a moment  7 to read the paragraph, the second that I want  8 to focus on begins at line 15. And at line  9 15, you say, "The demand portion of Hydro's  10 rate will provide Newfoundland Power with a  11 quantitative measure against which to develop  12 a viable load management plan." Now, the  13 quantitative measure that you're talking about  14 there is the \$84.00 per kilowatt, per year,  15 correct? For demand?  16 A. Effectively yes.  17 Q. Okay. Now, and you go on in the next sentence  18 to say, "All things considered, the preferable  19 alternative is to provide Newfoundland Power  20 with a relevant price signal." And the  21 relevant price signal that you're talking  22 about there again is \$84.00 a kilowatt a year?  23 A. Yes, that is relevant because it's the  24 relevant costs that Hydro incurs for capacity.  25 Q. And that is based upon an embedded cost basis;</p>

Page 137	Page 138
<p>1 KELLY, Q.C.:</p> <p>2 in other words, what Hydro has spent in the</p> <p>3 past?</p> <p>4 A. It is.</p> <p>5 Q. Okay, now let's just follow this along a bit,</p> <p>6 so if this is the quantitative measure against</p> <p>7 which Newfoundland Power is to develop a</p> <p>8 viable load management plan, would you agree</p> <p>9 with me that any expenditure which</p> <p>10 Newfoundland Power makes less than that</p> <p>11 quantitative measure to reduce demand, would</p> <p>12 be good in your view for the system?</p> <p>13 A. I would agree tentatively. The \$84.00</p> <p>14 provides a measure which was non-existent in</p> <p>15 the energy only rate.</p> <p>16 Q. Okay, but will you accept my proposition that</p> <p>17 on your view any expenditure that Newfoundland</p> <p>18 Power makes to reduce demand, which is less</p> <p>19 than \$84.00, it costs less than \$84.00 a</p> <p>20 kilowatt hour--sorry, a kilowatt for demand,</p> <p>21 would be good for the system? That's your</p> <p>22 view?</p> <p>23 A. I would agree, but I would like to reflect on</p> <p>24 it a little bit more later on.</p> <p>25 Q. Well, that puzzles me because this is your</p>	<p>1 evidence here that this is the quantitative</p> <p>2 measure against which we are to develop the</p> <p>3 load management plan. Is it or is it not?</p> <p>4 A. Right, I'm not disagreeing with what I wrote,</p> <p>5 you have to think about your sentence.</p> <p>6 Q. Okay, well let me put this proposition to you,</p> <p>7 if it is the quantitative measure against</p> <p>8 which we should develop a load management</p> <p>9 plan, in your view is it also the quantitative</p> <p>10 measure against which Hydro should develop its</p> <p>11 load management plan?</p> <p>12 A. Which load management plan of Hydro's are you</p> <p>13 referring to?</p> <p>14 Q. Load management plan for any demand that</p> <p>15 relates to the customers that Hydro serves</p> <p>16 directly, whether that is Rural Connected or</p> <p>17 whether that's Industrial?</p> <p>18 A. Well, you see, you're expressing it as an</p> <p>19 absolute and I'd need to think about whether</p> <p>20 it's valid as an absolute, rather than being</p> <p>21 based on, and I have not come to a conclusion</p> <p>22 on whether I can say anything that's</p> <p>23 absolutely less than \$84.00. There are other</p> <p>24 considerations that come into play.</p> <p>25 Q. What would be the other considerations that</p>
Page 139	Page 140
<p>1 would come into play there?</p> <p>2 A. It would be the quality of the type of load</p> <p>3 management you achieve, whether it's long</p> <p>4 term, short term, whether it's a specified</p> <p>5 limited number of hours per year or whether</p> <p>6 it's available on a continuing basis. These</p> <p>7 are all modifiers--the statement holds on its</p> <p>8 own. I'm reticent to agree with your very</p> <p>9 specific case.</p> <p>10 Q. But you had set forward a proposal in which we</p> <p>11 are to develop a load management plan -</p> <p>12 A. This is a guideline, if you will.</p> <p>13 Q. - and we are to test it, sir, according to</p> <p>14 your analysis, against a winter peak, a single</p> <p>15 winter peak, that is your proposal.</p> <p>16 A. Right.</p> <p>17 Q. And the value of that is \$84.00 a kilowatt, so</p> <p>18 if we spend \$75.00 a kilowatt to get rid of a</p> <p>19 kilowatt of demand, would that not meet your</p> <p>20 criteria of quantitative measure?</p> <p>21 A. As I sit here, I don't think I can agree with</p> <p>22 that premise. I think it's based on the</p> <p>23 \$84.00, but I cannot say that if you spend 78,</p> <p>24 it's worthwhile. That's for you to decide,</p> <p>25 number one; and number two, it's the quality</p>	<p>1 of what you achieve. What are the</p> <p>2 characteristics and quality of what you</p> <p>3 achieve? Is it--can it be called on at any</p> <p>4 time, is it for a specified period of time,</p> <p>5 are there conditions involved with it, is it</p> <p>6 temporary in nature or long term in nature?</p> <p>7 You can't answer those questions based--</p> <p>8 they're all valid considerations and honestly,</p> <p>9 I cannot -</p> <p>10 Q. What would you have to look at then to address</p> <p>11 all of those concerns that you've put forward?</p> <p>12 A. I'd have to know the nature of what it is and</p> <p>13 to study it.</p> <p>14 Q. So then this is not a quantitative measure</p> <p>15 against which we can determine the value of a</p> <p>16 load management plan?</p> <p>17 A. It is in that it provides you with a hard</p> <p>18 number to assess various options in</p> <p>19 consideration with other variables.</p> <p>20 Q. Well, let's take it a step further and wrap</p> <p>21 some numbers around this discussion. Let's</p> <p>22 assume that there was 20 megawatts that we</p> <p>23 could deal with, so instead of talking about</p> <p>24 \$84.00 a kilowatt, 20 megawatts would work out</p> <p>25 to 1.68 million dollars at \$84.00. So if we</p>

Page 141	Page 142
<p>1 KELLY, Q.C.:</p> <p>2 spent anything less than 1.68 million to get</p> <p>3 rid of 20 megawatts of demand at peak period,</p> <p>4 would that not meet your quantitative measure?</p> <p>5 A. You would have a net savings.</p> <p>6 Q. In your view, we would have a net savings?</p> <p>7 A. On the face of it, yes.</p> <p>8 Q. And that's your view, is it?</p> <p>9 A. On the face of what you describe without</p> <p>10 further consideration and my experience is</p> <p>11 that everything requires further</p> <p>12 consideration, you would have -</p> <p>13 (1:45 p.m.)</p> <p>14 Q. Okay, well--so let's take it a step further.</p> <p>15 So by the same token, that would also be true</p> <p>16 for Hydro? Hydro could get rid of 20</p> <p>17 megawatts at peak period, it would make sense</p> <p>18 for them to spend anything less than 1. 68</p> <p>19 million to get rid of it.</p> <p>20 A. Hydro has made a long-term commitment and it</p> <p>21 cannot get rid--that's the embedded cost, so</p> <p>22 it has to recover that cost and it's putting</p> <p>23 that money at risk. It's already made a</p> <p>24 historical commitment for that \$84.00.</p> <p>25 Q. Made a historical commitment, but what -</p>	<p>1 A. And has to live by it, but it's putting that</p> <p>2 at risk in order to get a demand and energy</p> <p>3 rate on the table and in place.</p> <p>4 Q. So you would agree that Hydro, anything less</p> <p>5 than 1.68 million for 20 megawatts would be a</p> <p>6 good investment?</p> <p>7 A. No, as I pointed out, it has a commitment that</p> <p>8 it must pay those dollars, regardless right</p> <p>9 now of whether it gets rid of them or not.</p> <p>10 Q. But those are historical costs, aren't they?</p> <p>11 A. But they have contracts and they have to pay</p> <p>12 that historical costs, so -</p> <p>13 Q. But the future costs against which load</p> <p>14 management has to be addressed is a future</p> <p>15 expense, is it not?</p> <p>16 A. Yes, the deferral of plant.</p> <p>17 Q. Deferral of plant is a future expenditure,</p> <p>18 okay. Now, then what does the Board have to</p> <p>19 know in order to be satisfied that it is cost</p> <p>20 effective to spend money now to defer capacity</p> <p>21 in the future?</p> <p>22 A. Well, if you're headed towards marginal costs,</p> <p>23 marginal cost is certainly an input to demand</p> <p>24 side management and load management; however,</p> <p>25 that is separate and distinct, in my view,</p>
Page 143	Page 144
<p>1 from implementation of a demand energy rate.</p> <p>2 The virtues of a demand energy rate stand, on</p> <p>3 themselves, regardless of whether or not NP</p> <p>4 does any load management.</p> <p>5 Q. But your report has framed it in terms of</p> <p>6 deferring capacity to meet peak. Now let's</p> <p>7 just follow this through. Would we not need</p> <p>8 to know, first of all, what that future</p> <p>9 capacity will in fact look like? What are the</p> <p>10 long-run system expansion model for that</p> <p>11 Interconnected System? Would we not need to</p> <p>12 know that?</p> <p>13 A. No, I can say--well, it depends if you want to</p> <p>14 know qualitatively or quantitatively. I can</p> <p>15 tell you with a very high degree of certainty</p> <p>16 that if you lower your load on a--I can tell</p> <p>17 you pretty definitively that if you lower your</p> <p>18 peak demand on an ongoing basis, you will</p> <p>19 defer capacity. I can say that pretty--with a</p> <p>20 high degree of certainty.</p> <p>21 Q. Okay, so but do we need to know what that</p> <p>22 capacity analysis is going to look like, what</p> <p>23 type of plant, how much it's going to cost?</p> <p>24 A. You might need to know that.</p> <p>25 Q. Well Hydro is going to build it, presumably,</p>	<p>1 would not Hydro need to know it and would not</p> <p>2 the Board need to know it to determine the</p> <p>3 cost effectiveness of it?</p> <p>4 A. It will defer the time, my presumption is it</p> <p>5 will defer the time at which Hydro needs to</p> <p>6 sit down at the table and plan the next unit.</p> <p>7 Q. Okay.</p> <p>8 A. And that, in itself, is a savings in dollars.</p> <p>9 Q. So we need to know what -</p> <p>10 A. Without knowing quantitatively, to the extent</p> <p>11 that it will defer it and it will defer it,</p> <p>12 that is a dollar savings and I don't think it</p> <p>13 necessarily has to quantify that dollar</p> <p>14 savings.</p> <p>15 Q. It's a dollar savings, but you say we don't</p> <p>16 need to quantify it?</p> <p>17 A. I'm saying I'm not sure that Hydro needs to</p> <p>18 quantify it and is Hydro quantifying it right</p> <p>19 now? I don't think so.</p> <p>20 Q. Do we need to know when that capacity will be</p> <p>21 added, would otherwise need to be added? Is</p> <p>22 there not a time element that comes into play</p> <p>23 here?</p> <p>24 A. Yes and we would quantify if there is a time</p> <p>25 element that would come into play.</p>

Page 145	Page 146
<p>1 KELLY, Q.C.:</p> <p>2 Q. And would we not then have to determine a net</p> <p>3 present value of the cost of that future</p> <p>4 capacity to be deferred?</p> <p>5 A. Right.</p> <p>6 Q. We would, wouldn't we, right. So that if in</p> <p>7 fact, let me come back to the example we</p> <p>8 talked about this morning of water heaters,</p> <p>9 the one that you put forward. And in your</p> <p>10 report, you said there were 150,000 electric</p> <p>11 hot water heaters, 1 kilowatt per unit for a</p> <p>12 total load of 150 megawatts. Now they cycle</p> <p>13 off and on, so at any given point in time, how</p> <p>14 many do you think would be on?</p> <p>15 A. I don't know at the moment.</p> <p>16 Q. You have no sense of on a regular basis -</p> <p>17 A. How many would be off?</p> <p>18 Q. How many would be on?</p> <p>19 A. How many would be on? I would say anywhere</p> <p>20 from, I would just take a rough guess and this</p> <p>21 is, I'd say between 10 and 50 percent.</p> <p>22 Q. Between 10 and 50 -</p> <p>23 A. I'm just picking a rough number, I'm stepping</p> <p>24 out of my area right now.</p> <p>25 Q. So that would give us at 10 percent, 15</p>	<p>1 megawatts and at 50 percent, 75 megawatts.</p> <p>2 Now remember we had the discussion this</p> <p>3 morning -</p> <p>4 A. I'm sorry, say that again?</p> <p>5 Q. If how many were on, how many were running -</p> <p>6 A. Right.</p> <p>7 Q. And you said 10 percent to 50 percent of them</p> <p>8 may be on at any point in time during the day,</p> <p>9 agreed? And at 150 megawatts for the whole</p> <p>10 capacity, according to your report as a rough</p> <p>11 ballpark here -</p> <p>12 A. Right.</p> <p>13 Q. That would be a hot water -</p> <p>14 A. Well the 50 percent was premised on normal</p> <p>15 recycling to begin with.</p> <p>16 Q. Fine.</p> <p>17 A. And what I'm referring to, okay, so the gain</p> <p>18 would be the gain with respect to 50 percent--</p> <p>19 this is purely hypothetical and theoretical.</p> <p>20 Q. I appreciate that.</p> <p>21 A. And to reiterate, I'm stepping out of my area</p> <p>22 right now. But assuming in the normal course</p> <p>23 of events 50 percent were on, and I said 10 to</p> <p>24 50 percent meaning if 25 percent are on,</p> <p>25 that's a 100 percent gain with respect to the</p>
Page 147	Page 148
<p>1 50 percent that would have been on.</p> <p>2 Q. Okay, so if I could ask you the question, if I</p> <p>3 had a magic switch and I said, now I can turn</p> <p>4 off every hot water heater in the province</p> <p>5 that's on -</p> <p>6 A. Yes.</p> <p>7 Q. How many megawatts would I turn off?</p> <p>8 A. Well according to your calculation, 150</p> <p>9 megawatts.</p> <p>10 Q. But that's if they're all running.</p> <p>11 A. According to the 50 percent, 75 megawatts.</p> <p>12 Q. So it may be 75 megawatts, to take a very high</p> <p>13 percentage using your 50, okay.</p> <p>14 A. Right.</p> <p>15 Q. Now, if I'm--we talked about this morning</p> <p>16 about how we could go about doing that and one</p> <p>17 potential method that's out there is we could</p> <p>18 put in an electronic control on every hot</p> <p>19 water heater and build an expensive system to</p> <p>20 have radial control dispatch to take that off</p> <p>21 the system, so that when Hydro calls us up and</p> <p>22 says, okay, there's a peak, we're getting</p> <p>23 close to a peak, could you turn off all the</p> <p>24 hot water heaters, so we flip the switch.</p> <p>25 Now, how much is it worth spending to turn off</p>	<p>1 75 megawatts like that?</p> <p>2 A. Well instant savings to you are \$84.00 a</p> <p>3 kilowatt year.</p> <p>4 Q. So if you work that out, it would be worth it</p> <p>5 to us to spend a lot of money to do it, how</p> <p>6 much would that work out to?</p> <p>7 A. 75,000 times 84.</p> <p>8 Q. A lot of money. Now, if we spent all of that</p> <p>9 money, would we go out there--that would be</p> <p>10 the cost to, if we spent a million dollars,</p> <p>11 would it be worth spending a million dollars?</p> <p>12 A. On the face of it, it seems like it would be</p> <p>13 worth spending it to you.</p> <p>14 Q. For us?</p> <p>15 A. Yes.</p> <p>16 Q. On your analysis. Would it be worth us</p> <p>17 spending 5 million dollars?</p> <p>18 A. I'm trying to think where this is all headed.</p> <p>19 Q. Never mind, just -</p> <p>20 A. It could be.</p> <p>21 Q. Could be. Would it be worth us spending 10</p> <p>22 million dollars?</p> <p>23 A. I would say not.</p> <p>24 Q. And you're judging that against \$84.00 a</p> <p>25 kilowatt hour?</p>

Page 149	Page 150
<p>1 MR. GRENEMAN:  2 A. That's right.  3 KELLY, Q.C.:  4 Q. Okay.  5 A. Actually I would say it could be, because  6 that's per year and then it goes on year after  7 year.  8 Q. Right, but that enables us to turn it off on a  9 winter peak. Now, would that defer any  10 capacity?  11 A. If it's reliable year after year, the question  12 is, is it reliable year after year, something  13 that's dependable.  14 Q. We have a dependable radial controlled system.  15 A. Right. That would cause--I would think that  16 would cause Hydro to defer capacity.  17 Q. Okay, now what's the difference in that and  18 Hydro calling up Stephenville and saying we  19 have a winter peak coming and they have a  20 program in place that turns off 75 megawatts  21 or 46 or whatever number they have is equally  22 as reliable, does that not defer capacity?  23 A. Well, I don't know all the circumstances  24 around Stephenville. I don't know how long  25 term it could be. I think the option for</p>	<p>1 whether they want it turned off or not is  2 their option, rather than Hydro's option, I'm  3 not sure of that.  4 Q. No, no, on Interruptible B, if they've signed  5 up for 25 times a year, 25 peaks on demand  6 from Hydro, they'll turn off 46 megawatts.  7 A. Yeah. I think this is getting out of the  8 purview of the demand energy rate and I'd  9 probably want to refer this to somebody that's  10 more qualified within Hydro to speak to it.  11 Q. Who would that be, sir?  12 A. I don't know, I'd like to confer with Hydro on  13 that.  14 Q. Well, let me, I want to continue this  15 discussion though. We have to measure the  16 Board, the \$84.00 is simply an historical  17 rate, but the Board has a responsibility to  18 determine system planning for the future and  19 the least cost alternative. That's the  20 mandate under the Electrical Power Control  21 Act. In order to determine whether the  22 expenditure that I just put to you for water  23 heater controls is appropriate, does the Board  24 not have to judge that against the following  25 factors. What are the alternatives? And the</p>
Page 151	Page 152
<p>1 alternative is what is the system--number one,  2 what is the system plan for future expansion?  3 Number two, what is the long run marginal cost  4 of that expansion? Number three, when will  5 that occur in the future? And number four,  6 what is the net present value to bring it back  7 so we have a number to determine whether the  8 expenditure now on deferral today is, in fact,  9 a savings or not? Isn't that the analysis  10 that has to be done?  11 A. I honestly believe that your line of  12 questioning is exceeding the scope of the  13 demand energy rates. I think it's a pretty  14 well known fact and I think you would even  15 agree that a demand energy rate does promote  16 conservation, it's pretty well accepted in the  17 industry. And I think you're getting into a  18 lot of details which perhaps are more properly  19 addressed by system planning.  20 Q. But this Board has to determine the least cost  21 alternative. And your proposal at line 15 was  22 that you should give us, you, Mr. Greneman  23 from Stone and Webster and Hydro, should give  24 us the quantitative measure, but the Board has  25 an obligation to determine whether that</p>	<p>1 quantitative measure is the right measure  2 against which to determine activities related  3 to viable load management. So, doesn't the  4 Board need the information to determine  5 whether that is, in fact, cost effective?  6 A. Well, that's going beyond what it says.  7 Eighty four dollars is the proper measure, it  8 is Hydro's embedded cost. It's the obligation  9 that it has to live with. Whether load  10 management is indeed implemented or it's not  11 implemented, that's in your purview, in my  12 view. And I think walking down this path is  13 really something that might more properly be  14 taken up with system planning.  15 Q. But the whole purpose in your report that we  16 looked at was to enable a demand to be taken  17 off peak, that's the premise of your report.  18 And so the question becomes how much is it  19 worth doing to do that?  20 A. Not to take a demand -  21 Q. To reduce the demand at system peak.  22 A. Oh, to reduce the demand at system peak.  23 Q. That's the premise. So, the question is how  24 much is it worth doing and I'm putting it to  25 you, sir, you can't look at that question by</p>

Page 153	Page 154
<p>1 KELLY, Q.C.:</p> <p>2 looking at the historical costs. You have to</p> <p>3 look at the future potential costs of</p> <p>4 generation versus deferral.</p> <p>5 A. I would submit that it could be looked at both</p> <p>6 ways and it could be looked at independently</p> <p>7 based upon embedded cost.</p> <p>8 Q. Okay. What will embedded cost give us other</p> <p>9 than historical costs?</p> <p>10 A. It gives you historical cost, but it's</p> <p>11 supportable in that it passes in a proper</p> <p>12 demand and energy relationship. Hydro's cost</p> <p>13 relationship that it has to live by and it's</p> <p>14 passing it on to you as the customer. And</p> <p>15 that in itself is appropriate and has merit,</p> <p>16 all by itself.</p> <p>17 Q. Now, -</p> <p>18 A. Now, you can respond to it or not respond to</p> <p>19 it, but I think that Hydro has an obligation</p> <p>20 to reflect that in its rates.</p> <p>21 Q. But the question for the Board is, is it</p> <p>22 appropriate for Newfoundland Power to respond</p> <p>23 to that type of price signal. In other words,</p> <p>24 is it worthwhile, us spending \$84.00 a</p> <p>25 kilowatt to take demand off the system? Are</p>	<p>1 we supposed to respond to it?</p> <p>2 A. That's up to you.</p> <p>3 Q. No, no, with respect, sir, you have said we</p> <p>4 should have an incentive to do this. And so,</p> <p>5 if you're saying we should have the incentive,</p> <p>6 presumably you want us to respond.</p> <p>7 A. It would be desirable to respond, but I can't</p> <p>8 tell you how you're going to respond or what</p> <p>9 the economics are.</p> <p>10 Q. You can't tell me the economics of how we</p> <p>11 should respond?</p> <p>12 A. Well, I think that's within your area to</p> <p>13 determine.</p> <p>14 Q. But you can't tell me the economics--you're</p> <p>15 going to give me an incentive at \$84.00 to</p> <p>16 take demand off the system, but you can't tell</p> <p>17 me that we should take demand off the system</p> <p>18 for anything less than \$84.00? Is that not</p> <p>19 what -</p> <p>20 A. This is really going beyond what the report is</p> <p>21 saying. The \$84.00 is a proper number, it's</p> <p>22 supported on the, in some virtues.</p> <p>23 Q. Will you agree with me, sir, that your rate</p> <p>24 has two components to it, both demand and</p> <p>25 energy?</p>
Page 155	Page 156
<p>1 A. That is true.</p> <p>2 Q. Okay. Now, in your energy component you have</p> <p>3 a value for eight months of the year of 3. 4</p> <p>4 cents a kilowatt hour?</p> <p>5 A. Is that 3.44?</p> <p>6 Q. 3.44. I'm doing a bit of rounding here? Yes?</p> <p>7 A. (No audible response).</p> <p>8 Q. And the highest rate that you have is 4. 7</p> <p>9 cents as the tail block rate for the other</p> <p>10 part of the year, the other four months?</p> <p>11 A. If I could restate it a different way, there's</p> <p>12 a rate of 3.44 cents which is applicable all</p> <p>13 12 months of the year.</p> <p>14 Q. Yes.</p> <p>15 A. And a rate of 4.7 cents which is applicable</p> <p>16 all 12 months of the year.</p> <p>17 Q. And that will only kick in as we saw</p> <p>18 historically -</p> <p>19 A. But the rate, as it's stated, is a year-round</p> <p>20 rate -</p> <p>21 Q. That's semantics. I don't want to quibble</p> <p>22 with you over that.</p> <p>23 A. Okay. 3.44 and 4.7.</p> <p>24 Q. Both of those rates are below the marginal</p> <p>25 cost of producing energy in this province,</p>	<p>1 aren't they, at 5.13 cents a kilowatt hour?</p> <p>2 A. I'm not sure that's--I was told that's--how do</p> <p>3 I say -</p> <p>4 Q. Would you like -</p> <p>5 A. I'm not sure of the validity of that number</p> <p>6 exactly.</p> <p>7 Q. You're not?</p> <p>8 A. But the 4.7 is -</p> <p>9 Q. Can we put NP-171 on the screen?</p> <p>10 A. I saw that, I saw that. The 4.7 cents is the</p> <p>11 incremental cost of fuel at Holyrood.</p> <p>12 Q. Can we put NP-171 on the screen, Mr. O'Reilly,</p> <p>13 please? Sorry, I got the wrong number for</p> <p>14 you. Let me--NP-130. 4.7 is fuel but there's</p> <p>15 a variable operation and maintenance cost. In</p> <p>16 other words, for every kilowatt hour you</p> <p>17 produce at Holyrood it costs .45 cents</p> <p>18 additional?</p> <p>19 A. Yeah.</p> <p>20 Q. Correct?</p> <p>21 A. I'll accept that for purpose of this</p> <p>22 discussion, but I think there's some question</p> <p>23 as to the -</p> <p>24 Q. Well, these are Hydro's numbers.</p> <p>25 A. I know that.</p>

Page 157

Page 158

1 KELLY, Q.C.:  
 2 Q. Have you done an analysis to dispute Hydro's  
 3 numbers?  
 4 A. No.  
 5 Q. No. So would you agree with me that your  
 6 energy rates are less than the marginal cost  
 7 of production?  
 8 A. The intent was to put the--the intent was to  
 9 put the tail block, the 4.7 cents at the  
 10 marginal cost of fuel, not OM, but fuel at  
 11 Holyrood. So the intent was to price it at  
 12 the marginal cost of fuel at Holyrood.  
 13 Q. Then, sir, that would then price energy at  
 14 less than it costs to produce it in this  
 15 province.  
 16 A. What would?  
 17 Q. Because you're going to price it at roughly  
 18 half a cent below the cost of producing it.  
 19 Do you not think that that is an inefficient  
 20 price?  
 21 A. What--I'm not supposed to ask a question, so  
 22 I'll ask it rhetorically. Would it make you  
 23 happier if we'd made the tail block 5.13?  
 24 Q. Well, I simply put the question, do you not  
 25 agree that any energy should be sold at a

1 minimum at the marginal cost of production?  
 2 A. Well, one's a theoretical question, the other  
 3 is--there's theoretical one, a practical  
 4 answer. There are circumstances where it's  
 5 acceptable to sell energy at less than the  
 6 marginal cost.  
 7 Q. And so out of that may I suggest to you, sir,  
 8 that in looking at the long-run future system  
 9 and how we should either add capacity or defer  
 10 capacity, we need to look at the marginal cost  
 11 of energy and the marginal cost of demand as  
 12 relevant components quite apart from or in  
 13 addition to, whichever you like, the embedded  
 14 costs?  
 15 A. Yeah. There are marginal cost considerations.  
 16 To price fuel, to set the price of energy at  
 17 the price of fuel there's a very close if not  
 18 exact matching of fuel cost with fuel  
 19 consumption. So if customers decrease their  
 20 use, Holyrood burns less and there's a proper  
 21 matching of cost. That's the intent in the  
 22 energy block. The intent is not long-run  
 23 marginal costs, the intent is to match the  
 24 cost with--the revenues with the cost.  
 25 Q. To make sure we don't sell it below cost at

Page 159

Page 160

1 the time of production?  
 2 A. There are plenty of utilities that sell below  
 3 cost.  
 4 (2:05 p.m.)  
 5 Q. Do you think in this province we should sell  
 6 energy below cost?  
 7 A. There are circumstances where it may be  
 8 appropriate.  
 9 Q. Do you think in any circumstance which exists  
 10 in this province now we should sell energy  
 11 below cost?  
 12 A. If you have two sources and one source is one  
 13 cent a kilowatt hour and the other is three  
 14 cents a kilowatt hour and there's an equal use  
 15 of the one cent energy and the three cent  
 16 energy, but you have an equal block all year  
 17 round priced at two cents -  
 18 Q. That's not our system, though, is it, sir?  
 19 A. Well, I'm giving you an example.  
 20 Q. No, but in this province now, where we have a  
 21 predominantly hydraulic system that we talked  
 22 about this morning, is there any circumstance  
 23 in which you think we should sell energy below  
 24 marginal cost of production?  
 25 A. Well, you're selling--okay. I think it could

1 be appropriate to -  
 2 Q. In what circumstances then?  
 3 A. Okay. Let me hypothesize, let me put forward  
 4 a theoretical rate form, okay, to give you an  
 5 example. It's not the rate form we put  
 6 forward here. Suppose we implemented as an  
 7 alternative to what we have in RDG-2 a rate, a  
 8 two tier rate just as we have right now where  
 9 the second block is exactly as you see it  
 10 here, 5.13 cents per kilowatt hour and we took  
 11 the block ending instead of being 420 gigawatt  
 12 hours per year, we moved that such that every  
 13 single month NP would see the 5.13 cents.  
 14 Because it's a two tier rate you would take  
 15 the first block and bring it down sufficiently  
 16 low in order to enable the higher 5.13 cents  
 17 in every month. It's that first block that's  
 18 being sold at less than the marginal cost, and  
 19 yet, that would satisfy all incremental  
 20 production at the marginal cost.  
 21 Q. So what -  
 22 A. But it's a concrete example, though, of  
 23 selling under marginal cost.  
 24 Q. Okay. So what you would propose, I'll get  
 25 this clear before -



Page 161	Page 162
<p>1 MR. GRENEMAN:  2 A. I'm not proposing it, it's -  3 KELLY, Q.C.:  4 Q. No. But -  5 A. It's demonstrative -  6 Q. To make sure we sell at marginal cost, you  7 would reduce the first tire block, which is--  8 further reduce it, which is in effect for  9 eight months of the year and increase the tail  10 block at the last four months of the year? Is  11 that what you're telling us?  12 A. No. The tail block would be in effect at all  13 12 months of the year.  14 Q. Yes, but it's never reached?  15 A. Well, no, the point is it is reached. And the  16 reason it's reached is you modify the--instead  17 of being a 420 gigawatt hour threshold.  18 Q. Yes.  19 A. You vary that such that you have consumption  20 in each of the 12 months at the tail block.  21 Q. Okay. So that you would have a reduced rate  22 in the summer, but a tail block rate as well?  23 A. Right.  24 Q. Another -  25 A. And NP would consume in both blocks during the</p>	<p>1 summer.  2 Q. And if you structured that at the wholesale  3 level, would you like us to pass that along at  4 the retail level?  5 A. Well, you've moving away from your original  6 question.  7 Q. No, no, I'm -  8 A. That's a concrete -  9 Q. That's the concrete example that you put.  10 A. Yeah.  11 Q. And my question is, if that was the wholesale  12 rate, would you like us to reflect that in the  13 retail rate structure?  14 A. I don't know if I'd like to. You could do it  15 if you'd like to.  16 Q. No, but what would you as the expert  17 consultant on rate design, what would you see?  18 A. I haven't studied your system -  19 Q. Haven't studied it?  20 A. And you brought that out before.  21 Q. Okay. Now, let's look next then at a couple  22 of areas on the history of the load. Can I  23 take you to Mr. Haynes' table 8, please? Have  24 you seen this table before?  25 A. I believe I have.</p>
Page 163	Page 164
<p>1 Q. Okay. Now, as Mr. Haynes has explained, the  2 energy criterion that governs Hydro's system  3 expansion planning models indicates on this  4 that in 2009 there will be an energy shortage  5 requiring an either plant or capacity addition  6 for 2009, 2010. Is that how you understand  7 it, first of all?  8 A. Yes.  9 Q. Okay. And capacity will not be required until  10 2011?  11 A. Yes.  12 Q. Okay. Now, when the next plant is added, you  13 will agree with me that it will add, by  14 definition, both capacity and energy?  15 A. Yes.  16 Q. Okay. In fact, if we go to NP-154, the answer  17 at the bottom says, "Since the next plant  18 addition is required to meet both demand and  19 energy requirements, a reduction in peak only  20 with no associated energy reduction will not  21 defer the next plant addition, although it may  22 have an impact on which options would be  23 considered least cost at that time and  24 beyond."  25 A. Yes.</p>	<p>1 Q. Correct? Would you agree with that statement?  2 A. Yes.  3 Q. Okay. So that one of the things when you're  4 looking at load management and how that  5 impacts system expansion is you need to model  6 what will happen to the type of plant  7 expansion that will be needed at that point in  8 the future? Agree with that?  9 A. Yes.  10 Q. Okay. And we've heard in evidence that  11 currently within the next year or so there's  12 25 megawatts of a wind project contemplated  13 for the Burin Peninsula?  14 A. Yes.  15 Q. Were you aware of that?  16 A. Yes.  17 Q. And that that will add both capacity and  18 energy?  19 A. If you say that it will. I'm not familiar to  20 the extent to which it will add capacity.  21 Q. Well, Mr. Haynes indicated it would add 25  22 megawatts of capacity and would add  23 corresponding amount of energy.  24 A. No. On peak, at the time of the coincident  25 peak?</p>

Page 165

Page 166

1 KELLY, Q.C.:  
 2 Q. Well -  
 3 MR. YOUNG:  
 4 Q. Can we see the reference to the transcript?  
 5 KELLY, Q.C.:  
 6 Q. I'll take--we'll leave it at -  
 7 A. At just capacity, okay.  
 8 Q. It will add something? I don't want to debate  
 9 with you whether it's 25 or whatever. See to  
 10 satisfy Mr. Young whether we can find the  
 11 reference for you.  
 12 GREENE, Q.C.:  
 13 Q. There was no evidence given with respect to  
 14 the wind on the LOLH calculations.  
 15 KELLY, Q.C.:  
 16 Q. I agree with that. But that wasn't -  
 17 GREENE, Q.C.:  
 18 Q. Well, you're going to with the next plant  
 19 addition, Mr. Kelly.  
 20 KELLY, Q.C.:  
 21 Q. Okay. Let's just leave it on the basis, Mr.  
 22 Greneman, that -  
 23 GREENE, Q.C.:  
 24 Q. And we haven't objected to date with Mr. Kelly  
 25 summarizing evidence, but really, there comes

1 a point if he is going to do that, he should  
 2 be taking the witness to the actual reference  
 3 so that we can see, in fact, whether the  
 4 representation is correct. And this is one  
 5 where I believe he should do that.  
 6 KELLY, Q.C.:  
 7 Q. I'll have a look for that -  
 8 CHAIRMAN:  
 9 Q. Mr. Kelly, if you're going to pursue that, I  
 10 agree with Ms. Greene on that.  
 11 KELLY, Q.C.:  
 12 Q. It's not important, but I will look for the  
 13 reference at the break, Chair. Mr. Greneman,  
 14 the next addition will add some degree of  
 15 capacity, some degree of energy, agreed?  
 16 A. Yes.  
 17 Q. Okay. And in fact, there's discussion of  
 18 adding Island Pond. And Island Pond was  
 19 proposed to be a 36 megawatt project. Are you  
 20 familiar with that at all?  
 21 A. I've heard the name.  
 22 Q. Okay. And that would add, as we understand  
 23 it, being a hydraulic project, 36 megawatts of  
 24 capacity and some degree of energy, correct?  
 25 A. Yes.

Page 167

Page 168

1 Q. Okay. So that if we go back to table 8, if  
 2 you add both capacity and energy, the point at  
 3 which the energy balance and the LOLH balance  
 4 move will be presumably some point further out  
 5 into the future. Would you agree with that?  
 6 A. Yes.  
 7 Q. Okay. So that in determining the value today,  
 8 the net present value of load management  
 9 today, the question is, what is the value of  
 10 that future generation at an unknown but a  
 11 significant point in the future, discounted to  
 12 today's date, is that not the type of analysis  
 13 you'd have to go through to determine its cost  
 14 effectiveness?  
 15 A. Generally, yes.  
 16 Q. Okay. And meanwhile, would you agree with me  
 17 that the more current effect, more current  
 18 issue right now is the total energy  
 19 consumption because that is what drives  
 20 currently the next generation addition?  
 21 A. But it's followed shortly thereafter by  
 22 capacity, the need for capacity.  
 23 Q. But energy -  
 24 A. Might -  
 25 Q. Energy is the one that gets met first?

1 (2:15 p.m.)  
 2 A. Well, that's, in my view, a technicality.  
 3 It's followed rapidly, within a year or two,  
 4 by capacity. And my understanding is that in  
 5 the years to come Hydro's system will become  
 6 actually more capacity constrained rather than  
 7 energy constrained.  
 8 Q. If we could conserve enough energy, would we  
 9 not defer the plant expansion from 2009 or  
 10 2010 on the table 8, to 2011?  
 11 A. If I understand what you're getting at is that  
 12 Hydro's system is a combination of energy and  
 13 capacity constrained, what I would like to  
 14 point out is that this is indeed recognized in  
 15 Hydro's Cost of Service where were apportion  
 16 the hydraulic facilities based on load factor  
 17 and we apportion Holyrood based upon capacity  
 18 factor. So this indeed recognizes that  
 19 there's a dual demanded energy relationship.  
 20 And what is being proposed in the \$84 is not  
 21 the entirety, is not the entirety of capacity  
 22 cost, but rather it's the demand portion. And  
 23 it's my view that to the extent you point out,  
 24 rightly so, that there perhaps is an energy  
 25 portion that is already in the energy portion

Page 169	Page 170
<p>1 MR. GRENEMAN: 2 of the rate. It's been apportioned in the 3 Cost of Service. 4 KELLY, Q.C.: 5 Q. So we should ensure, should we not, that the 6 energy portion of rates are efficient in terms 7 of the signals that they send because of the 8 fact the next--the first constraint right now 9 is energy, not capacity. Would you agree with 10 that? 11 A. They are so close together they are tantamount 12 to being the same, almost. I mean, they are 13 within a year or two of each other. 14 Q. But you're not suggesting that we should 15 ignore energy pricing efficiency at the 16 expense of demand pricing efficiency, are you? 17 A. Or the other way around. 18 Q. Okay. Let's go next then--have you looked at 19 NP's, Newfoundland Power's, the structure of 20 its customer base at all? Mr. Greneman? 21 A. I'm sorry, where were you? 22 Q. Have you - 23 A. Oh, I'm sorry, I thought you were pointing me 24 here. 25 Q. No, no. Have you looked at Newfoundland</p>	<p>1 Power's customer base, what it looks like, 2 what it's made up of? 3 A. It would only be by recall of when you did 4 your GRA. I can't recall offhand. 5 Q. Okay. So let me, let me take you to Mr. 6 Perry's evidence and Mr. Henderson's evidence. 7 And the place I want to take you to is to page 8 4, table 1. While Mr. O'Reilly is finding 9 that, as we looked at your exhibit RDG- 2 10 you'll remember this passage that you had 11 written which was on page 3, "Through a demand 12 rate Newfoundland Power can provide incentives 13 to its customers to reduce peak through rates 14 or other cost effective means." Now, I want 15 to talk about this rate issue as we go through 16 this next discussion. There we go. Now, in 17 table 1 you can see a breakdown by customer 18 number, to start off with, what our customers' 19 structure looks like. And you'll see 86. 3 20 percent of them are in domestic and 5.3 are in 21 general service? 22 A. Um-hm. Yes. 23 Q. Now, none of those have demand charges, 24 correct, or would you know that? 25 A. The zero to ten is not a -</p>
Page 171	Page 172
<p>1 Q. Zero to ten. 2 A. Is no demand meter? 3 Q. No demand meter. 4 A. Okay. 5 Q. Are you aware of that? 6 A. I would have assumed it because it's a common 7 type of structure and I've seen it before. 8 Q. Okay. And so, I take it you would agree with 9 me that it is not cost effective to demand 10 meter the domestic classes and the general 11 service zero to ten class? 12 A. Yes, I would agree with that. 13 Q. Okay. So the ones that would have a demand 14 rate are the 2.2, 2.3 and 2.4 classes, 15 correct? 16 A. Right. 17 Q. Because street and area lighting wouldn't be a 18 demand issue either, would it? 19 A. I would consider those to be effectively 20 demanded metered. There's no--even though 21 they're not metered, they are--they can't 22 react. 23 Q. They can't react? 24 A. So their rate structure is proper. 25 Q. So the ones that will have a demand rate that</p>	<p>1 will be influenced at the end use customers 2 are the 4.1 percent of our customers that fall 3 in classes 2.2 to 2.4? 4 A. In all fairness, I think the point is better 5 represented by the percent of energy 6 distribution rather than demand. 7 Q. And I'm going to come to that. 8 A. Okay. 9 Q. So that we look at the number of customers 10 first. Let's go next then to table 2, which 11 is the energy sales by customer class. 12 A. Right. 13 Q. So we have roughly 60 percent, 59.2 in 14 domestic and in 2.1 we have two percent, so 15 about 61 percent in total? 16 A. That's right. 17 Q. Okay. And if we go to table 4, the total 18 across the entire group of Newfoundland 19 Power's customers have 77 percent comes from 20 energy charges and 9.1 percent comes from 21 demand charges? 22 A. I have a comment on that table. 23 Q. By all means. 24 A. If this is to imply that the 9.1 percent that 25 comes from demand charges is the extent of</p>

Page 173	Page 174
<p>1 MR. GRENEMAN:</p> <p>2 what's demand metered, I would like to point</p> <p>3 out that corresponding with that 9.1 percent</p> <p>4 is the energy piece for those customers which</p> <p>5 currently appears to be in the 77.1 and to</p> <p>6 illustrate the point to the Board and to</p> <p>7 myself, I believe that that should be restated</p> <p>8 in the demand charge line because it's been</p> <p>9 separated at that point and it's rightly</p> <p>10 demand, as opposed to giving the illusion that</p> <p>11 the 77 percent cannot be dealt with. Part of</p> <p>12 that has been split already.</p> <p>13 KELLY, Q.C.:</p> <p>14 Q. Okay. Let's just follow that along. What</p> <p>15 you're saying there is that the residential</p> <p>16 class is getting its demand charge in the</p> <p>17 energy rate that goes to it, correct?</p> <p>18 A. That's correct.</p> <p>19 Q. So that--and it is not possible cost</p> <p>20 effectively to give them a separate demand</p> <p>21 meter. So they will always be on an energy</p> <p>22 only rate?</p> <p>23 A. That's correct.</p> <p>24 Q. Right. So that the ones that will be on the</p> <p>25 demand rate will continue to be the classes</p>	<p>1 2.2 to 2.4?</p> <p>2 A. Yes.</p> <p>3 Q. Now have you looked at that type of rate</p> <p>4 structure to determine whether it is the</p> <p>5 demand charges that we have in those rate</p> <p>6 classes are appropriate?</p> <p>7 A. I remember reviewing it at the time of your</p> <p>8 GRA.</p> <p>9 Q. And what conclusion did you come to?</p> <p>10 A. The only personal conclusion I came to was the</p> <p>11 relationship of the demand--the demand seemed</p> <p>12 to be declining in magnitude as the classes</p> <p>13 got larger and larger, but that's a detail.</p> <p>14 That's not relevant to any of this.</p> <p>15 Q. Okay.</p> <p>16 A. But I did notice--I did see demand charges,</p> <p>17 yes.</p> <p>18 Q. So did you give Hydro any advice or</p> <p>19 recommendation that there were any problems</p> <p>20 with the rate structure in those classes?</p> <p>21 A. Not specifically.</p> <p>22 Q. Now in order to have those demand charges</p> <p>23 there, Newfoundland Power didn't need, because</p> <p>24 we don't have, a demand energy rate at the</p> <p>25 wholesale level to put those in place, did we?</p>
Page 175	Page 176
<p>1 A. No, you did not. Part of the desirability of</p> <p>2 having a demand charge in a larger general</p> <p>3 service rate is to distinguish customers</p> <p>4 within the class and to minimize interclass</p> <p>5 subsidies.</p> <p>6 Q. But it wasn't necessary for us to have a</p> <p>7 wholesale demand rate in order to look through</p> <p>8 to the entire system costs and pass along</p> <p>9 appropriate demand costs to our customers?</p> <p>10 A. I would agree with that.</p> <p>11 Q. Okay. Now can I take you next to CA-236? Now</p> <p>12 this was a question which was posed. If we</p> <p>13 can scroll it up a little bit more so we can</p> <p>14 get the bottom notes, Mr. O'Reilly, if we</p> <p>15 could? Just a couple of more, can we go a</p> <p>16 little further? Okay. Now we've got the--now</p> <p>17 in this table, there are the retail tail-block</p> <p>18 rates for various classes and the tail-block</p> <p>19 rate as a percentage of what was short-run</p> <p>20 marginal cost. And you'll see in the blocks</p> <p>21 2.2, 2.3 and 2.4, our rates are currently</p> <p>22 actually below marginal cost of energy. See</p> <p>23 that?</p> <p>24 A. Yes, it says shown in the last column.</p> <p>25 Q. Right.</p>	<p>1 A. Less than 100.</p> <p>2 Q. And if you go down to the note at the bottom,</p> <p>3 beginning at line 21, it explains that</p> <p>4 "Newfoundland Power's 2003 GRA evidence was</p> <p>5 presented which indicated that Newfoundland</p> <p>6 Power's retail tail-block rates for 2, 3 and 4</p> <p>7 were below short-run marginal costs. Having</p> <p>8 rates set for these rate classes that better</p> <p>9 reflect short-run marginal costs was</p> <p>10 recommended. Due to other considerations,</p> <p>11 such as the need to minimize customer impacts</p> <p>12 and the final order to decrease overall rates,</p> <p>13 Newfoundland Power was unable to increase its</p> <p>14 tail-block rates." So one of the things that</p> <p>15 concerns us is, in fact, whether the energy</p> <p>16 component should be priced higher for economic</p> <p>17 efficiency signals to our customers. Do you</p> <p>18 agree with that?</p> <p>19 A. I understand the logic of it, yes.</p> <p>20 Q. Yes. Now if you shift more into energy, you</p> <p>21 either have to take it out of demand or take</p> <p>22 it out of earlier tail blocks, do you not?</p> <p>23 A. Yes.</p> <p>24 Q. Okay. Because those are the only two places</p> <p>25 it can come from?</p>

Page 177

Page 178

1 MR. GRENEMAN:  
 2 A. Right.  
 3 KELLY, Q.C.:  
 4 Q. Okay. Now what, if any, specific changes do  
 5 you see making to Newfoundland Power's rate  
 6 structure, if any? Not necessarily on this,  
 7 but on any of our rate structures.  
 8 A. I can't -  
 9 MR. YOUNG:  
 10 Q. Mr. Chair, if I can interject for just a  
 11 moment. This very similar question to this  
 12 one, and perhaps the very same question has  
 13 been asked three or four times before, and I  
 14 think in each case, Mr. Greneman indicated he  
 15 wasn't able to answer it. I just don't know  
 16 if there's a point of belabouring this  
 17 particular line of questioning any further.  
 18 KELLY, Q.C.:  
 19 Q. Well -  
 20 GREENE, Q.C.:  
 21 Q. And to clarify, Hydro's position has always  
 22 been that we are not suggesting rate design  
 23 changes for the Newfoundland Power end-use  
 24 customers. That is an issue for Newfoundland  
 25 Power to address. I think Mr. Young was kind

1 when he said the question has been asked and  
 2 answered three or four times. It's been asked  
 3 and answered several times that Mr. Greneman  
 4 has not studied the Newfoundland Power end-use  
 5 rates and I really don't see the point in  
 6 pursuing this further.  
 7 KELLY, Q.C.:  
 8 Q. Well, I want to explore the seasonal rate with  
 9 you, Mr. Greneman, because I asked you earlier  
 10 about whether you thought that should be  
 11 reflected in the retail rate.  
 12 GREENE, Q.C.:  
 13 Q. I would like the Board to rule on my  
 14 objection, before Mr. Kelly continues with the  
 15 question of the seasonal rate for Newfoundland  
 16 Power end users.  
 17 CHAIRMAN:  
 18 Q. Do you have any response to -  
 19 KELLY, Q.C.:  
 20 Q. Chair, I think it is vitally important for  
 21 this Board to understand the implications of  
 22 what is being suggested with this demand  
 23 energy rate and the implications for the  
 24 system overall and for customers in  
 25 particular. One of the questions that flows

Page 179

Page 180

1 out of that is if in fact we are to attempt to  
 2 reflect seasonal rates or a seasonal rate  
 3 structure into retail rates, which is, as Mr.  
 4 Greneman said, that's what one would expect to  
 5 do, then surely the Board needs to have an  
 6 understanding of the potential type of impact  
 7 of that, whether it's been looked at and to  
 8 what extent. I think it's quite an  
 9 appropriate -  
 10 GREENE, Q.C.:  
 11 Q. And perhaps Newfoundland Power are the best  
 12 people to advise the Board as to what the  
 13 impact of their own rate classes and  
 14 structures would be on their own end-use  
 15 customers. They have Mr. Brockman and Mr.  
 16 Henderson who are both testifying who are very  
 17 familiar with their rate structures and who  
 18 should be in a position to advise the Board as  
 19 to what the implications are if a demand rate  
 20 is implemented.  
 21 CHAIRMAN:  
 22 Q. I think -  
 23 GREENE, Q.C.:  
 24 Q. Stone and Webster have not studied the issue  
 25 of the Newfoundland Power end-use rate, nor

1 has Hydro made any recommendations with  
 2 respect to them.  
 3 CHAIRMAN:  
 4 Q. - I think I have to agree with Ms. Greene, Mr.  
 5 Kelly. I have heard that question a number of  
 6 times and I have heard Mr. Greneman say that  
 7 he hasn't studied the issue, and certainly,  
 8 it's--I don't know what progress we're making  
 9 in that area, to be honest with you.  
 10 KELLY, Q.C.:  
 11 Q. Thank you, Chair. If that's your ruling, I'll  
 12 move on. Can I take you to NP-167, Mr.  
 13 Greneman?  
 14 A. Yes.  
 15 Q. And the question deals then with DSM and how  
 16 DSM should be evaluated. Do you agree that  
 17 DSM should be evaluated on a marginal cost  
 18 basis?  
 19 A. Yes.  
 20 Q. And can I take you to NP-162? And Hydro has  
 21 indicated at line 5 that it has not undertaken  
 22 any studies to demonstrate the extent to which  
 23 implementing a demand and energy rate will  
 24 increase system load factor or defer new  
 25 capacity. Have you done any such studies?

Page 181	Page 182
<p>1 MR. GRENEMAN:  2 A. No.  3 KELLY, Q.C.:  4 Q. Okay. Now the rest of the answer goes on to  5 suggest that in theory that should be the  6 case?  7 A. Right. That's not the only support for demand  8 energy rate though.  9 Q. No, but in theory, that's what you're  10 suggesting in this answer or Hydro is?  11 A. The theory is that consumers respond to price  12 signals or tend to respond to price signals.  13 Q. Now can I take you next then to NP-136? And  14 these are the--this is the information  15 provided by Hydro with respect to the  16 Interruptible B at Stephenville, and I wanted  17 you to be able to see the terms of it.  18 \$28.00, 25 occasions per year for 46  19 megawatts.  20 A. Yes.  21 Q. And if I take you to IC-194, the answer down  22 at line 12--or sorry, if I back up a little  23 bit, an assessment of the capability of the  24 Island Interconnected System to meet future  25 load requirements is summarized on Table 8 in</p>	<p>1 the evidence of Mr. Haynes indicates that  2 deficits in capacity are not forecast until  3 2011.  4 A. Yes.  5 Q. And it's on that basis that Hydro has decided  6 not to renew the Interruptible B contract?  7 A. Yes.  8 Q. So it appears to be because of the capacity  9 not being needed, agreed?  10 A. Yes.  11 (2:33 p.m.)  12 Q. Okay. Now let me take you then, with that as  13 the background to NP-140. If you could scroll  14 up the table, Mr. O'Reilly, please. Now in  15 the table, that 46 megawatts, if it were put  16 back into the system, still leads to an LOLH  17 criteria violation in 2011, the same date that  18 Mr. Haynes had in his table before?  19 A. Yes.  20 Q. So that 46 megawatts did not defer any  21 capacity, did it, and that -  22 A. Not on a quantum, by quantum I mean by year  23 basis.  24 Q. Right.  25 A. It appeared not to.</p>
Page 183	Page 184
<p>1 Q. So when we looked at the example of the radio  2 control turning off the hot water tank, would  3 not that lead to the same conclusion? In  4 other words, we can turn it off when Hydro  5 calls on it, so it's an interruptible type  6 load. That in itself would not defer capacity  7 either, would it?  8 A. It seems like it could defer the capacity.  9 Q. But the only model analysis that has been run  10 so far, which is the Interruptible B, would  11 show that it does not defer capacity at  12 current time. Do you not--would you not think  13 that further analysis would need to be done as  14 to whether other such programs would, in fact,  15 defer capacity?  16 A. I would assume so.  17 Q. Okay. Now I want to explore a little bit with  18 you the volatility issue. Now currently,  19 Hydro has no revenue volatility issue under  20 the demand energy rate--sorry, under the  21 energy only rate because of the way it's  22 protected through the RSP load functions?  23 A. Yes.  24 Q. So it fully recovers its cost of service with  25 no risk?</p>	<p>1 A. Yes.  2 Q. Okay. Now in your report, you indicated that  3 the revenue volatility to Newfoundland Power  4 is a factor that you thought was important,  5 but if we go to NP-127, you haven't evaluated  6 that risk at all, have you?  7 A. Not qualitatively, no.  8 Q. Not -  9 A. Not quantitatively rather.  10 Q. All right. Would you agree that that needs to  11 be done, needs to be looked at?  12 A. Not necessarily before implementation of a  13 demand energy rate. Once again, the support  14 for demand energy rate--all this rate is doing  15 is suggesting a way to reflect its internal  16 cost structure to the customers. Now if  17 there's volatility associated with that, that  18 goes hand in hand with the demand portion of  19 the demand and energy rate. I don't think  20 Hydro is required to do any quantitative  21 analysis beyond its responsibility, in my  22 view, to pass on its cost structure.  23 Q. But is it not a factor that the Board needs to  24 consider looking at the Bonbright principles  25 that we talked about earlier of what would be</p>

Page 185

Page 186

1 KELLY, Q.C.:  
 2 the volatility issues both in revenue to the  
 3 utility and in terms of rate stability to  
 4 customers?  
 5 A. Those are two principles stated in Bonbright.  
 6 In the case of NP, I think there are two  
 7 overriding principles which are stronger than  
 8 that, and while we're on the subject, if I  
 9 might go back to one point. I had brought up  
 10 earlier two points on two of Bonbright's  
 11 points. One was static efficiency and one was  
 12 dynamic efficiency, and I think you had said  
 13 well, this is basically Mr. Brockman's--this  
 14 point and basically Mr. Brockman is that  
 15 point. And on reflection, I would disagree  
 16 with that, and I just wanted to bring that up  
 17 within this context.  
 18 Q. Well, I don't want to leave that simply left  
 19 on that basis. What are static and dynamic  
 20 efficiency issues that you think are different  
 21 then from Bonbright?  
 22 A. Not from Bonbright, from Mr. Brockman.  
 23 Q. But just explain your position then.  
 24 A. Okay, if I might. The dynamic aspect is the  
 25 ability of the rate to respond to innovation

1 and changing supply and demand conditions. I  
 2 think, in my view, that is most--and I think  
 3 as represented in the industry, that is most  
 4 appropriately done through a demand and energy  
 5 rate. I don't think it--I don't see how it  
 6 could possibly be done through an energy only  
 7 rate.  
 8 Q. Anything else you want to say on that point?  
 9 A. Pardon?  
 10 Q. Is there anything else?  
 11 A. Basically, that's the point on that. And the  
 12 other one, if I can just turn to that -  
 13 Q. What's the static efficiency point?  
 14 A. Bonbright has, in this point of static  
 15 efficiency, the control of the relative uses  
 16 of alternative types of service by rate payers  
 17 on peak versus off peak service or higher  
 18 quality versus lower quality, and I don't  
 19 think that could be effectively accomplished  
 20 through an energy only rate. So to the extent  
 21 that you had said well, this is basically Mr.  
 22 Brockman's, I can't remember which of the  
 23 points and which of the other points. I would  
 24 say that Mr. Brockman's is a very limited case  
 25 of this more general characterization.

Page 187

Page 188

1 Q. Okay. Can I take you to PUB-151? Now in PUB-  
 2 151 at line 8, beginning at line 7, the  
 3 difference between Hydro's forecast for NP  
 4 native peak and the weather adjusted actual  
 5 has been within the range of plus or minus  
 6 five percent?  
 7 A. Yes.  
 8 Q. So after adjusting for weather, the volatility  
 9 of peak or the range of peak is plus or minus  
 10 five percent?  
 11 A. Yes. If I might say, my understanding is that  
 12 based upon recent history, the actual number  
 13 has been something more like 3.6 percent.  
 14 Five percent is just a more rounded number.  
 15 Q. Okay. This was Hydro's response.  
 16 A. It was Hydro's response, but my let's say  
 17 internal understanding is that it's really  
 18 been 3.6 percent.  
 19 Q. Okay. Now let's just go on with the answer  
 20 here. The billing determinants under the  
 21 demand energy rate, when you come down a  
 22 little bit further, line 12, the lower limit  
 23 is set by the minimum bill provision which is  
 24 98 percent of 1054 or 1033. The upper limit  
 25 is 105 percent. But as we talked about

1 earlier, there's no actual upper limit.  
 2 There's no cap at the top, is there?  
 3 A. See, I don't--I'm not sure that there actually  
 4 needs to be a cap at the top for a couple of  
 5 reasons. The real cause of any volatility  
 6 would be weather and once one normalizes for  
 7 weather--if I could even frame it more  
 8 generally. Maybe it's not the load that's  
 9 volatile. Maybe it's the estimate that's  
 10 volatile. It's a comparison with respect to  
 11 the forecast. Either one could be wrong.  
 12 Q. But the plus or minus five percent or plus or  
 13 minus 3.6, whichever you want, is after  
 14 weather normalization, is it not?  
 15 A. Right. But part of that volatility depends  
 16 upon your ability to forecast, as opposed to  
 17 the weather, adjusted weather.  
 18 Q. I'm not sure I'm taking your point.  
 19 A. There's different factors that enter into that  
 20 five percent and you're comparing it with the  
 21 forecast.  
 22 Q. Yes. I'm not getting your point.  
 23 A. In other words, the adjusted demand--the  
 24 demand adjusted for weather could be exact and  
 25 your forecast could be five percent

Page 189	Page 190
<p>1 MR. GRENEMAN: 2 difference. 3 KELLY, Q.C.: 4 Q. Okay. But you had no indication that 5 Newfoundland Power's forecasts have been 6 anything other than the best that can be 7 provided? 8 A. And I also. correspondingly have no indication 9 that the weather, adjusted weather is anything 10 other. This could be some combination of - 11 Q. I don't want to get into that debate with you. 12 A. Okay. 13 Q. The variation of billing determinants then, at 14 line 16, is negative 21.1. So the most that 15 Hydro will take out in terms of megawatts, 16 because of the 98 percent factor, is 21.1 17 megawatts, line 16? 18 A. Okay. 19 Q. Do you see that? 20 A. So is that minus the two percent one? 21 Q. That, as I understand the mathematics, 22 reflects two percent on the load. 23 A. Okay. 24 Q. So if we save two percent, then that would be 25 21.1 megawatts.</p>	<p>1 A. Right. 2 Q. Okay. 3 A. And under the present energy only rate, you 4 would be paying that right now. 5 Q. Now, just go to - 6 A. So this gives an opportunity for savings. 7 Q. - let's go to PUB-152. And that 21.1 percent 8 would reduce Hydro's earnings by 1.77 million? 9 A. Yes. 10 Q. Okay. 11 A. Yes. 12 Q. Now so if I follow the math correctly, Hydro 13 would lose 1.7 million for 21 megawatts of 14 capacity taken off the peak, correct? 15 A. Yes. 16 (2:45 p.m.) 17 Q. Now on what basis would the Board approve that 18 as cost effective when, in fact, Hydro has the 19 ability, for example, with Interruptible B to 20 pay \$28.20 or 1.3 million for 46 megawatts and 21 to ratchet that down to 21.1 would be 22 \$595,000. In other words, if you want 21.1 23 megawatts off between rate hearings, that's 24 the range that is going to be potentially 25 affected, why would the Board approve Hydro</p>
Page 191	Page 192
<p>1 losing 1.7 million of revenue when in fact 2 that capacity reduction off peak can be 3 achieved at a price much less? 4 A. I don't know about the capacity reduction 5 being achieved much less within the context of 6 the demand and energy rates. It's a risk that 7 Hydro is taking to reduce system peak. 8 Q. Yes. 9 A. And to implement--I mean, a demand energy rate 10 is, once again, a proper rate and this is an 11 affect that goes part and parcel with that. 12 Q. But under the Interruptible B program, 1.3 13 million costs, 1.3 million dollars takes off 14 peak 46 megawatts five times, 25 times a - 15 A. This is really the same question as the \$84.00 16 versus the \$28.00. 17 Q. But my question to you is Hydro here would 18 lose 1.7 of revenue which potentially then 19 impacts, 1.7 million that Hydro does not get. 20 So, on what basis would Hydro pay 1.7 when, in 21 fact, they could pay as little as 565,000? 22 A. I think they're two separate issues and I 23 don't think I need to reconcile them. 24 Q. Okay. 25 A. I don't believe it's within the scope of the</p>	<p>1 demand and energy rates to reconcile the those 2 two things. 3 Q. Now, when you translate the answer on the up 4 side here, the upper bound results and a gain 5 of 4.952, if in fact, the demand goes over - 6 A. Yes. 7 Q. - and correspondingly, Newfoundland Power 8 would have to pay that 4.952 million, wouldn't 9 they? 10 A. Yes. 11 Q. Right. And what mechanism would exist for 12 Newfoundland Power to recover that from its 13 customers, from your view? 14 A. Okay. The nature of the 4.9 million is a plus 15 and minus deviation of--it's a deviation of 16 plus and minus 5 percent. 17 Q. Yes. 18 A. And in my view, there's a probabilistic 19 expectation that in another year it could be 20 minus 4.9 million dollars. So, there is some 21 plus and minus volatility. And there, 22 perhaps, are mechanisms that NP can institute 23 on its side to reduce the volatility with sort 24 of perhaps a banking mechanism to average the 25 up year and down years. But overall, I would</p>



Page 193	Page 194
<p>1 MR. GRENEMAN:  2 expect that it would--the plus and minus  3 excursions would equal out.  4 KELLY, Q.C.:  5 Q. But -  6 A. Go ahead.  7 Q. Sorry, I don't want to cut you off, but that  8 sounds like some kind of a reserve account  9 creation. Is that what you're proposing?  10 A. I'm not proposing it, it's a possibility.  11 Q. Okay.  12 A. I think they see Hydro has something similar.  13 Q. What would be the impact then on the price  14 signal to go as customers who have demand  15 rates at the retail level, if you put that in  16 place?  17 A. If you were to put that in place?  18 Q. Yes, you had this reserve account mechanism.  19 A. If NP had this reserve account mechanism?  20 Q. Yes.  21 A. What I think it would do is it wouldn't  22 stabilize it as the RSP stabilizes cost, but  23 it would deal with your definition of the  24 volatility, the plus and minus the five  25 percent. But very importantly, it would</p>	<p>1 capture load conservation and load growth.  2 Q. So, one potential way of looking at it is  3 somehow in Newfoundland Power's retain rate  4 design, a reserve account mechanism would have  5 to be created. That's one mechanism that  6 could be used. That's your -  7 A. I'm not saying it would have to be created -  8 Q. It could be.  9 A. - it could be.  10 Q. Okay. Now, another possibility is that as the  11 winter peak is met in January or February or  12 March of the year, that could be passed  13 through on as an extra cost by coming back in  14 a rate hearing. Is that a possibility?  15 A. Say that again.  16 Q. In other words, if we get a peak in January of  17 the year that drives up expenses five million  18 dollars, 4.95, then you could find yourself in  19 the situation where the utility has to apply  20 for rate relief to pass that through to  21 customers. It's another possibility, is it  22 not?  23 A. Why? Because it--why would that happen?  24 Q. Because as we looked at the rate to our  25 customers who are primarily residential are on</p>
Page 195	Page 196
<p>1 an energy only basis. So, if peak demand  2 rises and creates an additional cost of 4.9  3 million dollar, how does that get recovered by  4 the utility?  5 A. I would find it unlikely that that small  6 variation would cause you to go--I mean, it  7 would need to be recognized that it could be  8 cancelled out the very next year.  9 Q. The only problem with that, of course, is  10 under the current regulatory regime, we have a  11 cap on earnings. And that comes to the  12 discussion that you had with Mr. Browne about  13 changing the range that that would cover. Is  14 that something that you are proposing as an  15 alternative as well?  16 A. I'm not proposing it officially, but it is my  17 understanding that that range of earnings, if  18 you will, was negotiated within the context,  19 was determined within the context of an energy  20 only rate and a rate stabilization provision.  21 Q. So, is that another matter that the Board  22 would then have to look at?  23 A. My understanding is yes.  24 Q. Okay. So, can I suggest to you that some of  25 the items which would need to be look at</p>	<p>1 potentially are, if we want to get a handle on  2 future costs and the costs of deferral of new  3 capacity, we'd need to do a marginal, long run  4 marginal cost study, if you wanted that  5 information.  6 A. Well, I don't think that's a necessary  7 consequence of a demand energy rate.  8 Q. But if you want to know the cost of deferral  9 of new capacity, would you agree with me that  10 that's a piece of information, that's the type  11 of study you would have to do.  12 A. I think I have agreed with that.  13 Q. Okay.  14 A. But I don't think that's a necessary  15 consequence of implementing a demand and  16 energy rate.  17 Q. If you wanted to look at the impact on retail  18 customers, you'd need to do a retail rate  19 study. Do you agree with that?  20 A. Those are very broad terms.  21 Q. If you want to look at -  22 A. What is a retail rate study?  23 Q. If you want to look at how retail rates at the  24 end user, in other words, those who will  25 actually use electricity, if that is to be</p>

Page 197	Page 198
<p>1 KELLY, Q.C.:</p> <p>2 restructured, you'd have a retail rate study</p> <p>3 to look at that issue.</p> <p>4 A. Okay. In a general concept I would say, yes.</p> <p>5 Q. Now, you referred earlier to Mr. Brockman's</p> <p>6 testimony and you suggested that his reference</p> <p>7 to a retail rate study were simply a load</p> <p>8 research project. Can I suggest to you, sir,</p> <p>9 that there is currently under way, by virtue</p> <p>10 of the Board's ruling in our last hearing, a</p> <p>11 load research project.</p> <p>12 A. See, I did not know that. When I read, all I</p> <p>13 had was the Supplemental Evidence.</p> <p>14 Q. I appreciate you may not have known -</p> <p>15 A. And when I had seen retail rate study, the way</p> <p>16 it was phrased, he was referring to the</p> <p>17 marginal cost and the retail rate study. And</p> <p>18 I scratched my head and I said, what retail</p> <p>19 and I looked up ahead and it says load</p> <p>20 research study.</p> <p>21 Q. The language--and I can find the passage for</p> <p>22 you, is at page 3, sorry, in the Supplemental,</p> <p>23 if you go to page 1, there you go, and if you</p> <p>24 go to lines 11 through 13. "As part of a</p> <p>25 comprehensive plan, the retail rate design</p>	<p>1 study should also incorporate load research</p> <p>2 information which is currently being gathered</p> <p>3 by way of Newfoundland Power's load research</p> <p>4 study". So, it contemplates a retail rate</p> <p>5 design study which includes the load research</p> <p>6 data.</p> <p>7 A. Okay.</p> <p>8 Q. Correct?</p> <p>9 A. Yes.</p> <p>10 Q. Okay. The volatility issue would be another</p> <p>11 point that would need to be looked at, do you</p> <p>12 agree with that one?</p> <p>13 A. In the context of retail rate study?</p> <p>14 Q. And in terms of, yes, and in terms of a demand</p> <p>15 energy rate structure.</p> <p>16 A. The volatility would need to be looked at by</p> <p>17 whom?</p> <p>18 Q. As one of the things that still would need to</p> <p>19 be looked by the Board before determining how</p> <p>20 to proceed.</p> <p>21 A. If the Board wants to look at that.</p> <p>22 Q. Okay. You talked about the joint committee</p> <p>23 which is looking at the weather normalization.</p> <p>24 A. Yes.</p> <p>25 Q. That's an item still to be done?</p>
Page 199	Page 200
<p>1 A. Yes.</p> <p>2 Q. Okay. Can I take you back to the last point</p> <p>3 and I'll close with these, if we go back to</p> <p>4 Mr. Brockman's points, principle again. The</p> <p>5 first one was being effective in collecting</p> <p>6 the revenue requirement for Hydro. Under the</p> <p>7 current energy only rate, Hydro collects all</p> <p>8 of its cost of service revenue, correct?</p> <p>9 Whereas under the demand energy rate, Hydro</p> <p>10 has 1.7 million in the proposal at risk?</p> <p>11 A. That's correct.</p> <p>12 Q. So, in terms of collecting the revenue for</p> <p>13 Hydro, the energy only rate is more effective?</p> <p>14 A. It's more effective in collecting the--can you</p> <p>15 repeat that? In terms of -</p> <p>16 Q. In terms of Hydro collecting its revenue</p> <p>17 requirement from the Cost of Service study,</p> <p>18 the energy only rate is more effective in</p> <p>19 achieving that objective.</p> <p>20 A. In terms of its collecting its revenue</p> <p>21 requirement at the time that the rates were</p> <p>22 set, okay, it's more effective, but in</p> <p>23 following the way the cost and things evolve,</p> <p>24 a demand energy rate may actually be more</p> <p>25 effective.</p>	<p>1 Q. In terms of fairness is allocating the Cost of</p> <p>2 Service, Hydro's Cost of Service between</p> <p>3 Newfoundland Power and the Industrial</p> <p>4 Customers, both rates allocate the Cost of</p> <p>5 Service, do they not, fairly, those</p> <p>6 structures? Ours is simply rolled into one</p> <p>7 rate -</p> <p>8 A. Did you say both rates allocate the Cost of</p> <p>9 Service?</p> <p>10 Q. In other words, both the energy only rate</p> <p>11 structure and the demand energy rate -</p> <p>12 A. Rates don't allocate Cost of Service. Rates</p> <p>13 collect cost.</p> <p>14 Q. Right. The division that comes out of the</p> <p>15 current division will be the same, would it</p> <p>16 not?</p> <p>17 A. The division that comes out of the current</p> <p>18 division--I'm sorry, I'm -</p> <p>19 Q. The division between Newfoundland Power and</p> <p>20 the Industrial Customers of the Cost of</p> <p>21 Service is the same under the energy only rate</p> <p>22 and demand energy rate.</p> <p>23 A. Yes.</p> <p>24 Q. Okay. In terms of encouraging efficiency,</p> <p>25 that's the one that we seem to have the most</p>

Page 201	Page 202
<p>1 KELLY, Q.C.:  2 disagreement on, would you agree with that?  3 A. There are different aspects of efficiency,  4 yes.  5 Q. Okay. In terms of stability, will you agree  6 with me that in terms of the result to the end  7 customer, that the energy only rate is more  8 stable for customers?  9 A. Everything else being equal, no, I would not.  10 Q. Then tell me -  11 A. We discussed this before. The energy only--  12 both rates, can we take away for purposes of  13 this conversation the effect of the RSP or do  14 you want to talk in the context of the RSP?  15 Q. You can address it either way.  16 A. Okay. And energy only rate can be as unstable  17 as a demand rate. It depends upon temperature  18 variations within the month, it depends upon  19 many--economic conditions.  20 Q. But within the mechanisms that exist in  21 Newfoundland and will continue to exist, the  22 energy only rate would create more stability  23 for customers, does it not?  24 A. But that is not a virtue in this case. The  25 virtue is putting dollars at risk to achieve a</p>	<p>1 result, that's the virtue. That's not a  2 virtuous measurement right now, in my view.  3 Q. Okay. So, do I take the answer--you don't  4 agree then it's necessarily a good thing, but  5 do you acknowledge that there is more rate  6 instability for customers?  7 A. And that is what is intended by a demand  8 energy rate.  9 Q. Okay. And the latter two, predictability and  10 understandability, I don't think we need to  11 spend any time on.  12 A. Well, the other qualification--you say that  13 you're putting them on equal footing and some  14 of these are things that are more important to  15 domestic customers and some are more important  16 to customers, more sophisticated customers  17 such as NP.  18 Q. Yes. Which, out of all of them, would you  19 think is the most important?  20 A. I would think static and dynamic efficiency  21 are two very important ones.  22 Q. The efficiency issues.  23 A. Static and dynamic as it--right.  24 Q. We have different views on that, but we agree  25 that that's the right issue. Thank you, Mr.</p>
Page 203	Page 204
<p>1 Greneman, those are my questions.  2 A. Okay.  3 CHAIRMAN:  4 Q. Thank you, Mr. Kelly. Thank you, Mr.  5 Greneman. We'll break now for 15 minutes.  6 (BREAK - 3:00 P.M.)  7 (RECONVENED AT 3:22 P.M.)  8 CHAIRMAN:  9 Q. Thank you. Good afternoon, Mr. Hutchings.  10 When you're ready, please?  11 HUTCHINGS, Q.C.:  12 Q. Thank you, Mr. Chair. Good afternoon, Mr.  13 Greneman.  14 A. Good afternoon.  15 Q. We'll start by admitting that there's an  16 element of cruelty in dealing with Cost of  17 Service after 3:00 on Friday afternoon, but  18 we'll move on from there. I just wanted to  19 touch very briefly on your discussions with  20 Mr. Kelly relative to the Demand Energy Rate.  21 And from what you've said I understand that  22 this would be typically the type of rate that  23 a utility like Newfoundland Power would see in  24 practically every other jurisdiction unless  25 you happen to be in the Yukon and your mine is</p>	<p>1 closed. But--and that all other things being  2 equal, and that's to say leaving out a Rate  3 Stabilization Plan, there's no great  4 difference in rate volatility as between  5 energy only rate and a demand energy rate. Is  6 that fair?  7 A. Under an energy only rate there can be  8 volatility and under a demand energy rate  9 there can be volatility, and it's hard to say  10 which is greater at the moment.  11 Q. Okay. And the reason why this is an issue  12 here seems to be that there is in place here a  13 Rate Stabilization Plan that protects Hydro  14 against load variation?  15 A. That's exactly right.  16 Q. Okay. And is that something you've seen  17 anywhere else?  18 A. Not in the electric industry.  19 Q. Oh, okay. I want to look now at an allocation  20 issue, first of all. We haven't seen much of  21 the Cost of Service Study since you took the  22 stand. But if we could put up, first of all,  23 Mr. Haynes' evidence at page 44? Okay. Yeah,  24 this is the part of Mr. Haynes' evidence where  25 he is dealing with the guidelines for the</p>

Page 205	Page 206
<p>1 HUTCHINGS, Q.C.:</p> <p>2 assignment of plant. And at the top of page</p> <p>3 44 he deals with this NP-IC sub-transmission</p> <p>4 class. I take it you're familiar with these</p> <p>5 various classes of assignment of plant for the</p> <p>6 purpose of Cost of Service Study?</p> <p>7 A. The sub-transmission function?</p> <p>8 Q. Yes.</p> <p>9 A. Yes, I am.</p> <p>10 Q. Yes, okay. As I understand it, there is</p> <p>11 actually nothing that falls within this</p> <p>12 classification in the present Cost of Service</p> <p>13 Study, is that correct?</p> <p>14 A. Sub-transmission?</p> <p>15 Q. This particular NP-IC sub-transmission.</p> <p>16 A. Oh, NP-IP--NP-IC sub-transmission. I would--</p> <p>17 I'll accept that subject to.</p> <p>18 Q. Okay. That's my understanding. If you have</p> <p>19 any different information, you can certainly</p> <p>20 let us know, but I don't believe that there</p> <p>21 was any plant that served by Newfoundland</p> <p>22 Power and an Industrial Customer but not Hydro</p> <p>23 Rural with an original capital cost of two</p> <p>24 percent of the total transmission of terminal</p> <p>25 stations cost. But this is a valid and</p>	<p>1 accepted way of dealing with allocation to</p> <p>2 assign it to two specific customers, yet not</p> <p>3 to a third?</p> <p>4 A. There--I've experienced many, many variations</p> <p>5 in the industry and I'm not doubting that this</p> <p>6 could be an acceptable method.</p> <p>7 Q. Okay. If we could now look at that in the</p> <p>8 context of the issue we had about the</p> <p>9 transmission line on the Burin Peninsula.</p> <p>10 Would there be any objection in principal to a</p> <p>11 sub-transmission category to deal with</p> <p>12 customers of Newfoundland Power and Hydro</p> <p>13 Rural but not Industrial Customers?</p> <p>14 A. I would think that that could be of</p> <p>15 acceptable--may I preface my response?</p> <p>16 Q. By all means.</p> <p>17 A. Okay. I'd like if I could to respond from the</p> <p>18 point of my general industry experience with</p> <p>19 recognition, as I had noted this morning, that</p> <p>20 the specific study in question that we're</p> <p>21 looking at right now was performed by Hydro's</p> <p>22 planning department and supported by Hydro's</p> <p>23 witnesses, Mr. Haynes. And I've read that</p> <p>24 study, but I'm not, if you will, prepared to</p> <p>25 comment on the appropriateness or</p>
Page 207	Page 208
<p>1 inappropriateness of any of Mr. Haynes'</p> <p>2 recommendations, only to note that he has</p> <p>3 followed what I believe to be relied upon what</p> <p>4 I believe to be general industry guidelines.</p> <p>5 And I would--in response to your question, I</p> <p>6 would think that such a category could exist.</p> <p>7 Q. Okay. Thank you. I don't think we need to</p> <p>8 pursue that any further. There is a somewhat</p> <p>9 technical point, I guess, that I was trying to</p> <p>10 resolve with Mr. Haynes earlier on, and there</p> <p>11 are a number of references to look at to</p> <p>12 illustrate the initial point. If we could put</p> <p>13 up Mr. Haynes' Schedule 11 in the revision?</p> <p>14 I'm looking here at the numbers for total</p> <p>15 sales and bulk deliveries and noting that as</p> <p>16 regards the demand from the August filing, the</p> <p>17 megawatts decline from 1337.5 down to 1334.2</p> <p>18 in the October filing.</p> <p>19 A. Yes.</p> <p>20 Q. Okay. What I want to do is to compare that to</p> <p>21 your RDG-1 in the last revision, specifically</p> <p>22 page 105 of 107. It might help to make that a</p> <p>23 little bigger if we can, Mr. O'Reilly. Good.</p> <p>24 Now, page 105 of 107 I was looking for. I</p> <p>25 don't think that's the one. The numbers are</p>	<p>1 down in the lower right-hand corner, page</p> <p>2 numbers. It's Schedule 4.2, page 1 of 1.</p> <p>3 There. Okay.</p> <p>4 (3:30 p.m.)</p> <p>5 I recognize the numbers don't necessarily</p> <p>6 coincide and I want to get you to reconcile</p> <p>7 them for us. But, the coincident peak at</p> <p>8 generation here for the Island Interconnected</p> <p>9 System is shown at 1,329,150, 1,324,915</p> <p>10 kilowatts?</p> <p>11 A. Yes.</p> <p>12 Q. I don't think we need to go to it, but in</p> <p>13 revision No. 1 of RDG-1 that number was</p> <p>14 1,324,720. So that the number being used for</p> <p>15 your coincident peak at generation from the</p> <p>16 October figures is higher than the one which</p> <p>17 was used in your initial or your first</p> <p>18 revision, which was based, I understand, on</p> <p>19 the August figures, but the peak that Mr.</p> <p>20 Haynes' is using is moving in the opposite</p> <p>21 direction?</p> <p>22 A. Um-hm.</p> <p>23 Q. Two things if you could help us with. First</p> <p>24 of all, how does one move from Mr. Haynes'</p> <p>25 number to your number in the Cost of Service</p>

Page 209	Page 210
<p>1 HUTCHINGS, Q.C.:</p> <p>2 Study, and secondly, why are they moving in</p> <p>3 opposite directions?</p> <p>4 A. I think that I could refer you to the rational</p> <p>5 for the first and I'd have to come back to you</p> <p>6 with the answer to the second.</p> <p>7 Q. Okay.</p> <p>8 A. The rational for the first, we can prepare a</p> <p>9 sheet for you, but effectively the</p> <p>10 reconciliation of Mr. Haynes and what's used</p> <p>11 in the Cost of Service Study would need to be</p> <p>12 based upon the Information Request, IC-265,</p> <p>13 NLH as it would be updated.</p> <p>14 Q. Yes. I tried to follow that through and as</p> <p>15 regards the coincident peak 265 refers us to</p> <p>16 IC-77, which refers us to PUB-14, which refers</p> <p>17 us to PUB 3. And I got the first number in</p> <p>18 the first one and the last number in the last</p> <p>19 one, but I'm not sure I got the road in</p> <p>20 between.</p> <p>21 A. Okay. If we can provide -</p> <p>22 Q. I mean, I don't -</p> <p>23 A. Provide that to you afterwards?</p> <p>24 Q. Okay. That's fine. And it's more related, I</p> <p>25 guess, to the different directions of movement</p>	<p>1 that I noted earlier, so--but we need to</p> <p>2 understand the difference between the two</p> <p>3 numbers, I guess, in order to be able to get</p> <p>4 there. Okay. If we could look, Mr. Greneman,</p> <p>5 at page 17 of your evidence? And specifically</p> <p>6 under Section 2.2.3 in, at lines 8 to 10 you</p> <p>7 refer to the proper recognition of</p> <p>8 Newfoundland Power's generation on both the</p> <p>9 costing and rate side. And I believe that's</p> <p>10 essentially the same phrase that you used</p> <p>11 earlier on in terms of responding to issues</p> <p>12 about the Newfoundland Power generation</p> <p>13 credit. The question was what recognition</p> <p>14 should it get?</p> <p>15 A. Yes.</p> <p>16 Q. Yes, okay. I suppose the first question for</p> <p>17 you on this issue and recognizing that the</p> <p>18 rate side of this doesn't affect my clients,</p> <p>19 the Industrial Customers at all, we're purely</p> <p>20 dealing with it as with the Cost of Service</p> <p>21 aspects of it. What benefit is the</p> <p>22 Newfoundland Power thermal generation to the</p> <p>23 Industrial Customers, what do we get out of</p> <p>24 that?</p> <p>25 A. It's my view that NP's thermal generation in</p>
Page 211	Page 212
<p>1 some fashion benefits the entire system and</p> <p>2 Industrial. To what extent it's representing</p> <p>3 in the Cost of Service Study to the allocation</p> <p>4 process, I guess would ultimately be up to</p> <p>5 this Board to determine. But it's my view</p> <p>6 that there is some potential benefit to all</p> <p>7 customers from all generation.</p> <p>8 Q. Yes, okay. Accepting that premise for the</p> <p>9 moment that all generation is of some degree</p> <p>10 of benefit to all customers, how does one</p> <p>11 approach the question of assigning a</p> <p>12 proportion of the cost related to that</p> <p>13 generation to specific customers or a customer</p> <p>14 class?</p> <p>15 A. In general or within the context of the way</p> <p>16 it's being treated?</p> <p>17 Q. Firstly, in general and then specifically with</p> <p>18 respect to this issue.</p> <p>19 A. There can be various ways of handling it.</p> <p>20 There are three options that have been</p> <p>21 presented and each has a slight variation.</p> <p>22 Q. But the notion being that there is ultimately</p> <p>23 a fair allocation of the cost and some</p> <p>24 connection to the benefit which a particular</p> <p>25 customer derives from the specific asset. Is</p>	<p>1 that fair?</p> <p>2 A. Well, to the extent that the Hydro can derive</p> <p>3 a benefit from the generation. That is to</p> <p>4 say, the customer or Hydro can derive benefit</p> <p>5 from the generation.</p> <p>6 Q. I'm not quite sure I understand your reference</p> <p>7 to benefit to Hydro. If Hydro's costs are</p> <p>8 being allocated among customers presumably any</p> <p>9 cost that is allocated to a particular class</p> <p>10 of customer must represent some benefit that</p> <p>11 that customer is receiving, should it not?</p> <p>12 Otherwise the cost would be specifically</p> <p>13 assigned to someone else?</p> <p>14 A. Right.</p> <p>15 Q. Yes. So what do you mean when you say that</p> <p>16 there's some benefit to Hydro which would</p> <p>17 justify a -</p> <p>18 A. Well, what I was referring to was to the</p> <p>19 extent that Hydro can call on NP's thermal</p> <p>20 generation.</p> <p>21 Q. And the theory being that that's of benefit to</p> <p>22 the Industrial Customers because it helps the</p> <p>23 system and we're on the system?</p> <p>24 A. That's right.</p> <p>25 Q. Yes, okay. So it's not a benefit to Hydro</p>

Page 213	Page 214
<p>1 HUTCHINGS, Q.C.:</p> <p>2 that stops at Hydro? It's a benefit -</p> <p>3 A. Oh yes.</p> <p>4 Q. - it's something that's available to Hydro and</p> <p>5 hence, a benefit to Hydro's customers</p> <p>6 generally?</p> <p>7 A. Of course, right.</p> <p>8 Q. Yes, okay. All right. I wasn't sure whether</p> <p>9 we were talking about two different things</p> <p>10 there, but I think we're just talking about</p> <p>11 one thing. So in that context then, how do we</p> <p>12 move to start allocating a particular portion</p> <p>13 of the cost of that asset, those assets, those</p> <p>14 thermal generation assets of Newfoundland</p> <p>15 Power to a customer class like the Industrial</p> <p>16 Customers?</p> <p>17 A. It is subtracted from--in other words, how</p> <p>18 does the flow through of cost effects come to</p> <p>19 Industrial?</p> <p>20 Q. Yes. How do we decide what proportion of the</p> <p>21 total cost to the system of that capacity,</p> <p>22 what portion of that--how do we decide what</p> <p>23 portion of that gets assigned to the</p> <p>24 Industrial Customers?</p> <p>25 A. In general, based upon Relative Coincident</p>	<p>1 Demand.</p> <p>2 Q. And how does that work itself through the cost</p> <p>3 of service study?</p> <p>4 A. With respect to the thermal or thermal and--</p> <p>5 with respect to NP's thermal alone?</p> <p>6 Q. NP's thermal alone.</p> <p>7 A. NP's thermal is subtracted in calculating the</p> <p>8 system load factor net of reserves. The</p> <p>9 system load factor is used to classify what</p> <p>10 portion of the system is generation that is</p> <p>11 energy related versus demand related and the</p> <p>12 demand related portion has--there is a</p> <p>13 coincident demand attributed to each class and</p> <p>14 in calculating that coincident demand, NP's</p> <p>15 thermal is net of reserves is subtracted from--</p> <p>16 -I'm sorry, NP's thermal capacity net of</p> <p>17 reserve is subtracted from its forecast. This</p> <p>18 is disregarding hydraulic for the moment.</p> <p>19 Q. Yes. I just want to direct our attention</p> <p>20 toward the thermal issue at this time. So if</p> <p>21 the thermal generation of Newfoundland Power</p> <p>22 did not give rise to a generation credit then</p> <p>23 there would be a higher number used for</p> <p>24 Newfoundland Power's capacity responsibility,</p> <p>25 correct?</p>
Page 215	Page 216
<p>1 A. Yes.</p> <p>2 Q. Okay. So following that through the cost of</p> <p>3 service study, I mean the costs of this</p> <p>4 generation are still recovered by Hydro,</p> <p>5 correct?</p> <p>6 A. That's correct.</p> <p>7 Q. And how does the cost of service study, after</p> <p>8 application of the generation credit,</p> <p>9 distribute those costs?</p> <p>10 A. The demand component of the costs are</p> <p>11 distributed based on relative coincident peak.</p> <p>12 Q. Okay.</p> <p>13 A. Relative contribution to coincident peak.</p> <p>14 Q. All right. Can I have you look for a moment</p> <p>15 at the evidence of Mr. Osler and Mr. Bowman at</p> <p>16 page 30? Have you had the opportunity to</p> <p>17 review the information contained in this</p> <p>18 table?</p> <p>19 A. Yes.</p> <p>20 Q. Okay. And this is with reference to the</p> <p>21 specific information which was available to</p> <p>22 those gentlemen from the cost of service</p> <p>23 studies and under the heading "costs to NP"</p> <p>24 the fourth entry down, which deals with</p> <p>25 Newfoundland Power generation credit, there is</p>	<p>1 a note to the effect that NP receives a net</p> <p>2 credit of \$841,388. Do you agree that that's</p> <p>3 an accurate representation of what the credit</p> <p>4 does in that particular year?</p> <p>5 A. I'll accept that.</p> <p>6 Q. Okay. And immediately to the left then, there</p> <p>7 is a representation of the cost to the</p> <p>8 Industrial Customers with respect to that</p> <p>9 generation and the number there, which is</p> <p>10 again an annual number, \$738,386. Do you</p> <p>11 accept that that's what the cost of service</p> <p>12 study does in respect of allocation of these</p> <p>13 costs?</p> <p>14 A. I'll accept that.</p> <p>15 Q. Okay. Now the function these units serve is</p> <p>16 to provide peaking capacity, correct?</p> <p>17 A. Generally that's my understanding.</p> <p>18 Q. Okay. There's no--I mean, on all the forecasts</p> <p>19 and in the cost of service study, there's no</p> <p>20 energy forecast to be produced by these units,</p> <p>21 correct?</p> <p>22 A. I'll--subject to my understanding, yes.</p> <p>23 Q. Yes, okay. Now there are, of course, other</p> <p>24 sources of peaking capacity on Newfoundland</p> <p>25 Hydro's system, including their own gas</p>

Page 217	Page 218
<p>1 HUTCHINGS, Q.C.:</p> <p>2 turbines, correct?</p> <p>3 A. Yes.</p> <p>4 Q. Okay. And again, going back to the table, the</p> <p>5 top entry there refers to Hydro's gas turbines</p> <p>6 and the provision of 128 kilowatts of peaking</p> <p>7 capacity--128,000 kilowatts of peaking</p> <p>8 capacity at a cost to the Industrial Customers</p> <p>9 of \$280,613. You agree that that's the way</p> <p>10 that the cost of service assigns those costs?</p> <p>11 A. That's my understanding. I'll agree to that.</p> <p>12 Q. Okay. Now sir, if Hydro's gas turbines, which</p> <p>13 I would suggest to you serve essentially the</p> <p>14 same sort of function on the system as</p> <p>15 Newfoundland Power's gas turbines, are charged</p> <p>16 to the Industrial Customers for the benefit of</p> <p>17 128,000 kilowatts for \$280,000, what is fair</p> <p>18 about the Industrial Customers paying \$738,000</p> <p>19 for 45,500 kilowatts?</p> <p>20 A. I noted in Mr. Osler's and Mr. Bowman's</p> <p>21 testimony yesterday that the same point was</p> <p>22 being made and perhaps it needs some attention</p> <p>23 or some look at.</p> <p>24 Q. Would you agree with me that there is an</p> <p>25 unfairness present on the face of this?</p>	<p>1 A. I'm not going to use the word "unfairness" but</p> <p>2 there seems to be some sort of perhaps</p> <p>3 inequality.</p> <p>4 Q. Would you agree that this is not a result that</p> <p>5 would be consistent with the proper principles</p> <p>6 of cost allocation to be applied in the public</p> <p>7 utility setting?</p> <p>8 A. At this moment, I wouldn't go so far as to say</p> <p>9 that. I would simply say it merits review.</p> <p>10 Q. Okay. And are you telling us that you have</p> <p>11 not reviewed the issue?</p> <p>12 A. I note there might be an anomaly in this</p> <p>13 respect and I'm not 100 percent sure what the</p> <p>14 remedy is.</p> <p>15 (3:45 p.m.)</p> <p>16 Q. Okay. Would you agree with me that at worst</p> <p>17 the Industrial Customers should not be paying</p> <p>18 any more per kilowatt for the benefit of the</p> <p>19 Newfoundland Power thermal generation than</p> <p>20 they're paying per kilowatt for Hydro's gas</p> <p>21 turbines?</p> <p>22 A. Well, of course it depends upon the relative</p> <p>23 cost of the turbines, you know, when they were</p> <p>24 installed and the relative age and so on, but</p> <p>25 putting those factors aside and everything</p>
Page 219	Page 220
<p>1 else assumed to be equal, one would expect</p> <p>2 them to be relatively equal.</p> <p>3 Q. And if in fact Hydro's gas turbines are larger</p> <p>4 and more efficient and more modern, that would</p> <p>5 move further in that direction?</p> <p>6 A. It depends upon the relative age and</p> <p>7 efficiency as you point out.</p> <p>8 Q. Yes. And noting as well that gas turbines are</p> <p>9 the primary peaking capacity? They're the</p> <p>10 first units dispatched in a peak constrain</p> <p>11 situation, a capacity constrained situation?</p> <p>12 A. Yes.</p> <p>13 Q. Would you agree that's a factor that actually</p> <p>14 should tend to make those units even more</p> <p>15 valuable?</p> <p>16 A. I would probably tend to agree.</p> <p>17 Q. Yes, okay. Now are you aware that certain of</p> <p>18 this thermal capacity of Newfoundland Power is</p> <p>19 in fact located at the end of some longer</p> <p>20 radial lines? I think we've discussed or I</p> <p>21 don't know if you were here for the discussion</p> <p>22 but the discussion took place about some of</p> <p>23 that being down on the Burin Peninsula at the</p> <p>24 end of a long radial line down there.</p> <p>25 A. Yes.</p>	<p>1 Q. So should the Board be satisfied that those</p> <p>2 generating units are in fact primarily or</p> <p>3 almost exclusively used for the purpose of</p> <p>4 supporting local loads at the end of radial</p> <p>5 lines, would it not be proper, in fact, to be</p> <p>6 consistent and not assign any of that cost to</p> <p>7 the Industrial Customers on the general grid?</p> <p>8 A. I think that this is stepping out of my area.</p> <p>9 I think it relates to the system planning</p> <p>10 study that's been done and I'd like to defer.</p> <p>11 Q. Okay. All right. In your rate design study,</p> <p>12 I think some of what we have been discussing</p> <p>13 is illustrated in your Appendix 3. Perhaps we</p> <p>14 could bring that up? Yes, there we are. And</p> <p>15 your Option A, and this of course is in the</p> <p>16 context of a demand energy rate but that's not</p> <p>17 particularly relevant for our present concern.</p> <p>18 Option A is essentially the current system for</p> <p>19 the generation credit. Is that correct?</p> <p>20 A. Yes, that's correct.</p> <p>21 Q. Okay. And we see there that the hydraulic</p> <p>22 credit is netted off at 79.3 megawatts and the</p> <p>23 thermal credit is netted off at 45.5 for</p> <p>24 costing purposes?</p> <p>25 A. Yes.</p>

Page 221	Page 222
<p>1 HUTCHINGS, Q.C.:</p> <p>2 Q. Okay. And that is, in fact, the generation</p> <p>3 credit that we're talking about?</p> <p>4 A. That's correct.</p> <p>5 Q. Part of it is hydraulic and part of it is</p> <p>6 thermal?</p> <p>7 A. Yes.</p> <p>8 Q. Okay. And as you understand it, Newfoundland</p> <p>9 Power actually uses its hydraulic production</p> <p>10 capability and produces energy with it, does</p> <p>11 it not?</p> <p>12 A. Yes, it does.</p> <p>13 Q. So it's fair to say that the system actually</p> <p>14 gets the benefit of that 79.3 megawatts?</p> <p>15 A. It gets the benefit from NP's hydraulic.</p> <p>16 Q. Yes. It's actually used and produced and</p> <p>17 consumed somewhere in the system?</p> <p>18 A. Right.</p> <p>19 Q. Yes, okay. How does that compare to the</p> <p>20 thermal?</p> <p>21 A. Thermal can be used.</p> <p>22 Q. For cost of service purposes, is any energy</p> <p>23 production assigned to that thermal</p> <p>24 production, thermal capacity?</p> <p>25 A. No, my understanding is it's not.</p>	<p>1 Q. Okay. But the effect here is to give credit</p> <p>2 to Newfoundland Power as if that thermal</p> <p>3 production was running all the time, correct?</p> <p>4 A. No, it's to give effect for its ability to</p> <p>5 run.</p> <p>6 Q. Yes.</p> <p>7 A. When called upon.</p> <p>8 Q. Yes, but as regards its capacity elements, I</p> <p>9 mean, leaving out energy, because we know it</p> <p>10 doesn't produce any energy, but the effect is</p> <p>11 the same as if this was running the whole</p> <p>12 time?</p> <p>13 A. I'm sorry, are you saying that the capacity</p> <p>14 arithmetic is the same as if it was or was not</p> <p>15 running?</p> <p>16 Q. Exactly.</p> <p>17 A. Yes.</p> <p>18 Q. Okay. And equally under your Option B here,</p> <p>19 it is the thermal capacity that you're giving</p> <p>20 the full credit for there?</p> <p>21 A. That's correct.</p> <p>22 Q. Okay. Now in that scenario, I take it you're</p> <p>23 assuming that Hydro or Newfoundland Power runs</p> <p>24 its own hydraulic and hence has reduced its</p> <p>25 peak or its demand that it's putting on</p>
Page 223	Page 224
<p>1 Newfoundland Hydro?</p> <p>2 A. That's correct.</p> <p>3 Q. Okay. And your Option C is on the assumption</p> <p>4 that it's in fact running all of its own</p> <p>5 generation. Is that correct?</p> <p>6 A. It's running whatever it's running, yes.</p> <p>7 Whatever's running is running, which could be</p> <p>8 all or none. It's however.</p> <p>9 Q. Yes. But if in fact its native load is</p> <p>10 1161.5, in order to get down to the 1038.5 -</p> <p>11 A. Right.</p> <p>12 Q. - it has to run all of its generation,</p> <p>13 correct?</p> <p>14 A. Yes, correct.</p> <p>15 Q. Including its thermal generation?</p> <p>16 A. Yes.</p> <p>17 Q. Which wouldn't be a wise thing to do?</p> <p>18 A. Right.</p> <p>19 Q. Right. Because it's wasteful?</p> <p>20 A. Yes.</p> <p>21 Q. Yes, okay. Mr. Kelly asked you a question</p> <p>22 earlier on about the dispatch of the</p> <p>23 Newfoundland Power generation and his question</p> <p>24 was, I think, related to peak times. Do you</p> <p>25 know what the normal process is for the</p>	<p>1 dispatch of Newfoundland Power generation,</p> <p>2 both hydraulic and thermal?</p> <p>3 A. No, I don't.</p> <p>4 Q. Okay. I think you told Mr. Kelly that at peak</p> <p>5 Newfoundland Power will respond to a request</p> <p>6 from Newfoundland Hydro to put that generation</p> <p>7 on the system.</p> <p>8 A. Okay.</p> <p>9 Q. This is what you told him?</p> <p>10 A. Okay.</p> <p>11 Q. And that's your understanding of the way it</p> <p>12 works?</p> <p>13 A. Yes.</p> <p>14 Q. Okay. And just so we're clear, you don't know</p> <p>15 whether or not, during the rest of the year,</p> <p>16 Hydro or Newfoundland Power dispatches its own</p> <p>17 hydro generation, for instance at its own</p> <p>18 whim?</p> <p>19 A. I would assume that it does, but perhaps that</p> <p>20 could be answered by someone else.</p> <p>21 Q. Okay. That's fine. Just one other incidental</p> <p>22 point, I guess, on this generation credit</p> <p>23 issue. On your Appendix 3 there, when in the</p> <p>24 calculation of the demand credit, and that's</p> <p>25 the second little group of lines under demand</p>



Page 225	Page 226
<p>1 HUTCHINGS, Q.C.:</p> <p>2 credit on the left-hand side of the page</p> <p>3 there, you calculate the hydraulic credit and</p> <p>4 the thermal credit, I take it using gross</p> <p>5 figures and then dividing by 1.185?</p> <p>6 A. Yes, that's what's shown.</p> <p>7 Q. Yes. And that I understand is the reserve -</p> <p>8 A. Yes, it is.</p> <p>9 Q. - that is applied so that that's consistent</p> <p>10 with the percentage of system reserve for the</p> <p>11 entire Island system? Is it not?</p> <p>12 A. I would think so.</p> <p>13 Q. Yes, okay.</p> <p>14 A. Subject to check.</p> <p>15 Q. If we could look for a moment at the Osler and</p> <p>16 Bowman evidence at page 39. Yes, that's it,</p> <p>17 and I'm specifically interested in footnote</p> <p>18 137. This footnote, and I don't know whether</p> <p>19 you've had a chance to look at it in any</p> <p>20 detail, comments upon the fact that the</p> <p>21 reserve requirement for the system has changed</p> <p>22 from 16 percent to 18.5 percent since the last</p> <p>23 hearing. Were you aware of that?</p> <p>24 A. I believe I've heard that.</p> <p>25 Q. Okay. Can you tell us what that change does</p>	<p>1 to the amount of the Newfoundland Power</p> <p>2 generation credit?</p> <p>3 A. It reduces the credit.</p> <p>4 Q. No, I don't think. You're dividing by 1.185</p> <p>5 now instead of dividing by 1.16.</p> <p>6 A. Oh, so it increases the credit, I guess.</p> <p>7 Q. Yes. And has anything happened, that you're</p> <p>8 aware of, with the Newfoundland Power</p> <p>9 generation that would suddenly make this</p> <p>10 generation capacity more valuable than it was</p> <p>11 previously?</p> <p>12 A. No, I am not.</p> <p>13 Q. Okay, thank you. Another point to deal with,</p> <p>14 Mr. Greneman, and I want to refer you to the</p> <p>15 response to IC-1C and that's the 2002 Actual</p> <p>16 Cost of Service and specifically at page 3 of</p> <p>17 98. Yes, that's it, can you make that a</p> <p>18 little bigger? I've broached this subject</p> <p>19 with a couple of witnesses who have all</p> <p>20 deferred it down the line, let's see how far</p> <p>21 you and I make out with it, can you just</p> <p>22 explain to us the significance of column 7,</p> <p>23 the revenue to cost coverage?</p> <p>24 A. Well just as it's noted, the revenue to cost</p> <p>25 coverage is columns 2, divided by column 3, so</p>
Page 227	Page 228
<p>1 it's the cost of service before--sorry, it's</p> <p>2 the revenues recovered, divided by the cost of</p> <p>3 service before the deficit and revenue credit</p> <p>4 allocation.</p> <p>5 Q. Okay, and we can see there for Newfoundland</p> <p>6 Power that the revenue to cost coverage number</p> <p>7 comes out at 1.16 and as I understand it,</p> <p>8 that's because Newfoundland Power pays the</p> <p>9 vast bulk of the rural deficit, is that</p> <p>10 correct?</p> <p>11 A. That's correct.</p> <p>12 Q. All other things being equal, what you're</p> <p>13 trying to get to for revenue to cost coverage</p> <p>14 is 1.0, isn't that correct?</p> <p>15 A. No, it's 1.0 overall, but--did he say for each</p> <p>16 class or overall?</p> <p>17 Q. For each class.</p> <p>18 A. No, in order to cover the rural deficit, some</p> <p>19 customers have -</p> <p>20 Q. No, no, I said all other things being equal,</p> <p>21 leaving out things like the rural deficit.</p> <p>22 A. Oh, there are ranges, it doesn't have to be</p> <p>23 1.0, it could be .95 to 1.05.</p> <p>24 Q. Okay. For Newfoundland Hydro's system and</p> <p>25 specifically for the Island Industrial</p>	<p>1 Customers, what is the target?</p> <p>2 A. It's different in different jurisdictions.</p> <p>3 It's a matter for the Board to decide what</p> <p>4 target is--1.0 simply says that they're</p> <p>5 covering 100 percent of their cost. 1.05 says</p> <p>6 they're covering 105 percent of their cost.</p> <p>7 There's a reasonable range and I'm speaking</p> <p>8 generally among various jurisdictions,</p> <p>9 including Canada. There could be a range of</p> <p>10 .9 to 1.1.95 to 1.05 and there are</p> <p>11 circumstances why it might be greater or less.</p> <p>12 Q. I understand. In your exhibit RDG No. 1, you</p> <p>13 have targeted for the cost of service for 2004</p> <p>14 forecast a 1.0 revenue to cost coverage for</p> <p>15 Island Industrial Customers, is that correct?</p> <p>16 That isn't the one you're looking at.</p> <p>17 A. I do see that, yes.</p> <p>18 Q. In your current cost of service, RDG No. 1,</p> <p>19 Revision No. 2, page 3 of 107.</p> <p>20 A. Right.</p> <p>21 Q. You have targeted a 1.0 revenue to cost</p> <p>22 coverage for Island Industrial Customers, is</p> <p>23 that correct?</p> <p>24 A. Yes.</p> <p>25 Q. That is correct, is it?</p>

Page 229	Page 230
<p>1 MR. GRENEMAN:  2 A. Yes.  3 HUTCHINGS, Q.C.:  4 Q. Okay, and why did you do that?  5 A. Well the point of that is that you're paying  6 your costs exactly.  7 (4:00 p.m.)  8 Q. And that's the way it's supposed to be,  9 correct?  10 A. That's the way it could be. There could be a  11 lot of reasons why it won't be that way.  12 Q. Yes. But to your knowledge, at least since  13 the time that legislation was passed to  14 prevent the Island Industrial Customers  15 contributing to the rural deficit, has the 1.0  16 revenue to cost coverage been the target for  17 Island Industrial Customers for cost of  18 service purposes?  19 A. Yes, but I can understand that there could be  20 reasons to differ from the 1.0 for reasons  21 other than the rural deficit, with that  22 qualification.  23 Q. Sure. I quite understand that. If we can go  24 back then to IC-1C, page 3 of 98, we note that  25 the actual results for 2002 show the revenue</p>	<p>1 to cost coverage for the Island Industrial  2 Customers of 1.13, do you see that number?  3 A. Yes, I do.  4 Q. Okay. Can you explain to us why the target of  5 1.0 was not met for 2002?  6 A. I believe this is in connection with the issue  7 that's been brought up in Mr. Osler's and Mr.  8 Bowman's testimony, that the actual for demand  9 for NP came in higher than forecast and came  10 lower than forecast for Industrials.  11 Q. Well it came in differently for Newfoundland  12 Power and for the Island Industrial Customers,  13 yes. Okay, and does that in fact explain the  14 difference in the revenue to cost coverage  15 from the target to the actuals?  16 A. I would--I'd have to review it, I think it  17 probably explains a lot of the difference.  18 Q. Okay, all right. And perhaps we should look  19 at page 39 of the evidence of Mr. Osler and  20 Mr. Bowman. And this is the issue that's  21 discussed starting at line 12 and shows that  22 the Industrial Customers paid more than 5  23 million dollars in excess of their measured  24 costs in 2002 and Newfoundland Power's actual  25 payments to Hydro were almost 5 million</p>
Page 231	Page 232
<p>1 dollars below. If we were to assume perfect  2 information and perfect forecasting, would it  3 be fair to say that those two numbers would  4 have cancelled one another out, that the  5 Newfoundland Power number would have come out  6 at its appropriate share of costs, which  7 includes the rural deficit and the Industrial  8 Customer's number would have come out at its  9 cost?  10 A. From a very strictly theoretical point of  11 view, I would say yes, that's not to say--  12 attribute anything to practice or the real  13 world, just from a theoretical point of view.  14 Q. No, I quite understand. Can you explain for  15 us what effects the load factor for  16 Newfoundland Power has on the allocation of  17 cost under the Cost of Service Study?  18 A. The load factor for Newfoundland Power or the  19 load factor for Hydro?  20 Q. First of all, the load factor for Newfoundland  21 Power.  22 A. The load factor per se, as opposed to the  23 demand or energy.  24 Q. Yes.  25 A. I don't know that load factor has any, per se,</p>	<p>1 has a direct influence.  2 Q. Let's look then from another direction and  3 explain for us -  4 A. Unless that's what they're forecasting with,  5 is that what you're referring to?  6 Q. Well we've been through some evidence on that  7 with Mr. Haynes earlier on and apparently the  8 process for determination of their peak is  9 based upon an assumed load factor.  10 A. Okay, then maybe I've misunderstood your  11 question.  12 Q. Okay, well let's go directly to the number  13 that affects the cost of service end. For the  14 cost of service purpose, you use, presumably,  15 a forecast of demand and a forecast of energy  16 from Newfoundland Power, correct?  17 A. That's correct.  18 Q. And what effect do those numbers have on the  19 workings of the cost of service?  20 A. The forecast or demand in energy serves as the  21 basis for the determination of their demand  22 component and as well for the determination of  23 the energy allocation factor. It serves as a  24 basis for the determination of both the demand  25 and allocation factors.</p>

Page 233	Page 234
<p>1 HUTCHINGS, Q.C.:</p> <p>2 Q. And correct me if I'm wrong, but to the extent</p> <p>3 that the forecast peak of Newfoundland Power</p> <p>4 is higher, they will have a larger proportion</p> <p>5 of the demand costs assigned to them, correct?</p> <p>6 A. That's correct.</p> <p>7 Q. Okay. One further question in that regard and</p> <p>8 this relates back to some extent to the</p> <p>9 generation credit. Is the generation credit</p> <p>10 taken into account for all purposes in the</p> <p>11 Cost of Service Study?</p> <p>12 A. For all purposes?</p> <p>13 Q. Yes.</p> <p>14 A. Could you explain for all purposes?</p> <p>15 Q. Well, just explain for us what you use the</p> <p>16 Newfoundland Power forecast peak for in the</p> <p>17 Cost of Service Study?</p> <p>18 A. The Newfoundland Power forecast peak is used</p> <p>19 to determine their native peak. Okay, the</p> <p>20 forecast peak is net of their estimated on</p> <p>21 hydraulic generation. From there we go to</p> <p>22 their native peak and then we subtract</p> <p>23 generation credits, net of reserve. And that</p> <p>24 number is used in the demand--okay, it's used</p> <p>25 in calculating the system of, the Island</p>	<p>1 system load factor, in part -</p> <p>2 Q. Yes, okay.</p> <p>3 A. And it's also used as their magnitude in</p> <p>4 calculating their demand factor for the</p> <p>5 portion, of course, that is demand related.</p> <p>6 Q. Okay. Those are the two purposes, there is</p> <p>7 the calculation of the system load factor and</p> <p>8 their allocation of demand responsibility?</p> <p>9 A. That's correct.</p> <p>10 Q. And in calculation of the system load factor,</p> <p>11 do you use both Newfoundland Power's forecast</p> <p>12 of demand and their forecast of energy?</p> <p>13 A. Of the system load factor?</p> <p>14 Q. Yes.</p> <p>15 A. Yes.</p> <p>16 Q. Okay, and what would be the effect of</p> <p>17 Newfoundland Power having a lower forecast for</p> <p>18 demand and a higher forecast for energy?</p> <p>19 A. It would increase their load factor.</p> <p>20 Q. It would increase their load factor and what</p> <p>21 does that do to the system load factor?</p> <p>22 A. It would increase the system load factor.</p> <p>23 Q. Okay, and what does the system load factor do</p> <p>24 to the allocation of costs generally?</p> <p>25 A. A higher system load factor contributes more</p>
Page 235	Page 236
<p>1 cost to the energy components.</p> <p>2 Q. And who are the higher energy users</p> <p>3 proportionately?</p> <p>4 A. The ICs are.</p> <p>5 Q. Okay, so both by way of reducing the demand</p> <p>6 costs assigned to Newfoundland Power and by</p> <p>7 way of increasing the energy responsibility</p> <p>8 for the costs associated with energy for the</p> <p>9 Industrial Customers, the prediction by</p> <p>10 Newfoundland Power, the lower or higher load</p> <p>11 factor than they actually experience tends to</p> <p>12 shift costs to the Industrial Customers?</p> <p>13 A. I agree.</p> <p>14 Q. Thank you, Mr. Greneman. That's all I have,</p> <p>15 Mr. Chair.</p> <p>16 CHAIRMAN:</p> <p>17 Q. Thank you very much, Mr. Hutchings. Mr.</p> <p>18 Greneman. Mr. Kennedy, do you have very much?</p> <p>19 MR. KENNEDY:</p> <p>20 Q. Asking cost of service questions after 3:00 is</p> <p>21 cruel and I suggest criminal after 4:00.</p> <p>22 (laughter).</p> <p>23 CHAIRMAN:</p> <p>24 Q. I'll stop the bleeding, you need not -</p> <p>25 MR. KENNEDY:</p>	<p>1 Q. We'll end up with a murder trial that we spoke</p> <p>2 about earlier. With your indulgence and</p> <p>3 consent, I'd suggest for us to break for the</p> <p>4 day and start again fresh Monday morning. I</p> <p>5 think again the weekend will give me an</p> <p>6 opportunity to review the notes, I'd be that</p> <p>7 much more concise.</p> <p>8 CHAIRMAN:</p> <p>9 Q. That's fine with me.</p> <p>10 MR. KENNEDY:</p> <p>11 Q. And clear headed.</p> <p>12 CHAIRMAN:</p> <p>13 Q. I see some nodding of heads as well. That's</p> <p>14 fine, we'll reconvene at 9:00 on -</p> <p>15 GREENE, Q.C.:</p> <p>16 Q. I have one item, Mr. Chair. It will only be a</p> <p>17 moment. It's to respond to an undertaking</p> <p>18 that was outstanding. It was Undertaking 14</p> <p>19 which was to provide the impact for the</p> <p>20 Industrial Customers based on the 2004 revenue</p> <p>21 requirement of the GNP transmission line being</p> <p>22 assigned to common. They had asked us to</p> <p>23 provide that information back on October 23rd</p> <p>24 and I have a response, a written response to</p> <p>25 provide to that at this time. And this is a</p>

Page 237

Page 238

1 GREENE, Q.C.:  
 2 response to Undertaking No. 14 dealing with  
 3 the issue of the assignment of the GNP  
 4 transmission line as common and its impact on  
 5 Industrial Customers. Thank you very much,  
 6 Mr. Chair, that was the only item. I meant to  
 7 do it earlier and had forgotten.  
 8 CHAIRMAN:  
 9 Q. Thank you, Ms. Greene. Ms. Newman, is there  
 10 anything before we conclude?  
 11 MS. NEWMAN:  
 12 Q. No.  
 13 CHAIRMAN:  
 14 Q. Thank you very much. We'll see you on 9:00 on  
 15 Monday morning and have a good weekend and  
 16 hope the weather holds for our visitors from -  
 17 GREENE, Q.C.:  
 18 Q. Sorry, Mr. Chair, one last question. I really  
 19 do want to leave too.  
 20 KELLY, Q.C.:  
 21 Q. You have to indulge her, it's her first day  
 22 back. (laughter)  
 23 GREENE, Q.C.:  
 24 Q. I was only gone for a very short period. Nice  
 25 to know that's I'm missed so much, it really

1 is, especially by Newfoundland Power.  
 2 (laughter).  
 3 KELLY, Q.C.:  
 4 Q. What would we do without you?  
 5 GREENE, Q.C.:  
 6 Q. The issue of the schedule for Monday, my  
 7 colleagues were asking here, do we know--we  
 8 had agreed to sit the longer days for Thursday  
 9 and Friday, we were going to reassess the  
 10 progress we were making and maybe we can leave  
 11 that until Monday, I'm not sure.  
 12 MS. NEWMAN:  
 13 Q. Yes, perhaps we'll speak to it Monday morning.  
 14 CHAIRMAN:  
 15 Q. Fine by me.  
 16 Upon concluding at 4:12 p.m.

Page 239

1 CERTIFICATE  
 2 I, Judy Moss Lauzon, hereby certify that the  
 3 foregoing is a true and correct transcript in the  
 4 matter of Newfoundland and Labrador Hydro's 2003  
 5 General Rate Application for approval of, among  
 6 other things, its rates commencing January, 2004  
 7 heard on the 14th day of November, A.D., 2003  
 8 before the Board of Commissioners of Public  
 9 Utilities, Prince Charles Building, St. John's,  
 10 Newfoundland and Labrador and was transcribed by me  
 11 to the best of my ability by means of a sound  
 12 apparatus.  
 13 Dated at St. John's, Newfoundland and Labrador  
 14 this 14th day of November, A.D., 2003  
 15 Judy Moss Lauzon