

Page 1	Page 2
<p>1 (9:06 a.m.)</p> <p>2 CHAIRMAN:</p> <p>3 Q. Thank you and good morning. Good morning, Mr.</p> <p>4 Hearn, good to see you join us.</p> <p>5 HEARN, Q.C.:</p> <p>6 Q. Thank you, Mr. Chair.</p> <p>7 CHAIRMAN:</p> <p>8 Q. Good morning, Ms. Newman, are there any--I</p> <p>9 assume there's some undertaking. Ms. Blundon</p> <p>10 just gave me a mitt-full here first this</p> <p>11 morning.</p> <p>12 MS. NEWMAN:</p> <p>13 Q. Yes. I believe counsel for Newfoundland and</p> <p>14 Labrador Hydro would like to speak to some</p> <p>15 undertakings.</p> <p>16 CHAIRMAN:</p> <p>17 Q. Sure. Good morning, Ms. Greene.</p> <p>18 GREENE, Q.C.:</p> <p>19 Q. Good morning, Mr. Chair, Commissioners. I'd</p> <p>20 like to take just a few minutes to review</p> <p>21 outstanding undertakings. All of the</p> <p>22 undertakings that have been given prior to</p> <p>23 November 12th have already been answered and</p> <p>24 I'd like now to review the list of the</p> <p>25 undertakings from November 12th, November 17th</p> <p>26 and November 18th. Looking first to the</p>	<p>1 transcript of November 12th, there is some</p> <p>2 confusion with respect to the list of</p> <p>3 undertakings that are listed on the transcript</p> <p>4 as opposed to those that were actually given.</p> <p>5 So I'm just going to run down each one and to</p> <p>6 confirm whether they have been answered or to</p> <p>7 speak to one of the papers that were</p> <p>8 circulated this morning.</p> <p>9 The first undertaking that was listed on</p> <p>10 page 1 of the transcript of November 12th</p> <p>11 referred to an undertaking on page 21 of the</p> <p>12 transcript. That undertaking, if you look at</p> <p>13 page 21, and I don't know if we need to go to</p> <p>14 each one, but that undertaking did relate to</p> <p>15 one given to Mr. Browne to provide a</p> <p>16 transcript of the comments of the Manager of</p> <p>17 Communications at Hydro on VOCM radio on</p> <p>18 electric heat. That undertaking was responded</p> <p>19 to on that same day in the afternoon. And if</p> <p>20 you look at the transcript at page 120 to page</p> <p>21 121 of the transcript, you will see that Hydro</p> <p>22 did provide and respond to that undertaking.</p> <p>23 The second undertaking is listed on page</p> <p>24 1 of the transcript of November 12th as being</p> <p>25 on page 47. It is actually on page 48 and it</p>
Page 3	Page 4
<p>1 was an undertaking to Mr. Kelly of</p> <p>2 Newfoundland Power to provide a reconciliation</p> <p>3 of the 2003 depreciation. So if you look</p> <p>4 there on page 48, you'll see there in lines 9</p> <p>5 to 11 the reference to the undertaking. And</p> <p>6 you have to go back to the previous page to</p> <p>7 see what the specific undertaking was. And</p> <p>8 this is the first document that you have</p> <p>9 before you. The heading is "Reconciliation of</p> <p>10 Depreciation Expense of January to August,</p> <p>11 2003." And this actually is U-Hydro No. 24.</p> <p>12 The next undertaking that is listed as</p> <p>13 No. 3 on the transcript, page 1 of November</p> <p>14 12th is a reference to one at page 61 of the</p> <p>15 transcript. And it was an undertaking to Mr.</p> <p>16 Kelly to advise as to whether there had been</p> <p>17 an analysis completed of the impact on the</p> <p>18 rural deficit of Hydro assuming responsibility</p> <p>19 for operations in Natushish. That undertaking</p> <p>20 was responded to on the same day. And if you</p> <p>21 look at pages 125 to 126 of the transcript,</p> <p>22 you will see, of November 12th, you will see</p> <p>23 the response to that undertaking.</p> <p>24 The next one which is listed as No. 4</p> <p>25 undertaking on page 1 of the transcript of</p>	<p>1 November 12th refers to one on page 68. And</p> <p>2 it dealt with the issue of FTE's. And it's</p> <p>3 our position that if you look at pages 69 to</p> <p>4 70 of the transcript, the actual question was-</p> <p>5 -answer to the question was provided in cross-</p> <p>6 examination so that it really was not an</p> <p>7 undertaking. It was answered shortly after</p> <p>8 that. So it's our position that that answer</p> <p>9 was provided on pages 69 to 70 of the</p> <p>10 transcript of November 12th.</p> <p>11 The number fifth undertaking that's</p> <p>12 listed on page 1 of the transcript of November</p> <p>13 12th refers to one on page 106 but actually</p> <p>14 shows up on page 107. So if you scroll down,</p> <p>15 you'll see on lines 19 to 21 on page 107 the</p> <p>16 undertaking. And it relates to the</p> <p>17 decommissioning costs at Davis Inlet and the</p> <p>18 loss on disposal with respect to the Davis</p> <p>19 Inlet plant and as to whether there had been</p> <p>20 any discussions with the Federal Government</p> <p>21 relating to those two items. The answer to</p> <p>22 that undertaking was provided that same day on</p> <p>23 page 122 of the transcript.</p> <p>24 The next undertaking that's listed as No.</p> <p>25 6 is a reference to page 143 but it's really</p>

Page 5	Page 6
<p>1 GREENE, Q.C:</p> <p>2 found on page 144 at line 23 where you--that's</p> <p>3 the beginning of the request for the</p> <p>4 undertaking, and it relates to the</p> <p>5 reconciliation of the accumulated</p> <p>6 depreciation. And that one is not ready. We</p> <p>7 hope to have it filed tomorrow.</p> <p>8 The seventh undertaking is a referenced</p> <p>9 one at page 177 but it's really found on page</p> <p>10 179. And it relates to an undertaking to Mr.</p> <p>11 Hutchings to illustrate the impact of the</p> <p>12 impact on the changes in fuel purchases and</p> <p>13 the opening fuel inventory balance for 2004</p> <p>14 arising from the amount of rain that we had in</p> <p>15 October. And this was circulated and is the</p> <p>16 second document that you have before you. The</p> <p>17 heading you will see is called "Holyrood No. 6</p> <p>18 Fuel Costs 2003, October 31 filing". What we</p> <p>19 did in response to this, which is U-Hydro No.</p> <p>20 29, the top table reproduces what had been in</p> <p>21 the October 31st filing. The bottom table</p> <p>22 reproduces for 2003 the most recent update</p> <p>23 which includes first the actual price paid in</p> <p>24 October. And if you look down the months, you</p> <p>25 will see in the table we used A for actual.</p>	<p>1 So in October in that second table we have</p> <p>2 included the actual price paid for fuel in</p> <p>3 October versus the forecast that had been used</p> <p>4 in the October 31 filing. And we also have</p> <p>5 included the impact of rain on the actual</p> <p>6 volume of fuel used so that the price in</p> <p>7 October was higher than had been used in the</p> <p>8 previous forecast. Consumption at Holyrood is</p> <p>9 down which will have a positive impact on the</p> <p>10 Rate Stabilization Plan of about \$13 million</p> <p>11 for 2003. But there is a higher weighted</p> <p>12 average price at year end inventory as a</p> <p>13 result of the higher actual price in October</p> <p>14 than what we had used in the forecast for</p> <p>15 October when we filed for October 31. So the</p> <p>16 actual price in October was higher than the</p> <p>17 forecast price. If you turn to the second</p> <p>18 page, we did the same thing for 2004.</p> <p>19 (9:15 a.m.)</p> <p>20 The top table shows what the October 31st</p> <p>21 filing was for fuel purchases for No. 6 fuel</p> <p>22 used in the 2004 test year. And the bottom</p> <p>23 table has updated it for the rain that we had</p> <p>24 in October and to reflect actual fuel</p> <p>25 purchases. So you will see that while the</p>
Page 7	Page 8
<p>1 weighted average purchase price for 2004 has</p> <p>2 decreased by one cent from 28.95 that was used</p> <p>3 in the October 31 filing which is shown in the</p> <p>4 top table down to 28.94, so we have a higher</p> <p>5 beginning inventory price in volume resulting</p> <p>6 in what would be higher production costs of</p> <p>7 about 553 million for 2004. So the rain that</p> <p>8 we had in October was positive in the sense</p> <p>9 that it reduced the balance in the Rate</p> <p>10 Stabilization Plan in a significant way. We</p> <p>11 do have a higher fuel cost for 2004.</p> <p>12 The last undertaking that's referred to</p> <p>13 as No. 8 on page 1 of the transcript of</p> <p>14 November 12th refers to an undertaking on page</p> <p>15 198 which is found on page 200 of the</p> <p>16 transcript, not page 198, at lines 9 to 11.</p> <p>17 And this was an undertaking given to Mr.</p> <p>18 Hutchings and it related to the change in the</p> <p>19 reserve between the 2002 final cost of</p> <p>20 service, what was used for that and what is</p> <p>21 for 2004. The actual reserve percentage in</p> <p>22 2002 have been 18 and a half percent. And Mr.</p> <p>23 Hutchings asked us to provide what were the</p> <p>24 contributing factors to the reduction of that</p> <p>25 to 16 percent. So the third document that you</p>	<p>1 have before you which begins "A percent of</p> <p>2 generation reserve capacity", which is the</p> <p>3 response to U-Hydro No. 30 which was the last</p> <p>4 one listed in the transcript as an undertaking</p> <p>5 for November 12th is a response to that</p> <p>6 undertaking.</p> <p>7 CHAIRMAN:</p> <p>8 Q. You can continue.</p> <p>9 GREENE, Q.C.:</p> <p>10 Q. There was one additional item from November</p> <p>11 12th which was not listed as an undertaking in</p> <p>12 the transcript, but there was one that related</p> <p>13 to Mr. Roberts' evidence where he said that he</p> <p>14 would take under advisement the issue of his</p> <p>15 Schedule 8 and the issue of accrued interest,</p> <p>16 which I believe that that also can be</p> <p>17 considered to be an undertaking. And we will</p> <p>18 be filing response to that tomorrow.</p> <p>19 Now, moving to Friday, November 14th.</p> <p>20 There was only one undertaking given--no, I'm</p> <p>21 sorry, there was actually two on November</p> <p>22 14th. This is Mr. Greneman. And the first</p> <p>23 one was not listed as a transcript (sic.) in</p> <p>24 the transcript, but Mr. Hutchings had asked</p> <p>25 Mr. Greneman to provide a reconciliation of</p>

Page 9	Page 10
<p>1 GREENE, Q.C.: 2 the load that is shown on Schedule 11 of Mr. 3 Haynes' evidence to the load that is used in 4 Mr. Greneman's Cost of Service. And you'll 5 recall Mr. Hutchings asked us about that the 6 next day saying it wasn't an undertaking but 7 we said we would provide it. So the fourth 8 document you have is that reconciliation as 9 requested by Mr. Hutchings and it's the 10 heading would be "Newfoundland and Labrador 11 Hydro, 2004 Forecast Cost of Service, Island 12 Interconnected, Coincident Peak at 13 Generation". So that is the response to U- 14 Hydro No. 31. 15 The next undertaking is one again on 16 November 17th at page 17 of the transcript 17 which was an undertaking to Mr. Kennedy from 18 Mr. Greneman. I'm sorry, it actually is the 19 transcript of Monday, November 17th, sorry. 20 So there was only one on the 14th and there's 21 two on the 17th. And this was the undertaking 22 to provide the breakdown of the demand charge 23 into the generation and transmission related 24 costs. And the last document you have before 25 you is a response to that undertaking and it</p>	<p>1 also is a response to the other undertaking 2 given to Mr. Kennedy on November 17th at page 3 18 there in lines 9 to 12 where Mr. Kennedy 4 asked Mr. Greneman to confirm what the energy 5 rate would be if there was only one block 6 above the demand rate. So the last document 7 responds to both of those undertakings, U- 8 Hydro No. 32 and No. 33 are answered in that 9 last document you have before you. 10 So than you, very much, Mr. Chair. That 11 completes all of the undertakings. At this 12 point in time there are two outstanding which 13 we hope to have filed by tomorrow. Thank you. 14 CHAIRMAN: 15 Q. Thank you, Ms. Greene, for that fairly 16 complete report. Thank you. Good morning, 17 Mr. Kennedy. Would you care to introduce your 18 witnesses, please? 19 MR. KENNEDY: 20 Q. Yes, Chair. This is Nigel Chymko, spelt with a 21 "C", and Gail Tabone who work with EES 22 Consulting Limited in their Calgary and 23 Seattle offices respectively. 24 CHAIRMAN: 25 Q. I'd like to welcome you to the proceedings. I</p>
Page 11	Page 12
<p>1 wonder, Ms. Tabone, if you could take the 2 Bible in your right hand, please? 3 MS. GAIL TABONE (SWORN) 4 CHAIRMAN: 5 Q. Thank you. Mr. Chymko. 6 MR. NIGEL CHYMKO (SWORN) 7 CHAIRMAN: 8 Q. Thank you, very much. Before we begin, time 9 wise I guess probably what we--what I'd like 10 to do is proceed until 11, similar to 11 yesterday, and we'll see then if a 15 minute 12 or half hour break is warranted and take it 13 from there. So if that's okay, we'll--because 14 I don't quite know whether this is going to be 15 a short day or a long day or otherwise. Is 16 that fair enough, we go to 11 and we'll see 17 then what's in order? When you're ready, Mr. 18 Kennedy. 19 MR. KENNEDY: 20 Q. Thank you, Chair. Ms. Tabone, this is your 21 first time in the jurisdiction of 22 Newfoundland, correct? 23 MS. TABONE: 24 A. Well, the first time in a proceeding. I was 25 out here during the mediation as well.</p>	<p>1 MR. KENNEDY: 2 Q. Right. And I take it you're probably still 3 getting used to some of the idiosyncrasies of 4 the jurisdiction of Newfoundland as we all 5 are. Could you tell me, though, first, who 6 EES Consulting is and the areas of expertise 7 in the jurisdictions that EES Consulting 8 provides services in? 9 MS. TABONE: 10 A. Yes. We're a firm of about 30 professional 11 consultants, we're about half economists, 12 finance people and about half engineers. 13 Nigel and I happen to be on the economics and 14 finance side of the business. We have three 15 primary areas that we consult in. The first 16 one is cost of service and rate design, which 17 would include regulatory intervention. The 18 second one is resource planning, which would 19 include things like load forecasting, 20 feasibility studies of generation. We look at 21 integrated resource plans, wholesale 22 contracting, things of that nature. And the 23 third one is mergers and acquisitions, looking 24 at utilities, whether it's financially 25 feasible to form a new municipal utility, for</p>

Page 13	Page 14
<p>1 MS. TABONE: 2 example. 3 In terms of our clients, we work 4 primarily for what we would call public 5 utilities. By that I mean municipal 6 utilities, public utility districts, 7 cooperatives. We also work for some investor 8 owned utilities and some industrial customers, 9 but primarily in the public sector. 10 In terms of geographical base, we tend to 11 work more on the west coast, just because of 12 our location. We do quite a bit of work in 13 British Columbia and Alberta, obviously, 14 because of our Calgary office. So we've 15 worked for both the B.C.U.C. West Kootenay 16 Power in British Columbia, Centra Gas in 17 British Columbia as well as some of the 18 industrial customers from time to time. So 19 we're very familiar with things going on in 20 B.C. which has a lot of similarities to this 21 jurisdiction. Alberta, Nigel could speak to 22 in more detail, but we've done a lot of work 23 over many, many years in Alberta. Ontario we 24 work for, again, a lot of the municipal 25 utilities. We've been involved in Ontario</p>	<p>1 Hydro rate cases back many, many years before 2 everything was broken up and spun off. We 3 also worked for North West Territories Power 4 Corporation in the past. 5 On the U.S. side we work primarily on the 6 Pacific Northwest. A lot of our clients are 7 customers of Bonneville Power, which is a 8 large marketing, federal marketing agency that 9 runs primarily hydro and transmission 10 facilities. We also work in Alaska, 11 California and Texas quite a bit. 12 And again, as Mr. Kennedy mentioned, 13 we're very new to this jurisdiction, we're 14 learning the technical details as we go, but I 15 think we also bring a fresh perspective and we 16 have a lot of experience that is maybe 17 relevant to looking at how things are here. 18 MR. KENNEDY: 19 Q. Thank you. Mr. Chymko, EES filed a report 20 with the Board of Commissioners of Public 21 Utilities dated September the 19th, 2003 and 22 filed with the Board, I believe, on September 23 the 22nd, 2003. This is--the report was 24 authored by yourself and Ms. Chymko? 25 MR. CHYMKO:</p>
Page 15	Page 16
<p>1 A. It was authored by myself and Ms. Tabone. 2 MR. KENNEDY: 3 Q. Sorry. And Ms. Tabone, yes. 4 MR. CHYMKO: 5 A. Yeah, it was a joint effort. 6 MR. KENNEDY: 7 Q. Yes. And have you made any revisions or 8 updates to that report dated September the 9 19th since its filing with the Board? 10 MR. CHYMKO: 11 A. Yes, we have. It was my understanding there 12 was two pages that were to be filed with the 13 Board and it was page 30 and 31 which 14 addresses the issue of the impact on 15 transmission of the generation credit. The 16 reason it was updated, first of all, was to 17 account for the October 31st, Hydro's re- 18 filing, and as we were going through it we 19 noted a correction also needed to be made to 20 the table. At the end of the day though the 21 changes have no impact on our recommendation 22 as outlined in our evidence. 23 MR. KENNEDY: 24 Q. And so do you as representative of EES 25 Consulting adopt your report of September the</p>	<p>1 19th as revised with your November the 18th 2 revisions? 3 MR. CHYMKO: 4 A. Yes. 5 MR. KENNEDY: 6 Q. Okay. Mr. Chymko, there was a Board order 7 issued as a result of motions taken by some of 8 the parties concerning some of the areas that 9 you dealt with in your report and also there 10 was a mediation conducted subsequent to the 11 report. Has this had any impact on the issues 12 to which you're prepared to speak to here 13 today? 14 MR. CHYMKO: 15 A. Yes, it has. As a result initially our 16 evidence contained nine recommendations. That 17 has now been reduced to three. And those 18 three are the GNP, Doyles-Port aux Basques and 19 Burin Peninsula assignments, and we're saying 20 they should use a consistent assignment 21 methodology for the generation and 22 transmission facilities. The second area is 23 the Labrador Interconnected System should 24 remain an interconnected system in the Cost of 25 Service. And the third area is that the</p>

Page 17	Page 18
<p>1 MS. TABONE: 2 Newfoundland Power wholesale rate should 3 include a demand charge with ratcheted billing 4 determinant. 5 MR. KENNEDY: 6 Q. And as you're sitting as a panel, could you 7 tell us which of the two of you is responsible 8 for which of those three issues? 9 MR. CHYMKO: 10 A. Ms. Tabone will lead the discussion on the 11 GNP, etcetera, assignments and the Labrador 12 Interconnected and I'll lead the discussion on 13 the Newfoundland Power wholesale rate. 14 MR. KENNEDY: 15 Q. Thank you. Ms. Tabone, starting then with the 16 issues that you have primary responsibility 17 for, the assignment issue and the Labrador 18 issue, could you first just provide an 19 encapsulation, if you will, or brief statement 20 of what the recommendation is that was the 21 recommendation made by EES concerning the 22 assignment of the GNP, Burin and Port aux 23 Basques plant? 24 (9:30 a.m.) 25 MS. TABONE:</p>	<p>1 A. Or recommendation is to treat all of these 2 facilities consistently, which we don't think 3 is being done by the proposal that's been put 4 forward. We believe the GNP transmission 5 assets should be assigned common to go along 6 with the generation assets. In Burin that is 7 already the case and in Doyles-Port aux 8 Basques it's a little bit different issue. On 9 one sense we believe it should go along with 10 the generation facilities and should be 11 treated common. On the other hand, 12 Newfoundland Power is receiving a credit on 13 the cost allocation for transmission and as 14 such they're paying none of or they're paying 15 a reduced amount of common share for the 16 transmission on the Newfoundland Hydro system, 17 so to that extent we could probably see that 18 remaining specifically assigned facility if 19 they continue to get the credit for 20 transmission, if they don't, it probably 21 should be assigned common and then they don't 22 receive a credit. 23 There's been a lot of discussion on 24 technical issues on these facilities and our 25 focus hasn't been on the technical side, our</p>
Page 19	Page 20
<p>1 focus is on the policy side. There was some 2 reference the other day about postage stamp 3 rates. And based on our experience and our 4 theoretical beliefs about transmission in 5 particular, it's very common for all 6 transmission facilities to be rolled in, 7 treated on a--everything is common, everything 8 is spread out between all the customers on the 9 system and there's one postage stamp rate for 10 transmission. In this case it would be 11 similar to having a common assignment for all 12 transmission. In that way you're not singling 13 out one particular utility, where their 14 location is, whether they're using 100 miles 15 or 100 kilometres of transmission versus one 16 kilometre of transmission. Everybody is 17 treated the same no matter what the location. 18 And so in that sense we have looked at it both 19 from being consistent with generation, given 20 that you need transmission to move generation 21 across the system as well as looking at it as 22 a postage stamp issue and treating all 23 facilities the same. 24 MR. KENNEDY: 25 Q. Does this policy recommendation that you're</p>	<p>1 making have implications for the issues 2 surrounding the Labrador rates and the 3 interconnectedness of the system? 4 MS. TABONE: 5 A. Again, I see that as very similar in terms of 6 an overall policy direction and how much you 7 postage stamp or average systems out, whether 8 it's transmission or distribution or 9 generation, and how much you directly assign 10 are specifically assigned facilities. There's 11 a line somewhere where you have to have a 12 break between what's commonly assigned, what's 13 directly assigned. For example, distribution 14 facilities across all of the Isolated Rural 15 Systems on the island are all averaged 16 together, even though you know each 17 distribution system has a separate cost and 18 you could have, I don't know if it would be 20 19 different cost of services for some of the 20 isolated systems, because they all have their 21 own generation, they all have their own 22 distribution. And the policy has been to 23 average those together. As it is, there are 24 five different Cost of Service Studies done, 25 five different zones, if you will, or five</p>

Page 21	Page 22
<p>1 MS. TABONE: 2 different rate structures and that's probably 3 not very common across the U.S. and Canada. 4 For example, in British Columbia, very big 5 geographical area, lots of different--five 6 cities and towns and rural versus urban and 7 everything there is postage stamped, 8 everything is averaged together. So we think 9 a trend towards more of the postage stamp idea 10 and more common facilities is appropriate in 11 this case. 12 MR. KENNEDY: 13 Q. Mr. Chymko, could you tell us or provide just 14 a concise statement of what the EES 15 recommendation is concerning the wholesale 16 rate issue? 17 MR. CHYMKO: 18 A. Yes. In our evidence we had suggested that we 19 could support the sample rate as presented by 20 Stone and Webster or Hydro with two 21 modifications. And we suggested in what we 22 call the framework that we would need to 23 incorporate a demand ratchet formula instead 24 of using a weather normalization. So again, 25 we would use one demand block but we're</p>	<p>1 suggesting that perhaps a ratcheting system 2 could be used in place of weather 3 normalization. 4 The second part was also suggesting that 5 perhaps a peak demand waiver may be needed, 6 depending on how the points of delivery of 7 Newfoundland Power were metered at the 8 interchange with Newfoundland Hydro. So an 9 example, if we were using non-coincident, we 10 would suggest that perhaps a peak demand 11 waiver may be needed. If we're now leaning 12 towards perhaps the coincident peak, perhaps 13 the peak demand waiver is not needed. 14 The second part of our modifications to 15 the sample rate we suggest that Newfoundland 16 Power generation credit should be, first of 17 all, separated into generation and 18 transmission. The generation portion we 19 believe should still receive a credit, but not 20 the transmission. And we also suggest that 21 rather than have a credit through a megawatt 22 netting system, that there should be an 23 independent separate transparent tariff 24 similar to what the non-utility generators see 25 as well.</p>
Page 23	Page 24
<p>1 MR. KENNEDY: 2 Q. Now, you have participated personally in the 3 hearing room this week. I understand as well 4 you've had an opportunity to review the 5 transcripts of the testimony of Mr. Bowman and 6 Mr. Osler on behalf of the Industrial 7 Customers and as well on the first day of Mr. 8 Greneman's testimony on Friday just past, is 9 that right? 10 MR. CHYMKO: 11 A. Yes. 12 MR. KENNEDY: 13 Q. And one of the key issues, I guess, that's 14 arisen concerning the wholesale rate issue is 15 whether a Marginal Cost Study would be 16 required in order to set a wholesale demand 17 rate. Could you provide your view on that 18 sub-issue? 19 MR. CHYMKO: 20 A. Yeah, I definitely believe that there's no 21 need to wait to complete a Marginal Cost Study 22 before we get started. There's enough 23 evidence available, I believe, to make an 24 informed decision in designing a conservative 25 initial wholesale rate and the marginal cost</p>	<p>1 at the end of the day, I believe, would be 2 tweaking or building upon what is put in place 3 initially. One thing that reading the 4 transcripts and being present the last few 5 days I think the evidence to date certainly 6 has not caused us to change our 7 recommendation. In fact, we believe the 8 demand energy rate, wholesale rate should be, 9 in fact, implemented in 2004. 10 MR. KENNEDY: 11 Q. Mr. Chymko, there's been reference to the fact 12 that if you had ten consultants look at this, 13 you'd likely to have ten proposals returned to 14 you. Hydro, as you indicated, has recommended 15 a sample rate, EES has proposed a variation on 16 that sample rate that you've just detailed. 17 Assuming the Board wishes to implement a 18 wholesale rate, is there any advice that you 19 can give to the Board on how it could ensure 20 its implementation? 21 MR. CHYMKO: 22 A. I certainly agree that you would get ten 23 opinions. I think the other thing that a 24 number of parties would also discuss is the 25 issue around the Integrated Resource Plan, as</p>

Page 25

Page 26

1 MR. CHYMKO:
 2 to whether that is needed before the Marginal
 3 Cost Study as well. So again, that's another
 4 component that I believe needs to be
 5 considered before we finalize the complete
 6 Marginal Study. As far as assisting, I guess
 7 we believe that the sample demand rate that
 8 was set at \$7 is too high for the demand
 9 component and we would be a bit more
 10 conservative in setting or establishing the
 11 initial single demand component, based on the
 12 information that we've heard today. I don't
 13 think we can afford to study this thing to
 14 death, though, and at the end of the debate
 15 whether we do it today or whether we do it two
 16 years from now, I think we still will be
 17 debating what is the correct number once we
 18 get the Marginal Cost Study.
 19 MR. KENNEDY:
 20 Q. Thank you, Ms. Tabone, Mr. Chymko. Chair,
 21 that's all the questions on direct. They're
 22 available for cross-examination.
 23 CHAIRMAN:
 24 Q. Thank you, Mr. Kennedy. Mr. Young, good
 25 morning.

Page 27

1 overlap, some of these are, to some degree, in
 2 conflict with each other. Do you agree with
 3 that?
 4 MR. CHYMKO:
 5 A. Yes, I do.
 6 MR. YOUNG:
 7 Q. And in the jurisdictions you've testified in
 8 before and the discussions you've had, are
 9 these the sorts of principles you've heard, I
 10 suppose, time and time again as you travel
 11 around?
 12 MR. CHYMKO:
 13 A. That is true.
 14 MR. YOUNG:
 15 Q. The other thing I think we've noticed is
 16 there's a fair--even though there is a fair
 17 bit of real engineering work and the science
 18 of economics, there's a fair bit of judgment
 19 that goes into these things based on a rate
 20 maker's experience, is that correct?
 21 MR. CHYMKO:
 22 A. I would agree with that as well.
 23 MR. YOUNG:
 24 Q. In fact, I think you've said as much in your
 25 testimony. But one area that I am interested

1 MR. YOUNG:
 2 Q. Thank you, Chair. Good morning, Ms. Tabone,
 3 Mr. Chymko.
 4 MS. TABONE:
 5 A. Good morning.
 6 MR. YOUNG:
 7 Q. Well, in your direct you've, I think it's fair
 8 to say, narrowed down the area of our cross-
 9 examination somewhat, which is always helpful.
 10 But there are a few areas that, and one, I
 11 guess, which I didn't really anticipate which
 12 has been given rise to. I don't need to ask
 13 you any questions about whether you support
 14 the demand energy rate structure, that's
 15 fairly clear. And I think there's, as I
 16 mentioned yesterday, perhaps growing consensus
 17 on that. But I wonder if I could discuss
 18 briefly with you when you're choosing amongst
 19 these various things--and Mr. Kennedy just
 20 mentioned about the ten consultants giving ten
 21 outcomes, there's a fair bit of discussion in
 22 the last few days about Bonbright's
 23 principles. And I think perhaps you'd agree
 24 with me that, I just wanted to get your view
 25 on this, that some of these principals

Page 28

1 in, and perhaps Mr. O'Reilly, you can go to
 2 page 25 of the pre-filed testimony? And this
 3 is at lines 8 and 11. I'm just going to read
 4 the sentence here. It says, "By the very
 5 nature of weather normalization, one is
 6 suggesting consumption for what should have
 7 been, this will involve some degree of
 8 professional judgment." I'm just wondering is
 9 this a particular area, weather normalization,
 10 that you're honing back on, in the sense that
 11 you don't wish professional judgment to be a
 12 part of it, or is there some particular
 13 element of weather normalization that brings
 14 you away from what would normally be the case
 15 in rate making, which is to say a judicious
 16 view of it with the background and some
 17 reference to the outcomes?
 18 MR. CHYMKO:
 19 A. No, again, at the end of the day there will be
 20 some degree of professional judgment that is
 21 required. Again, we're not familiar with the
 22 detailed models and the effort that currently
 23 goes into the process, but at the end of the
 24 day we believe that whether it's the model
 25 that's, the model itself basically will be

Page 29	Page 30
<p>1 MR. CHYMKO: 2 formula driven. But again, it's setting up 3 that model, what is the agreement, what are 4 the assumptions that I believe professional 5 judgment is required. 6 MR. YOUNG: 7 Q. So if I understand that, then weather 8 normalization per se is not something you 9 would have knee jerk reaction against in 10 relation to the wholesale rate, it's just that 11 you think that--I supposed you'd like to have 12 a look at the model that was used. Is that 13 your evidence? 14 MR. CHYMKO: 15 A. I guess what we're saying for the wholesale 16 rate itself we believe perhaps a ratchet 17 system might accomplish, we believe would 18 accomplish the price signals that are required 19 more than normalizing the weather. Where we 20 believe the normalize weather would still be 21 required would be in your system planning and 22 going forward in system planning, what's the 23 generation, what's the transmission, what is 24 the customer load expected in the future year 25 in regard to revenue requirement, etcetera.</p>	<p>1 We're just saying for billing purposes we 2 would suggest that weather normalization is 3 not critical. 4 MR. YOUNG: 5 Q. There's some further discussion on that page, 6 I don't think we need to get to all the 7 particular reference. But if I can paraphrase 8 you generally, I think you're saying the 9 weather is--will be what it will be and Hydro 10 has to bill for it and that's your sense of 11 preferring to deal with the actual demands as 12 they come out, as opposed to a normalized 13 demand, is that it? 14 MR. CHYMKO: 15 A. No, I think when you're generally building 16 (phonetic) for it, you would be using 17 normalized weather. 18 MR. YOUNG: 19 Q. Okay. I don't know to what extent you've had 20 discussions with people here in either Hydro 21 or Newfoundland Power or other observers. 22 But, I've heard it said around the business 23 that our weather and the demands that are 24 created by it can be subject to needle peaks 25 of very short duration. Does that change at</p>
Page 31	Page 32
<p>1 all the observations you would make about 2 ratcheting versus a normalization process? 3 MR. CHYMKO: 4 A. From a planning point of view? 5 MR. YOUNG: 6 Q. Well, I guess from a rate design point of 7 view. 8 MR. CHYMKO: 9 A. No, I believe from a rate design point of view 10 and with the ratchets that's what we're 11 attempting to do is to potentially account for 12 some of those exceptional peaks and then I 13 think we have to again ensure that we don't 14 consider the demand rate structure and the 15 volatility that might come out of it 16 independent. I think then we have to take the 17 driver of the demand energy rate and look at 18 the financial impact that might come through 19 the risk that's required for the utility. 20 (9:46 a.m.) 21 MS. TABONE: 22 A. Can I just add one thing? When you talk about 23 the needle peaks, that's really what you plan 24 your system around and build for. So to the 25 extent that you've incurred costs, the costs</p>	<p>1 which are in the demand related costs for 2 generation and transmission, those are driven 3 by a needle peak so we don't see a problem 4 with a needle peak as a billing determinant 5 because that's what driven the cost. 6 MR. YOUNG: 7 Q. Mr. Greneman, when he was on the stand a few 8 days ago, was referring to the whole concept 9 of volatility going hand in hand with this 10 form of a rate structure, demand and energy 11 rate structure. But I think you'll probably 12 agree with me that there has been, sometimes 13 you have to read between the lines perhaps to 14 see this, but I think you can gather that 15 there's been a sensitivity to the volatility 16 issue. The weather normalization is, I guess, 17 very obviously intended to address that. But 18 you just prefer to do that in another way, is 19 that your view of it? 20 MR. CHYMKO: 21 A. Well, in fact, perhaps I could suggest that 22 the weather normalization removal from the 23 demand energy, I would suggest that from what 24 I've heard in the last few days, is more of a 25 longer term issue. I think at this point in</p>

Page 33

Page 34

1 MR. CHYMKO:

2 time if I was to put a sample rate before the
3 Board, I would compromise, I guess, a bit to
4 leave weather normalization in place. So
5 again, longer term at the end of the day, we
6 believe, that weather normalization should be
7 taken out of the rate. But to get things
8 going, to get things moving, until we find out
9 where is all the gives and takes within the
10 revenue requirement, whether it's over in the
11 financial side and how that might be dealt
12 with, that we could live with a sample rate
13 today that leaves in weather normalization.

14 MR. YOUNG:

15 Q. Just on that point on page 26 if I might, Mr.
16 O'Reilly, we've got a line in your evidence
17 which, just down the page, it's at line 30,
18 thereabouts, 30, 32. It says "Over the long
19 term, ES Consultants preferred payment would
20 be a ratchet billing demand." Is that the
21 point you're making that weather normalization
22 for the interim is fine, but you think this
23 should be explored further down the road?

24 MR. CHYMKO:

25 A. That's right.

Page 35

Page 36

1 you got into one of these needle peaks, as an
2 example and you hadn't planned for it, the
3 needle was actually above your planning
4 criteria, I think you would run your units
5 harder. You might, you know, take a bit of a
6 risk on letting a bit more water go through.
7 You might do a voltage control to again try
8 and stretch your system, but, from a planning
9 point of view and then coming back to your
10 operations and maintenance you can only do
11 that for a period of time. You don't normally
12 run to it but for a short period of time,
13 whether it's an hour, a couple of hours or
14 three hours, I'm not sure. Again, your needle
15 peaks because we haven't seen a detailed
16 hourly data, this system can be stretched.
17 But it can't be kept running at that above
18 what it was designed for, for a long period of
19 time.

20 MR. YOUNG:

21 Q. So that there is logistics which essentially
22 provide some outside barrier, is that your
23 point, the logistics of running the system
24 provide some absolute barrier to the amount of
25 reach we can go into this demand, is that your

1 MR. YOUNG:

2 Q. I see. I have a question just a little higher
3 on that page, Mr. O'Reilly, if I might, lines
4 13 to 15, it's just something I'm not sure I
5 understand, I'll just read the sentence. I
6 think it is at line 13. Yes, it says "First
7 of all, Hydro can only supply" and this in
8 relation to this whole area and some of the
9 concerns some of the parties may raise. But
10 I'm not sure I understand this statement. It
11 says, "First of all Hydro can only supply a
12 finite amount of energy past the design
13 capacity of the system for a finite length of
14 time." When I read that, it just occurs to
15 me, if I can paraphrase you correctly and
16 please straighten me out if I'm reading this
17 with the wrong interpretation, but as I read
18 that, it seems to mean just that, you know,
19 eventually Hydro will run out of energy and
20 therefore there is some limit as to the amount
21 of money Hydro can make. Is that all that's
22 saying? That seems to be a fairly obvious
23 leap to the -

24 MR. CHYMKO:

25 A. I guess what we were driving out there that if

1 point?

2 MR. CHYMKO:

3 A. I think at the end of the day if there is a
4 peak that's way beyond what you planned for
5 and what you built, I'm saying you can get
6 part way there by stretching your system, but
7 there might be the odd occasion where the
8 demand appears that's significantly higher.
9 But we would see that as a very, very
10 exceptional case.

11 MR. YOUNG:

12 Q. Just a few more questions. Just a moment ago
13 in your last couple of answers in direct
14 testimony questions you made a comment about
15 the sample demand rate, perhaps the \$7.00
16 maybe too high in your judgment and that you
17 thought it should be lower, was that your
18 comments, am I correct?

19 MR. CHYMKO:

20 A. Yes, it is.

21 MR. YOUNG:

22 Q. What are you basing that on and before you
23 answer the question I want you to comment as
24 to whether or not you think the \$7.00 which is
25 \$84 a year we've been discussing over the last

<p style="text-align: right;">Page 37</p> <p>1 MR. YOUNG: 2 few days, that really comes from the embedded 3 Cost of Service Study, correct? 4 MR. CHYMKO: 5 A. That's correct. 6 MR. YOUNG: 7 Q. Do you have any disagreement with the way that 8 number comes out of that study? 9 MR. CHYMKO: 10 A. As far as the calculation of the number? 11 MR. YOUNG: 12 Q. Yes. 13 MR. CHYMKO: 14 Q. No, we don't. 15 MR. YOUNG: 16 Q. So it's the underpinnings within the study of 17 this - 18 MR. CHYMKO: 19 A. To be used for rate design purposes. 20 MR. YOUNG: 21 Q. So I'm just wondering, if you were going to 22 suggest a lower number, what basis would you 23 use and what sort of number would you be 24 suggesting? Just give me just a general idea 25 because a lower number could be anything down</p>	<p style="text-align: right;">Page 38</p> <p>1 to zero, conceptually. 2 MR. CHYMKO: 3 A. Right. First of all, we would cap the lower 4 number at at least the transmission component 5 of that bundled number. So as we saw this 6 morning, I think, or we've been talking around 7 this morning, I think that was filed at \$1.82. 8 So that would sort of be the minimum that we 9 would go. And I think we would look at a 10 couple of items. One is what's the 11 interruptible credit of \$28.00 being that 12 converts to, say \$2.33 a kilowatt per month, 13 and then to that, we would suggest that you 14 could look at adding the transmission. 15 MR. YOUNG: 16 Q. Okay, just on that point, the interruptible 17 credit I would suggest to you and I can assume 18 you may be using that as a discussion point 19 here as opposed to a firm number, but I'm just 20 wondering if you had a sense of the basis of 21 that being a negotiated number that may or may 22 not have much to do with the actual costs 23 embedded or otherwise? 24 MR. CHYMKO: 25 A. We have to accept that number and, again, it</p>
<p style="text-align: right;">Page 39</p> <p>1 might be low, it might be high. 2 MR. YOUNG: 3 Q. So in the absence of a better number you're 4 using that for discussion? 5 MR. CHYMKO: 6 A. We're using that number. There certainly is a 7 number that's being used for other customers 8 and we're suggesting that maybe we could lever 9 off of that number to get to an average rate 10 of just over \$4.00. 11 MR. YOUNG: 12 Q. Is that to use a marginal price concept, to 13 use a number such as interruptible number? I 14 mean, if you think about where a number like 15 that comes from. We're looking perhaps at 16 being willing--I'm just thinking about how 17 that number was derived in its origin. At the 18 time we were looking forward and considering 19 what our costs might be to provide that much 20 capacity and then discounting from it. So I'm 21 just wondering, is this a marginal price 22 concept you're bringing in at this point 23 overtly or is that just something you're 24 thinking about as a different way of doing 25 this?</p>	<p style="text-align: right;">Page 40</p> <p>1 MR. CHYMKO: 2 A. I guess we're attempting to put what we'll 3 call a framework with an example. As to how 4 we might be able to calculate it, we thought 5 that was one bookend in regard to using the 6 interruptible base and, again, I agree, we 7 didn't go down as to the history and the 8 reasons where it came from, but there is a 9 credit being given out there. We felt that if 10 we added the transmission component out of the 11 embedded cost of that, we would come out with 12 a rounded rate of say \$4.25 per kilowatt per 13 month. And whether you round that to \$4 or up 14 to \$4.50, we're saying let's get started, 15 let's start with the conservative numbers so 16 that we don't make it too high to start with 17 that all of a sudden we get it up there for 18 two years or three years, whatever, and then 19 we have to bring it down. We would rather 20 start with something a little smaller, a 21 little lower, until we do see the completion 22 of the integrated resource plan that we 23 believe needs to be done, again, both on the 24 demand side and on the supply side. And then 25 incorporate that into a marginal cost study,</p>

Page 41	Page 42
<p>1 MR. CHYMKO: 2 and then from there, hopefully, we would have 3 the structure in place that we would just be 4 tweaking after that. 5 Using--to follow-up on your question, 6 using \$4.25 as a monthly demand, just the one 7 block, monthly demand with a 90 percent and an 8 85 percent ratchet attached to it, the energy 9 that would fall out of that based on your 10 October 31st re-filing with the data that we 11 have available is about 4.34 cents. 12 MR. YOUNG: 13 Q. That's sort of a residual number. 14 MR. CHYMKO: 15 A. That's a residual. 16 MR. YOUNG: 17 Q. In a single rate. 18 MR. CHYMKO: 19 A. Yes. 20 MR. YOUNG: 21 Q. I think you were giving me one number, so it's 22 on a two lock rate (phonetic). 23 MR. CHYMKO: 24 A. One demand rate with a ratchet, one energy 25 rate.</p>	<p>1 MR. YOUNG: 2 Q. Right. 3 MR. CHYMKO: 4 A. And we're suggesting at this point in time to 5 be conservative to get, I guess, the move off 6 of high centre type thing, we're suggesting 7 let's incorporate weather normalization and 8 get started. 9 MR. YOUNG: 10 Q. Now one thing arises from that approach it 11 occurs to me is you're moving away from the 12 embedded approach to designing rates and doing 13 this costing study, essentially. You're going 14 through a marginal basis and that doesn't 15 strike me as being terribly different than the 16 approach you took in your original pre-filed-- 17 a number of items I think we've--the Board has 18 agreed we won't be going into. Not terribly 19 far removed and I'll ask you to comment on 20 this but it doesn't sound to me it's terribly 21 far removed from your credit method, is that 22 correct, in concept? 23 MR. CHYMKO: 24 A. I think breaking the two components, the 25 transmission credit is embedded -</p>
Page 43	Page 44
<p>1 MR. YOUNG: 2 Q. Right. 3 MR. CHYMKO: 4 A. And then it's the debate around how much of 5 using the generation credit is embedded versus 6 marginal. 7 MR. YOUNG: 8 Q. Okay. 9 MR. CHYMKO: 10 A. I guess another way we looked at it, that, 11 again, just trying to be conservative and put 12 something as a starting point on the table, 13 was to take the \$84.00 or take the \$7.00 which 14 came out of the embedded cost for generation 15 and transmission and average that with the 16 \$28.00. And, again, in total we come back 17 with a rate somewhere in the range of \$4.60 or 18 somewhere in that range. So, I guess all 19 we're trying to do is focus in regard to we 20 believe it's more than zero. At this time we 21 don't believe there's enough evidence on the 22 table that it should go right to \$7.00, so we 23 tried to look at perhaps a couple of sample 24 rates and they seem to come in the range of 25 \$4.00 to \$4.50.</p>	<p>1 MR. YOUNG: 2 Q. If I could just stop you there for a second. 3 If you say you haven't seen enough evidence, 4 is that just another way of saying you don't 5 accept the embedded cost numbers that follow 6 the Cost of Service in order to come up with 7 the \$7.00? 8 MR. CHYMKO: 9 A. No, I believe the evidence that I'm talking 10 about is what we've heard earlier is what are 11 going to be the impacts of an integrated 12 resource plan on a marginal cost and what I'm 13 saying the evidence is, we don't have a 14 marginal in front of us. 15 MR. YOUNG: 16 Q. Right. So you'd prefer to--for it to be 17 conservative, to go towards a marginal 18 approach as opposed to staying with the 19 embedded approach, because the embedded 20 approach I think, if you agree with me, that's 21 what gives you the \$7.00 figure, is that 22 correct? 23 MR. CHYMKO: 24 A. And we believe that the \$7.00 might be 25 appropriate at the end of the day, we just</p>

Page 45

Page 46

1 MR. CHYMKO:
2 don't know that. But to be conservative and I
3 guess to allow customers to start working with
4 price signals, we have to ensure that we don't
5 ratchet it up to say \$7.00 and then two years
6 from now we're bringing it back down to \$4.00
7 or \$5.00. Our preference is to slowly build
8 it up if it needs to be built up. And I think
9 there's two things we're trying to do here,
10 is, you know, balance the equity issue between
11 Newfoundland Power and Newfoundland Hydro's
12 DISCO, the remaining customers and making sure
13 that there's a price signal starting to be
14 given and passed onto customers. So we're
15 taking the approach from the point of view we
16 believe something needs to get started in
17 2004.
18 MR. YOUNG:
19 Q. And the evidence, I think you would agree with
20 me that's been presented by Hydro as to the
21 derivation of the generation component that
22 goes into the demand charge, is the embedded
23 basis which is and I don't know to what degree
24 you've considered what the Board ordered
25 before this hearing actually commenced, said,

1 but it looks to me like that's where this
2 Board was headed and that's what this Board
3 has indicated to the parties we'd be focused
4 on.
5 (10:00 a.m.)
6 MR. CHYMKO:
7 A. And, again, we're saying, yes, the embedded
8 Cost of Service shows a generation component
9 of about \$5.00. We're suggesting that might
10 be a little high to get started.
11 MR. YOUNG:
12 Q. Okay, those are all my questions, thank you.
13 CHAIRMAN:
14 Q. Thank you, Mr. Young. Good morning, Mr.
15 Browne.
16 BROWNE, Q.C.:
17 Q. Mr. Chairman, good morning. Have you had the
18 opportunity to review Mr. Brockman's
19 supplementary evidence?
20 MR. CHYMKO:
21 A. Yes.
22 BROWNE, Q.C.:
23 Q. Mr. O'Reilly, can we go to that evidence on
24 page 3, lines 17 to 20. There, Mr. Brockman
25 recommends that the marginal cost study and

Page 47

Page 48

1 the retail rate design study be a joint effort
2 of Hydro and Newfoundland Power and he bases
3 this recommendation on the fact that
4 Newfoundland Power's marginal cost will also
5 impact retail rates and that it's the retail
6 rates to Newfoundland Power's customers that
7 should be evaluated. Can you see any reason
8 why a generation and transmission utility such
9 as Hydro, would need to involve its retail
10 distribution company such as Power in any such
11 joint study, within your experience?
12 MR. CHYMKO:
13 A. I think there needs to be a joint effort.
14 It's just what we mean by joint effort. I
15 think at the end of the day I would suggest
16 the utility that has the main responsibility,
17 save for, the generation and transmission,
18 should drive the bus. Somebody has to lead
19 and then it's a matter of how do we ensure
20 that any information that's required can be
21 shared through some process. And it might not
22 be able to be shared between the two parties
23 if there's some confidentiality involved. So
24 there may need to be some type of third party
25 assisting to ensure that we get to the bottom

1 line.
2 BROWNE, Q.C.:
3 Q. But it is recognized that both Hydro and Power
4 would have certain proprietary information
5 that one may not wish to share with the other,
6 is that a fair comment?
7 MR. CHYMKO:
8 A. Yes. And that's my concern around the joint
9 effort. There needs to be joint cooperation
10 and joint effort to a degree, but I don't
11 think you could expect the two of them to sit
12 down across the table and get into sharing
13 confidential plans or strategies as to where
14 their utilities are going.
15 BROWNE, Q.C.:
16 Q. So you don't envisage it as a joint study such
17 as is in that recommendation?
18 MR. CHYMKO:
19 A. Again, depending on the true meaning of joint,
20 I think there has to be somebody taking the
21 lead and there may need to be some
22 interrelationship handled by a third party
23 depending on confidentiality.
24 BROWNE, Q.C.:
25 Q. What value would a retail distribution company

Page 49	Page 50
<p>1 BROWNE, Q.C.:</p> <p>2 bring to the table with regard to a marginal</p> <p>3 cost study, in this particular instance, if</p> <p>4 Hydro is conducting a marginal cost study?</p> <p>5 MR. CHYMKO:</p> <p>6 A. Again, I think before you can get into the</p> <p>7 marginal cost study I believe you have to</p> <p>8 start at the integrated resource plan stage.</p> <p>9 And there's two components to that. One is</p> <p>10 handling the supply issues and again, the</p> <p>11 other portion of that is somebody to take the</p> <p>12 lead on the customer side, on the demand side.</p> <p>13 So, again, depending on the information that's</p> <p>14 gathered through that process and how it's</p> <p>15 incorporated into the marginal study, again, I</p> <p>16 believe both components will be needed.</p> <p>17 BROWNE, Q.C.:</p> <p>18 Q. Can we go to Mr. Brockman's pre-filed evidence</p> <p>19 on page 1. And on lines 19 to 20 he states</p> <p>20 there that "Newfoundland Power's current rate</p> <p>21 designs reasonably reflect the Island</p> <p>22 Interconnected system cost of demand and</p> <p>23 energy." And then says "The sample rate will</p> <p>24 not change Newfoundland Power's rate designs."</p> <p>25 But above that on lines 11 and 12 he says, "An</p>	<p>1 inappropriate emphasis on demand charges in</p> <p>2 the sample rate design contributes to</p> <p>3 inefficiency in the sample rate energy</p> <p>4 charges." Now, you were here yesterday for</p> <p>5 Mr. Brockman's testimony, weren't you?</p> <p>6 MR. CHYMKO:</p> <p>7 A. Yes.</p> <p>8 BROWNE, Q.C.:</p> <p>9 Q. And as I understood from Mr. Brockman's</p> <p>10 testimony yesterday, he feels there is an</p> <p>11 inefficient marginal cost information to</p> <p>12 design an inefficient wholesale power rate, is</p> <p>13 that how you understood it, there was</p> <p>14 insufficient information to design a demand</p> <p>15 wholesale--to design a wholesale rate.</p> <p>16 MR. CHYMKO:</p> <p>17 A. That's what I heard, that's correct.</p> <p>18 BROWNE, Q.C.:</p> <p>19 Q. But yet he tells us in his evidence that</p> <p>20 Newfoundland Power's current rate designs</p> <p>21 reasonably reflect the Island Interconnected</p> <p>22 system cost of demand and energy. Well, if</p> <p>23 there's insufficient information, how can</p> <p>24 Newfoundland Power's current rate designs, at</p> <p>25 the current rate they are, reasonably reflect</p>
Page 51	Page 52
<p>1 the cost of demand and energy? Have you got</p> <p>2 any comments on that? Don't they seem</p> <p>3 contradictory?</p> <p>4 MR. CHYMKO:</p> <p>5 A. I haven't studied Newfoundland Power's rates</p> <p>6 so I have to accept his statement that -</p> <p>7 BROWNE, Q.C.:</p> <p>8 Q. But in the one instance he's telling us that</p> <p>9 there is insufficient marginal cost</p> <p>10 information to design an efficient wholesale</p> <p>11 power rate, but yet he's telling us in the</p> <p>12 other instance that Newfoundland Power's</p> <p>13 current rate designs reasonably reflect cost</p> <p>14 of demand and energy. Do you see an apparent</p> <p>15 contradiction there?</p> <p>16 MR. CHYMKO:</p> <p>17 A. As I say, I haven't studied Newfoundland</p> <p>18 Power's rates to understand are they</p> <p>19 reflecting the embedded cost of study,</p> <p>20 embedded Cost of Service or are they</p> <p>21 reflecting some marginal cost, I haven't</p> <p>22 studied that.</p> <p>23 BROWNE, Q.C.:</p> <p>24 Q. Just taking you on another level, a reference</p> <p>25 to this issue, is the demand energy rate</p>	<p>1 proposed by Hydro in Exhibit RDG-2 a typical</p> <p>2 rate form for sales of electricity to a</p> <p>3 wholesale customer such as Newfoundland Power?</p> <p>4 MR. CHYMKO:</p> <p>5 A. I would say what I've seen is more a single</p> <p>6 demand rate with some ratcheting and generally</p> <p>7 one energy block. So I would say no, it's not</p> <p>8 as consistent with some of the rate structures</p> <p>9 that I've seen.</p> <p>10 BROWNE, Q.C.:</p> <p>11 Q. Can you cite similar utilities that are</p> <p>12 subject to an energy only rate?</p> <p>13 MR. CHYMKO:</p> <p>14 A. I can't, other than the ones that have been</p> <p>15 discussed.</p> <p>16 MS. TABONE:</p> <p>17 A. And I've thought about that a little bit and</p> <p>18 in terms of a wholesale tariff, I don't think</p> <p>19 we've seen any that are energy only rates.</p> <p>20 However, we have seen some wholesale contracts</p> <p>21 that are energy only rates. And those</p> <p>22 contracts are generally, in one case we helped</p> <p>23 a client negotiate a contract where it was</p> <p>24 flat block of energy for a flat energy price.</p> <p>25 So they got, in this case I think it was 50</p>

<p style="text-align: right;">Page 53</p> <p>1 MS TABONE:</p> <p>2 megawatt block of power, 50 megawatts in every</p> <p>3 single hour. In that case they knew the load</p> <p>4 factor, it was the same all the time and they</p> <p>5 had a flat energy rate. In other cases we've</p> <p>6 gotten proposals from various utilities or</p> <p>7 marketing firms for wholesale power prices</p> <p>8 that are what they consider a melded energy</p> <p>9 rate. Again, it's an energy only rate, but</p> <p>10 that is contingent upon having a set hourly</p> <p>11 load shape. So, for example, they would</p> <p>12 request an hour load shape from the purchaser</p> <p>13 and say for this hourly load shape this is</p> <p>14 your price. And maybe it's \$25.00 a megawatt</p> <p>15 hour as long as you stick to this exact load</p> <p>16 shape over the entire year. To the extent</p> <p>17 that you deviate from that load shape up or</p> <p>18 down, you're subject to market prices. So the</p> <p>19 only times we've seen an energy only rate is</p> <p>20 when it's a load factor or load shape that</p> <p>21 cannot vary. In this case, there is no fixed</p> <p>22 load factor or load shape that is relied upon</p> <p>23 in setting that rate and it's an energy only</p> <p>24 rate for a load that can vary quite a bit.</p> <p>25 BROWNE, Q.C.:</p>	<p style="text-align: right;">Page 54</p> <p>1 Q. So in your view, an energy only rate wouldn't</p> <p>2 be applicable in this jurisdiction for the</p> <p>3 reasons you just cited.</p> <p>4 MS. TABONE:</p> <p>5 A. That's right.</p> <p>6 BROWNE, Q.C.:</p> <p>7 Q. As you know, Newfoundland has a substantial</p> <p>8 portion of hydro in its generation mix, can</p> <p>9 you cite any jurisdictions with a large</p> <p>10 proportion of hydro where the retail</p> <p>11 distribution, the utility, is subject to a</p> <p>12 demand energy rate?</p> <p>13 MS. TABONE:</p> <p>14 A. I think in British Columbia that would be a</p> <p>15 good example. Again, there's BC Hydro that</p> <p>16 sells to, I guess it's Aquila, soon to be</p> <p>17 Fortis, on a wholesale contract basis that has</p> <p>18 both demand and energy components, as well as</p> <p>19 separate transmission rate that is demand</p> <p>20 only. Bonneville Power in our neck of the</p> <p>21 woods, again, is primarily hydro. They have a</p> <p>22 nuclear plant as well. They sell to hundreds</p> <p>23 of municipal utilities, public utility</p> <p>24 districts. They actually have a very complex</p> <p>25 wholesale tariff that has a demand rate that</p>
<p style="text-align: right;">Page 55</p> <p>1 differs by every month and has both an on peak</p> <p>2 and off peak energy rate that differs by every</p> <p>3 month. So they're very sophisticated in</p> <p>4 sending the price signals to their wholesale</p> <p>5 customers. We've worked for some other</p> <p>6 utilities in Montana that buy from other</p> <p>7 sources that might have some hydro, not</p> <p>8 predominantly hydro. We've seen it quite a</p> <p>9 bit in our work.</p> <p>10 BROWNE, Q.C.:</p> <p>11 Q. So in British Columbia, in Aquila's instance</p> <p>12 if Fortis were to carry through and acquire</p> <p>13 that company, that company has a demand energy</p> <p>14 rate.</p> <p>15 MS. TABONE:</p> <p>16 A. Yes, it does.</p> <p>17 BROWNE, Q.C.:</p> <p>18 Q. In your view, why should a demand component be</p> <p>19 included in a wholesale rate? What would the</p> <p>20 reason for it be?</p> <p>21 MR. CHYMKO:</p> <p>22 A. I guess it comes back to the two issues I</p> <p>23 mentioned before. One was an equity issue</p> <p>24 between customers -</p> <p>25 BROWNE, Q.C.:</p>	<p style="text-align: right;">Page 56</p> <p>1 Q. Fairness.</p> <p>2 MR. CHYMKO:</p> <p>3 A. Fairness, yes. And the second would be in</p> <p>4 regard to a price signal. And, again, trying</p> <p>5 to get a price signal to the customer.</p> <p>6 BROWNE, Q.C.:</p> <p>7 Q. Why is it important to give the customer a</p> <p>8 price signal?</p> <p>9 MR. CHYMKO:</p> <p>10 A. I think at the end of the day there's two</p> <p>11 parts to the system. One is supply and</p> <p>12 planning for supply and the second is what's</p> <p>13 the customer going to take at the end of the</p> <p>14 day. And if you want to move towards better</p> <p>15 resource management, conservation, energy</p> <p>16 management, the customer has to be receiving a</p> <p>17 signal that matches the supply side.</p> <p>18 BROWNE, Q.C.:</p> <p>19 Q. Hydro has other customers, Newfoundland Power</p> <p>20 is not its only customer. The fact that there</p> <p>21 is no demand component in the wholesale power</p> <p>22 rate to Newfoundland Power, is that unfair to</p> <p>23 Hydro's other customers, in your view?</p> <p>24 MR. CHYMKO:</p> <p>25 A. Yes, that's what I believe to be the equity</p>

Page 57	Page 58
<p>1 MR. CHYMKO: 2 issue. If I can use the terminology that 3 Hydro is really selling to two DISCOS, one 4 being the remaining customers other than the 5 other DISCO, being Newfoundland Power. 6 BROWNE, Q.C.: 7 Q. In terms of the primary reason for including a 8 demand component in the rate to reflect cost 9 that power imposes on the system, is the 10 primary reason to reflect cost rather than to 11 promote demand energy, demand management or 12 are both these reasons? 13 MR. CHYMKO: 14 A. I would say it's for both reasons. 15 MS. TABONE: 16 A. What it really is, again, looking at embedded 17 cost, that's the equity issue and trying to 18 look at the fairness between customers, and 19 again, if you have a rate that is set now for 20 one test year and then the shape changes 21 between the two DISCOS so to speak, then 22 there's an equity problem. But then also it's 23 not just, you know, demand side measurements, 24 it's trying to defer costs in the future. 25 Whether you do that by demand side management</p>	<p>1 or whatever, it's deferring the next 2 generation cost which is the efficiency issue. 3 (10:15 a.m.) 4 BROWNE, Q.C.: 5 Q. So the fact that whether or not Hydro forecast 6 a need for additional capacity in the near 7 future, that is not really the issue? 8 MS. TABONE: 9 A. It's not the only issue, it is an issue to 10 consider. 11 BROWNE, Q.C.: 12 Q. Should a demand energy rate be introduced 13 regardless of whether or not Hydro has 14 undertaken a marginal cost study? 15 MR. CHYMKO: 16 A. Yes, again, we believe that in 2004 strides 17 should be taken to put in place a 18 conservative, what we call a conservative 19 demand energy rate, until we can get through 20 and we would recommend an integrated resource 21 plan process and then a marginal study. 22 BROWNE, Q.C.: 23 Q. So you see it in the steps first put in the 24 demand energy rate and what would your second 25 step be?</p>
Page 59	Page 60
<p>1 MR. CHYMKO: 2 A. The first step would be put in an initial 3 demand energy rate. We would try and be 4 conservative. The second step would be 5 looking at an integrated resource plan. And 6 the third step would then be following through 7 with a marginal study. And then the fourth 8 step is then coming back and tweaking the 9 demand energy rate. 10 BROWNE, Q.C.: 11 Q. And the demand energy rate, how often would it 12 have to be tweaked, in your view? 13 MR. CHYMKO: 14 A. Well, again, it's going to depend on how often 15 the costs are changing and where we start. 16 And that's the concern we have. If we start 17 at \$7.00, perhaps that might be high if Hydro 18 will not have a rate review for a period of 19 time. Perhaps there won't be an opportunity 20 to update and see where we are to ensure that 21 the customers are getting the right signal. 22 And we would hate to see the customer get a 23 signal and then we change it just when they're 24 going to start to take action. It's going to 25 take sometime for customers to get on board</p>	<p>1 and react to some of the price signals. So 2 even though if we put a rate out tomorrow, 3 people aren't going to react over night. 4 BROWNE, Q.C.: 5 Q. When you say customers, do you mean the 6 ultimate end-user? 7 MR. CHYMKO: 8 A. I'm assuming the end customer, that's right. 9 BROWNE, Q.C.: 10 Q. Well, what options are available to 11 Newfoundland Power to pass such a signal on to 12 its customers? 13 MR. CHYMKO: 14 A. There's two groups of customers, one being 15 their own DISCO customers, if I can use that 16 term. And, again when it comes to the small 17 residential, very tough to put in place a 18 demand energy because of the cost of metering 19 and those types of things. When we come to 20 the larger customer such as Hydro or Power, 21 Newfoundland Power, we would suggest that they 22 have some opportunities to--and we don't know 23 how they might react to a demand energy rate 24 or the end result of their customers, but I 25 think that would be dealt with in another</p>

Page 61

Page 62

1 MR. CHYMKO:
2 form, not this form.

3 MS. TABONE:
4 A. And I think you could do it both in rate
5 design--you could do rate design for the non-
6 demand metered customers, like for those
7 having a seasonal rate or something that would
8 be easier to implement, but you could also
9 look at whether it was cost effective to spend
10 money on demand management programs where the
11 utility may itself undertake to pay for
12 facilities or measures that would reduce
13 customer loads. So it's not just the pricing
14 though making the customer respond, but
15 Newfoundland Power can do some of its own
16 activity if it's cost effective.

17 BROWNE, Q.C.:
18 Q. So, in jurisdictions within your experience
19 where they have a demand energy rate, are
20 seasonal rates common?

21 MS. TABONE:
22 A. Seasonal rates are very common. Both because
23 of seasonal differences on energy only type
24 crisis like cost of fuel, but also to reflect
25 the fact your peaking facilities or your

1 demand related costs are incurred, you know,
2 in the--usually the winter months and the
3 jurisdictions we work in. Sometimes it's
4 summer.

5 BROWNE, Q.C.:
6 Q. You mentioned Aquila before. Do they have
7 seasonal rates, do you know?

8 MR. CHYMKO:
9 A. No, I don't know.

10 BROWNE, Q.C.:
11 Q. Is it fair to say--we've been discussing this
12 demand energy issue here in this province.
13 According to the evidence I think it began in
14 1989 and here we are 15 years later. In your
15 opinion, is it fair to say that because this
16 jurisdiction has only had the energy only
17 rate, that electricity customers in this
18 province have missed out on a potential means
19 for reducing their bills and indeed, the
20 overall cost of power in the province, we've
21 lost out on opportunities here.

22 MR. CHYMKO:
23 A. Again, we haven't studied that but we would
24 have to assume that perhaps they haven't been
25 receiving the price signal in regard to making

Page 63

Page 64

1 the best economic decisions. And again, we
2 hear the growth that's coming about, for
3 instance, in regard to electric heat.

4 MS. TABONE:
5 A. And, also, you know, in the work we've done on
6 demand side management, demand side planning,
7 we often see discussion of a lost opportunity
8 when there are new homes built, new businesses
9 put in. Once you decide on a fuel choice or
10 the amount of weatherization in the home, the
11 type of lighting in the commercial business,
12 you've made the capital investment. You're
13 not going to go whip it out a year later.
14 It's always easier to make those changes when
15 a new facility or a new home is being built.

16 BROWNE, Q.C.:
17 Q. So, how would those choices tie in with the
18 introduction into the jurisdiction of demand
19 energy rate, can you expand upon that
20 somewhat? What is the connector here?

21 MS. TABONE:
22 A. Again, on some of the larger customers, they
23 already have a demand energy rate so maybe
24 they've got the right pricing though again we
25 haven't studied that. For residential, let's

1 say you took the demand energy rate on the
2 wholesale basis and you used that to develop a
3 seasonal rate, it may change the pricing
4 decision as to how much it cost to put in base
5 load electric heat versus fuel oil heat, yes,
6 I'm not sure if people put in heat pumps out
7 here, but you know, other sources may change
8 the economics of that and may make a different
9 decision.

10 BROWNE, Q.C.:
11 Q. On page 3 of lines 22 to 28 of Mr. Banfield's
12 pre-filed evidence, can we go to that, Mr.
13 O'Reilly, please. Okay, lines 22 to 28, he
14 states that "An energy and demand structure be
15 implemented once a number of important issues
16 are resolved, including the degree of risk to
17 be assumed by Hydro and appropriate weather
18 normalization methodology, the treatment of
19 Newfoundland Power generation and appropriate
20 costing and building determinants." And can
21 solutions, in your opinion, be found for all
22 of these issues in time for implementation of
23 a demand energy rate. Should we resolve these
24 issues and then introduce a demand energy rate
25 or in your view, can these issues that he

Page 65

Page 66

1 BROWNE, Q.C.:
 2 mentions here be resolved, say, if we wanted
 3 to introduce a demand energy rate by April 1
 4 or May 1 of 2004, can the--a lot of these
 5 issues be resolved in your opinion?
 6 MR. CHYMKO:
 7 A. I believe that's the issues that we've got
 8 before the Board in regard to trying to do the
 9 balance between what might be the volatility
 10 as a result of the demand energy, and if
 11 there's some volatility, how might that be
 12 dealt with within the band of return or on the
 13 financial side and I just don't want to go
 14 there. But again, that is the role of the
 15 Board, is to be balancing some of these
 16 factors. And what I, you know, say in my
 17 introduction is I believe that we've got
 18 enough information that if we're conservative,
 19 we can move forward to get the process started
 20 in 2004.
 21 BROWNE, Q.C.:
 22 Q. So it's your view that in 2004, if this Board
 23 is willing, that a demand energy rate could be
 24 implemented in this province?
 25 MR. CHYMKO:

Page 67

Page 68

1 rate, with some protection, through ratchets,
 2 and perhaps not moving away from the weather
 3 normalization, I'm not sure, at the end of the
 4 day, that the energy rate would be better.
 5 BROWNE, Q.C.:
 6 Q. He states that the second bullet there, the
 7 energy only rate, barely recovers Hydro's cost
 8 of service revenue requirement from
 9 Newfoundland Power. Is that a factor that
 10 should be considered or is that your opinion?
 11 MR. CHYMKO:
 12 A. No matter what rate that you have, you want to
 13 attempt to recover your revenue requirement.
 14 BROWNE, Q.C.:
 15 Q. So all these jurisdictions out there with
 16 demand energy rates, they are able to recover
 17 their revenue. I guess a lot of those are
 18 publicly listed companies, are they?
 19 MR. CHYMKO:
 20 A. Yes, again you put your--you have--you set
 21 your revenue requirement and you establish a
 22 set of rates around that and again, depending
 23 on the volatility in your jurisdiction, those--
 24 -that type of volatility or what might fall
 25 out of the difference between the collection

1 A. A demand energy rate could be implemented,
 2 yes.
 3 BROWNE, Q.C.:
 4 Q. In reference to the--a comparison of the
 5 energy only rate and the sample rate, Mr.
 6 Brockman in his evidence gives--using what he
 7 calls principles of good rate design, makes
 8 some conclusions about the benefits of the
 9 energy only rate, versus the sample rate or
 10 the demand energy rate. Can we just go to
 11 those, please? You'll find them on the
 12 evidence of September 2, 2003 in the summary.
 13 Okay, you have it there. Okay, I'm just going
 14 to go down through some of these bullets
 15 because I'd like your opinions on them. And
 16 Mr. Brockman says, "After reviewing the energy
 17 only rate compared to the sample rate using
 18 generally accepted principles of good rate
 19 design, I make the following conclusions.
 20 One, the energy only rate is superior to the
 21 sample rate in collecting revenue requirements
 22 for a fair return." Do you have any comments
 23 on that, is that your conclusion?
 24 MR. CHYMKO:
 25 A. We believe that the design of a demand energy

1 of revenue and what's required, perhaps some
 2 of that adjustment is handled. And we believe
 3 in a lot of jurisdictions, that is handled
 4 through the financial side or through the
 5 issue of Rate of Return.
 6 BROWNE, Q.C.:
 7 Q. So this volatility issue that's been raised by
 8 Newfoundland Power as one of the reasons that
 9 they are having difficulty with the demand
 10 energy rate, that's not unique to this
 11 jurisdiction?
 12 MR. CHYMKO:
 13 A. No, it's not.
 14 BROWNE, Q.C.:
 15 Q. And other jurisdictions and other companies
 16 learn to cope with it and to deal with it, in
 17 your opinion?
 18 MR. CHYMKO:
 19 A. They face similar issues.
 20 BROWNE, Q.C.:
 21 Q. The next bullet he's -
 22 MR. CHYMKO:
 23 A. If I might add, I think a lot of utilities are
 24 seeing, perhaps a bit more volatility. I
 25 think that's the utility business and with

Page 69	Page 70
<p>1 MR. CHYMKO: 2 pressures from regulators, people wanting to 3 do things differently, I think you're starting 4 to see more volatility for utilities on a go- 5 forward basis. 6 BROWNE, Q.C.: 7 Q. And I guess if you look into certain areas of- 8 -into the United States, there are competitive 9 forces there that are really not at play here, 10 aren't there? 11 MR. CHYMKO: 12 A. Well, in Alberta, as an example, our 13 generation market is wide open. We do not 14 have any regulated generation at all. 15 Transmission and distribution is regulated and 16 we've had to work through that process of now 17 how to get some stability back for the 18 customer and trying to get the customer on 19 board that, yes, we better go back and sign 20 some contracts. We shouldn't be sitting and 21 taking a spot price all the time. But again, 22 that's a change in market that's happening out 23 there. 24 BROWNE, Q.C.: 25 Q. So market force is--different market forces</p>	<p>1 are at play there which are not particular to 2 this jurisdiction because we're on an island 3 and relatively sheltered from - 4 MR. CHYMKO: 5 A. And you still got integrated, fully regulated 6 utilities. 7 BROWNE, Q.C.: 8 Q. So anywhere, I guess the volatility would be 9 more there, than probably what is going to be 10 experienced here, in your view? 11 MR. CHYMKO: 12 A. But there are some regulated utilities that 13 are getting pushed, I would say to, because of 14 market conditions, are facing more and more 15 volatility. 16 BROWNE, Q.C.: 17 Q. The third bullet that Mr. Brockman cites is a 18 demand energy rate, fairly apportioned cost 19 between Hydro's Industrial customers, but is 20 not needed for Newfoundland Power since it is 21 the only customer in its class. Is that a 22 good reason for not implementing a demand 23 energy rate or what are your views on that? 24 MR. CHYMKO: 25 A. We believe the demand energy rate is required</p>
Page 71	Page 72
<p>1 to ensure that there is equity or fairness 2 between the Newfoundland Power DISCO and 3 Newfoundland Hydro DISCO, the remaining 4 customers. 5 BROWNE, Q.C.: 6 Q. How is that unfair now, therefore, in your 7 view? 8 (10:30 a.m.) 9 MR. CHYMKO: 10 A. I think it's--becomes unfair the longer that 11 rates are not reviewed. So if there is a 12 shift in load from--or load shape between 13 customers in one utility versus another, 14 you're leveraging--you're starting off of the 15 cost of service, you're setting some numbers; 16 but if you don't review that for a period of 17 time, and one of the utilities, as a result of 18 their customers changing shape, costs could be 19 askewed. So again, that would be one of the 20 issues. So again, part of it comes back to, 21 the degree would be how often do you come back 22 for rate review. 23 BROWNE, Q.C.: 24 Q. The next bullet he states that "The current 25 energy only rate is superior to the sample</p>	<p>1 rate in promoting energy efficiency. And 2 inappropriate emphasis and demand charges and 3 the sample rate design contributes to 4 inefficiency in the sample rate energy 5 charges." Is that correct in your view or do 6 you have an opinion on that? 7 MR. CHYMKO: 8 A. I guess it's tough to talk to this point in 9 isolation. And I've seen what reaction there 10 would be to be putting in place a demand 11 energy rate at the retail level. You would 12 expect that there--the pricing signals would 13 change. But again, we've heard that 14 Newfoundland Power has tried to build some of 15 that into their rates. So how they might 16 react, I don't know. But we would expect that 17 if you put in a demand energy rate, there 18 would be a change in retail rates. 19 MS. TABONE: 20 A. And can I add something to that. There's been 21 a lot of talk about the energy only rate, if 22 you don't have a demand charge as comparable 23 to the marginal cost of energy. But then 24 you're left with a demand rate that's not 25 equal to the marginal cost of demand. And</p>

Page 73	Page 74
<p>1 MS. TABONE:</p> <p>2 when you're using marginal cost, generally</p> <p>3 marginal cost is higher than embedded cost on</p> <p>4 an overall basis. And so, you have to--if you</p> <p>5 design a marginal cost rate, there's some</p> <p>6 point at which they have to be reduced to</p> <p>7 match embedded costs. So you can't have a</p> <p>8 marginal cost signal on both energy and a</p> <p>9 marginal cost signal on demand and still match</p> <p>10 embedded costs without overcharging, you know,</p> <p>11 at least in the case where marginal costs are</p> <p>12 higher than embedded costs.</p> <p>13 So again, this idea of, you know, they</p> <p>14 want energy efficiency, you know, on the</p> <p>15 energy side, is ignoring the marginal cost of</p> <p>16 demands.</p> <p>17 BROWNE, Q.C.:</p> <p>18 Q. You mentioned marginal costs and given the</p> <p>19 competing objectives, I guess and rate design,</p> <p>20 is it common to reflect marginal demand costs</p> <p>21 in rate design?</p> <p>22 MS. TABONE:</p> <p>23 A. I mean, just as common as it is to reflect</p> <p>24 marginal costs in energy rate design, usually</p> <p>25 rates are designed on the basis of embedded</p>	<p>1 costs. You'll sometimes use marginal cost to</p> <p>2 maybe split out demand versus energy or time</p> <p>3 of use rates between energy blocks, things</p> <p>4 like that; but you can't drive, you know, the</p> <p>5 entire rate on a marginal cost basis if you're</p> <p>6 working on embedded costs.</p> <p>7 Of course, if you're a power marketer,</p> <p>8 your price may be fully based on your margin</p> <p>9 cost plus something because you're just going</p> <p>10 to go in and buy some power, you're going to</p> <p>11 build a new resource, you're going to pass on</p> <p>12 that cost with some profit to the next guy.</p> <p>13 You're not going to roll in all of your</p> <p>14 cheaper resources.</p> <p>15 BROWNE, Q.C.:</p> <p>16 Q. And the next bullet he uses, it states, "The</p> <p>17 energy only rate allows Hydro and Newfoundland</p> <p>18 Power to optimize the use of their hydraulic</p> <p>19 and thermal generation resources. The</p> <p>20 proposed sample rate would send and</p> <p>21 inappropriate pricing signal that would</p> <p>22 encourage Newfoundland Power to modify its</p> <p>23 hydraulic storage patterns to reduce cost.</p> <p>24 Newfoundland Power indicates that the storage</p> <p>25 modification would increase the likelihood of</p>
Page 75	Page 76
<p>1 spillage and result in less than optimal use</p> <p>2 of generation resources." Can you give us</p> <p>3 your opinion on that?</p> <p>4 MR. CHYMKO:</p> <p>5 A. Again, that perhaps is a possibility, but I</p> <p>6 think, as we've heard, we're operating under</p> <p>7 the Energy Act in the province of utilization</p> <p>8 of the best resources. And perhaps what you</p> <p>9 need to do in the sample rate or in a rate</p> <p>10 example is to control the generation credit so</p> <p>11 that you do not give a generation credit if</p> <p>12 the resource is not available. So perhaps</p> <p>13 there has to be some type of notification</p> <p>14 going between the utilities and if that</p> <p>15 generation is not available for these times,</p> <p>16 they don't get the full generation credit.</p> <p>17 BROWNE, Q.C.:</p> <p>18 Q. Would that be common within your experience in</p> <p>19 order to control that factor? Can you cite</p> <p>20 what they do in other jurisdictions, either of</p> <p>21 you?</p> <p>22 MR. CHYMKO:</p> <p>23 A. There are--I know in Alberta that certainly we</p> <p>24 had economic dispatch. Initially it was</p> <p>25 controlled and there was coordination between</p>	<p>1 the utilities, but that moved into basically</p> <p>2 one organization being responsible for</p> <p>3 economic dispatch, and going forward with the</p> <p>4 utilization of facilities, there are</p> <p>5 penalties, performance penalties to look after</p> <p>6 that. So as you move -</p> <p>7 BROWNE, Q.C.:</p> <p>8 Q. When you refer to penalties, can you expand</p> <p>9 upon that?</p> <p>10 MR. CHYMKO:</p> <p>11 A. Basically if you're saying that you have to</p> <p>12 produce a certain amount or a certain amount</p> <p>13 over a period of time, and you're not</p> <p>14 available there to do it when you're</p> <p>15 requested, not only do you not get paid, but</p> <p>16 you get to be paying a penalty as well.</p> <p>17 BROWNE, Q.C.:</p> <p>18 Q. What kind of penalty?</p> <p>19 MR. CHYMKO:</p> <p>20 A. A performance penalty.</p> <p>21 BROWNE, Q.C.:</p> <p>22 Q. And that would be imposed by the regulator?</p> <p>23 MR. CHYMKO:</p> <p>24 A. Right now we sort of moved our regulated</p> <p>25 generation into commercial light contracts, so</p>

Page 77

Page 78

1 MR. CHYMKO:
 2 it would be in a commercial contract, but I
 3 would say it's very close to the old regulated
 4 world for generation.
 5 BROWNE, Q.C.:
 6 Q. So this factor that's cited here is something
 7 that has been addressed in other
 8 jurisdictions, basically?
 9 MR. CHYMKO:
 10 A. Yes.
 11 BROWNE, Q.C.:
 12 Q. The next bullet, "Newfoundland Power's current
 13 rate design recently reflect the Island
 14 Interconnected System of cost of demand and
 15 energy and the sample rate will not change
 16 Newfoundland Power's rate designs." Any
 17 comments on that?
 18 MR. CHYMKO:
 19 A. Well, it reflects--I would just say that we're
 20 not sure what Newfoundland Power might do and
 21 yes, their costs do reflect the demand and
 22 energy cost to Newfoundland Power because they
 23 are clawing back or collecting the revenue
 24 that needs to be collected.
 25 BROWNE, Q.C.:

Page 79

1 be true, but we haven't seen the evidence, so
 2 it's just a -
 3 BROWNE, Q.C.:
 4 Q. They say next that, "The sample rate will
 5 encourage Newfoundland Power to spend up to
 6 \$84.00 per kilowatt to reduce peak demand when
 7 Hydro's provided evidence that \$28.20 per
 8 kilowatt is too much to pay for peak demand
 9 reduction to Interruptible rates, any comment
 10 on that?
 11 A. Well I guess that's where we're trying to
 12 introduce maybe we don't go to the \$84.00
 13 initially, that maybe there's some common
 14 ground in the \$4.00 range. So again, you've
 15 got your \$4.00 range versus the, you know,
 16 \$48.00 versus the \$28.00. I'm not sure what
 17 more I could add on that.
 18 MS. TABONE:
 19 A. Well I think the other issue is that the
 20 Interruptible B rate is being discontinued
 21 because it's not needed right now. The demand
 22 energy rate, everybody's talked about it,
 23 should be based on a long-run marginal cost
 24 and if you base it on a short-run marginal
 25 cost, you'd probably charge them only for fuel

1 Q. But the way they will react if the Board
 2 implements a demand energy charge, that's
 3 within their bailiwick?
 4 MR. CHYMKO:
 5 A. That's exactly, different form.
 6 BROWNE, Q.C.:
 7 Q. The bullet on the next page, the top of it,
 8 says, "There is no evidence to support
 9 additional cost effected demand management on
 10 Newfoundland Power's system. The available
 11 evidence indicates that demand management
 12 would have little effect on Hydro's future
 13 generation plans." Any comments on that?
 14 MR. CHYMKO:
 15 A. I think this is the heart of the integrated
 16 resource plan, going back, I guess we've heard
 17 in the proceedings that there has been some
 18 work done on the supply side with the Granite
 19 study in regard to maybe knowing where we
 20 might be going with the supply cost, but
 21 certainly we haven't heard that there's been
 22 anything that's been brought before this Board
 23 in regard to Demand Side Management or the
 24 demand component, so I think it has to be
 25 studied and at the end of the day, that might

Page 80

1 at Holyrood, which is effectively what the
 2 rate is doing, but that's really not giving
 3 them any benefit of the existing Hydro system,
 4 for example. So I think it really is two
 5 different things. It's short-term versus
 6 long-term.
 7 BROWNE, Q.C.:
 8 Q. The next one they say, I guess this is a bit
 9 repetitive, "The energy only rate creates a
 10 more stable revenue stream for both Hydro and
 11 Newfoundland Power than the sample rate. The
 12 energy only rate, therefore, avoids the cost
 13 of dealing with additional revenue volatility.
 14 There are no benefits to customers of imposing
 15 additional revenue volatility on Newfoundland
 16 Power." You've addressed the issue of
 17 volatility and other jurisdictions, in your
 18 opinion, deal with that?
 19 MR. CHYMKO:
 20 A. That's correct, and again, depending on the
 21 demand energy rate that's put in around
 22 protection of, perhaps leaving in the weather
 23 normalization for a period of time, the
 24 ratcheting, perhaps it won't be any more
 25 volatile than what the energy only rate is.

Page 81

1 BROWNE, Q.C.:
 2 Q. And this volatility that they're referring to,
 3 I guess it would be volatility for their
 4 shareholder, but is the volatility they're
 5 referring to down to the end-user, the
 6 customer and how do customers cope within your
 7 experience, if there is such volatility?
 8 MR. CHYMKO:
 9 A. Well, again, I guess going through to the end-
 10 customer, we've got the RSP that adjusts and
 11 flows through to customers and there is some
 12 stability around the impact on customers. I'm
 13 not sure at times they might be getting the
 14 right price signal soon enough to be able to
 15 react or do something different, but there is
 16 some protection only from levelizing or a rate
 17 stability point of view. In other
 18 jurisdictions, I can use the example in
 19 Alberta, we opened up the market, things
 20 didn't go very well. Government put in a
 21 price cap in an unregulated market and then we
 22 ended up having a significant amount of
 23 deferral cost to be collected. We went into
 24 election, regulation was passed and said,
 25 oops, you can't collect that for a couple of

Page 83

1 understanding, how they're taking power, are
 2 managing, so I'm not sure if there's much more
 3 of a price signal or a metering impact type of
 4 billing impact that would be going to
 5 customers or different customers. I think
 6 what we're talking about here is what's the
 7 price signal that's built into those terms.
 8 BROWNE, Q.C.:
 9 Q. Okay, just in summary two questions, do you
 10 recommend that this Board direct Hydro to
 11 implement a demand energy rate following this
 12 particular hearing?
 13 MR. CHYMKO:
 14 A. We suggest that, I guess to get kick started
 15 that yes, something come out of this 2004
 16 hearing. We would suggest it be conservative,
 17 but we believe you should move forward.
 18 BROWNE, Q.C.:
 19 Q. And do you recommend that the Board revisit
 20 the demand energy rate from time to time in
 21 the future and that adjustments will be
 22 required to reflect new costs and system
 23 information as it becomes available?
 24 MR. CHYMKO:
 25 A. Yes, I think that's mandatory going forward

Page 82

1 years. But at the end of the day and I think
 2 we go well into 2004 before some 2000 and 2001
 3 costs are collected, but basically at the end
 4 of the day, they're all collected from the
 5 customer.
 6 BROWNE, Q.C.:
 7 Q. And in terms of volatility in reference to the
 8 customer right into people's homes, and I
 9 guess this ties in with the next one that they
 10 say, "Both the sample rate and the energy only
 11 rate are understandable for a large customer
 12 such as Newfoundland Power. However, the
 13 energy only rate is more practical to
 14 administer because it is less complicated."
 15 From the end-user perspective, what are your
 16 comments on that in reference to other
 17 jurisdictions?
 18 MR. CHYMKO:
 19 A. Well I think the end-user at the end of the
 20 day really doesn't see the wholesale rate.
 21 What they're going to see at the end of the
 22 day will be the retail rates, and again, that
 23 comes down to a lot of customers metering as
 24 in place and a lot of places today for demand
 25 energy. As you move up, the bigger customer's

Page 84

1 that rate reviews and changes in conditions,
 2 whether it's on the supply side or on the
 3 demand side.
 4 BROWNE, Q.C.:
 5 Q. Thank you, that concludes my cross-
 6 examination.
 7 CHAIRMAN:
 8 Q. Thank you, Mr. Browne, thank you Ms. Tabone,
 9 Mr. Chymko. Good morning, Mr. Kelly.
 10 (10:45 a.m.)
 11 KELLY, Q.C.:
 12 Q. Good morning, Chair. Good morning panel.
 13 Since we're on the demand energy rate issue,
 14 let's stay with that one for the time being.
 15 We talk about the energy only rate and a
 16 demand energy rate sometimes as if they're two
 17 distinct things, but really what we're talking
 18 about here is where should there be--what
 19 level of demand charge should there be?
 20 Should it be zero at one end of the scale or
 21 some other number along the scale, is that
 22 essentially correct?
 23 MR. CHYMKO:
 24 A. That's right, we're breaking down, I guess the
 25 product, you're receiving two products, one is

Page 85

Page 86

1 MR. CHYMKO:
 2 on the demand side and one is on the energy,
 3 and yes, there will be a range, depending on
 4 what rate we are.
 5 KELLY, Q.C.:
 6 Q. So what we're talking about is a discontinuum
 7 as to possible options?
 8 MR. CHYMKO:
 9 A. Yes.
 10 KELLY, Q.C.:
 11 Q. Now, as I understand what you did in your
 12 compromise rate, you took the embedded cost of
 13 transmission and added to that the now
 14 discontinued Interruptible B rate, is that
 15 essentially correct?
 16 MR. CHYMKO:
 17 A. That was one of the options that we looked at.
 18 We also looked at just taking the total amount
 19 in the sample rate that was put before us and
 20 again the Interruptible, and we came to a
 21 number similar to that. So we sort of looked
 22 at it from two ways. We don't want to be
 23 locked in and say that, you know, this is the
 24 only way to do it, but we felt comfortable
 25 taking the transmission component from the

1 embedded and then adding that.
 2 KELLY, Q.C.:
 3 Q. So you looked at an embedded cost for the
 4 transmission and you looked at this
 5 Interruptible rate which is now, I take it
 6 you're aware this is being discontinued by
 7 Hydro?
 8 MR. CHYMKO:
 9 A. Yes.
 10 KELLY, Q.C.:
 11 Q. So Hydro currently has valued that
 12 Interruptible value at zero, they haven't
 13 agreed to extend it?
 14 MR. CHYMKO:
 15 A. That's true.
 16 KELLY, Q.C.:
 17 Q. Did you factor that into your thinking?
 18 MR. CHYMKO:
 19 A. Again we considered that and again, we're
 20 thinking of where we might get to with a
 21 Marginal Cost Study and looking on a longer-
 22 term basis.
 23 KELLY, Q.C.:
 24 Q. Okay, now, that's kind of where I wanted to go
 25 next. You seemed--if I understand you

Page 87

Page 88

1 correctly, you don't--you're not saying that a
 2 Marginal Cost Study is not something that
 3 should be done? In fact, what I hear you
 4 saying is that it should be done.
 5 MR. CHYMKO:
 6 A. We would agree with that.
 7 KELLY, Q.C.:
 8 Q. Could you explain why? In summary answer.
 9 MR. CHYMKO:
 10 A. I guess it will balance the need--first of
 11 all, we'll look at the need for supply, we'll
 12 look at the demand side and then we will be
 13 able to determine pricing signals that bring
 14 forward most efficient use of resources.
 15 KELLY, Q.C.:
 16 Q. So if we're going to have the most efficient
 17 use of resources, if we want our rates to
 18 establish efficiency, then we really need to
 19 do that Marginal Cost Study, would you agree
 20 with that?
 21 MR. CHYMKO:
 22 A. Well, I guess it's how far you go with it and
 23 how far you have to tweak it at the end of the
 24 day. We believe that there needs to be at
 25 least a resource plan done to balance that,

1 and then from there into the marginal, is that
 2 very quick, is it very detailed, and again,
 3 we'll have the debate over what are the right
 4 numbers that are coming out of that.
 5 KELLY, Q.C.:
 6 Q. What do marginal costs tell us and maybe you
 7 could answer the question by addressing long-
 8 term marginal or incremental costs and short-
 9 term costs?
 10 MR. CHYMKO:
 11 A. Well I guess the long-run marginal, you're
 12 looking at the impacts of lumpy large units
 13 that you're going to be adding at one time.
 14 And what you're trying to do is also looking
 15 at technology and are there going to be some
 16 innovative things that are going to be
 17 impacting, so again, you're trying to
 18 determine over a period of time signals or
 19 costs that you want to pass those signals on
 20 to customers.
 21 KELLY, Q.C.:
 22 Q. And on the short-term basis, short-run
 23 marginal costs will give us the cost of the
 24 next incremental unit of either demand or
 25 energy, and usually in the short-run we're

<p style="text-align: right;">Page 89</p> <p>1 KELLY, Q.C.: 2 talking about energy, aren't we, correct? 3 MR. CHYMKO: 4 A. Right, today we're talking of variable costs, 5 yes, okay. 6 KELLY, Q.C.: 7 Q. And in the long run we're going to look at the 8 long-run incremental costs of adding demand or 9 energy? 10 MR. CHYMKO: 11 A. We would look at both of them. 12 KELLY, Q.C.: 13 Q. You would need to look at both of them. And 14 that would enable you then to set rates which, 15 I take it you would want then translated 16 through to the end-use consumer? 17 Appropriately reflected to the end-use 18 consumer? 19 MR. CHYMKO: 20 A. That's true. 21 KELLY, Q.C.: 22 Q. Right. And I take it from your answers, that 23 you haven't looked at NP's rate design to see 24 if there's anything that can be improved in 25 terms of efficiency in those?</p>	<p style="text-align: right;">Page 90</p> <p>1 MR. CHYMKO: 2 A. We haven't done a detailed review of the 3 rates. 4 KELLY, Q.C.: 5 Q. Now, your compromised number that you came up 6 with was \$4.25 a kilowatt for demand and 7 \$4.34, if I followed you correctly then for 8 the cost of energy, correct? 9 MR. CHYMKO: 10 A. That's true. 11 KELLY, Q.C.: 12 Q. And on the demand side, I work that out to 13 \$51.00 a year? 14 MR. CHYMKO: 15 A. Sounds reasonable. 16 KELLY, Q.C.: 17 Q. And if I understood your process correctly, 18 that would be an amount that you would apply 19 off of the annual peak, ordinarily, subject to 20 how you ratchet down for a moment and leave 21 that aside, but off the peak for the year? 22 MR. CHYMKO: 23 A. It would be a monthly calculation. 24 KELLY, Q.C.: 25 Q. Right.</p>
<p style="text-align: right;">Page 91</p> <p>1 MR. CHYMKO: 2 A. Based on the kilowatts of billing demand for 3 that month. 4 KELLY, Q.C.: 5 Q. Right, but in terms of where it would--we 6 could look at this quickly at page 26, I think 7 in your evidence and if you go down to lines 8 33, the demand for the month and the highest, 9 of course, would be in the winter, but at line 10 34 you have 90 percent of the previous highest 11 monthly billing demand for the past year, 12 correct? 13 MR. CHYMKO: 14 A. Yes. 15 KELLY, Q.C.: 16 Q. So in essence, subject to the 90 percent 17 principle, we're working off the highest peak 18 for the year, correct? 19 MR. CHYMKO: 20 A. Yes. 21 KELLY, Q.C.: 22 Q. Okay, now on that basis, that would be 23 worthwhile then for Newfoundland Power to 24 spend up to \$51.00 a kilowatt if we could 25 somehow get rid of peak demand, is that</p>	<p style="text-align: right;">Page 92</p> <p>1 essentially correct? 2 MR. CHYMKO: 3 A. I'm not sure it's to get rid of - 4 KELLY, Q.C.: 5 Q. To take it off peak. 6 MR. CHYMKO: 7 A. Which gets into demand side management, that's 8 right. 9 KELLY, Q.C.: 10 Q. So it would be worth our while to spend \$51.00 11 to take it off peak, which, for example, works 12 out, if you could move a hundred megawatts, it 13 would be 5.1 million dollars, a large sum of 14 money. 15 MR. CHYMKO: 16 A. Right. 17 KELLY, Q.C.: 18 Q. And you then say, well that's where we get 19 into demand side management. Now, moving 20 something--moving the demand purely off peak 21 is a pure demand issue, isn't it? In other 22 words, we're not talking about an energy 23 saving, just moving a peak--to reduce the 24 peak, do you follow me?</p>

Page 93

1 MR. CHYMKO:

2 A. It depends if you've got a customer or
3 customers that are shifting from a peak period
4 to another peak period and they have to warm
5 their houses up or they have to run additional
6 production, at the end of the day, the energy
7 might be the same.

8 KELLY, Q.C.:

9 Q. It might be the same, all right. So what you
10 would like to know is what's the real value of
11 that peak demand--when we talk about energy
12 conservation, there's also a factor here of
13 saving energy, isn't it, in other words, we
14 have to look at--demand side management looks
15 at demand, but there's also a question of
16 energy conservation which is another issue,
17 isn't it?

18 MR. CHYMKO:

19 A. Yeah, we would call--within demand side
20 management there's conversation and there's
21 basically energy management.

22 KELLY, Q.C.:

23 Q. Okay, let me give you two theoretical examples
24 and let me get you to comment on these, let's
25 assume in example one that I have a 150

Page 95

1 super insulation that would save--that would
2 make them 50 percent more energy efficient, so
3 I would take something off of peak there, but
4 I wouldn't save 75 megawatts because they'd
5 still be on in the same old time sequence, but
6 I would somehow save a little bit on peak, but
7 more importantly, I would save on energy,
8 wouldn't I? Would you agree with that first
9 of all?

10 MR. CHYMKO:

11 A. Under that scenario, yes.

12 KELLY, Q.C.:

13 Q. Right, which of those two programs are better?

14 MR. CHYMKO:

15 A. I guess it comes back to, from the longer term
16 resource point of view and resource planning,
17 what is going to be available at what cost to
18 supply.

19 KELLY, Q.C.:

20 Q. Can I suggest to you that right now, we don't
21 have the information for you to be able to
22 tell me which of those two would be better at
23 all?

24 MS. TABONE:

25 A. Well we do know that you're running out of

Page 94

1 megawatts of water heaters throughout the
2 Province and I could put a switch on each one
3 of them so we could turn it off at peak, and
4 if half of them are on on a random basis or at
5 the peak period, I could turn off 75
6 megawatts, follow me? So those people would
7 still need to do the same amount of washing,
8 take the same amount of clothes, so I'm going
9 to take it off peak, but I'm not really going
10 to save any energy, am I?

11 MR. CHYMKO:

12 A. You won't save at all.

13 KELLY, Q.C.:

14 Q. Right, so what I would do in that situation,
15 though, is it would be worth, on your
16 proposal, us to spend up to \$51.00 a kilowatt
17 to achieve that objective, correct? That
18 would be the math.

19 MR. CHYMKO:

20 A. Over the longer term.

21 KELLY, Q.C.:

22 Q. Right, now, let me give you a second example,
23 that's example one, let's say instead of that
24 program I came up with a program that I could
25 wrap every water tank in the Province in some

Page 96

1 both capacity and energy about the same time,
2 maybe it's a year or two difference, given the
3 uncertainties of load forecasting and changes
4 that could happen over that time, you're going
5 to run out of both at about the same time.

6 KELLY, Q.C.:

7 Q. I'll accept that one is 2009 and the other, I
8 think, is 2001, but in terms of where we
9 should spend money, on your proposal, you
10 would give, theoretically, an incentive to
11 spend up to \$51.00 per kilowatt to achieve the
12 first objective when maybe the second
13 objective is better, but we don't really know,
14 do we?

15 MR. CHYMKO:

16 A. No, and that's why we're saying we should be
17 moving forward very quickly with what we're
18 calling an integrated resource plan, so that
19 when we get to 2009 or 2010, if you back that
20 up three years of whatever it's going to take
21 for an Application to be able to come before
22 the Board, we're looking at 2005, 2006.

23 KELLY, Q.C.:

24 Q. So if Hydro already has system expansion plans
25 that can be looked at, your integrated

<p style="text-align: right;">Page 97</p> <p>1 KELLY, Q.C.:</p> <p>2 resource management, and we can do a Marginal</p> <p>3 Cost Study and that process can be done</p> <p>4 relatively quickly, if we assume that for the</p> <p>5 moment, then we could get to the right--a</p> <p>6 better answer than simply your compromise,</p> <p>7 couldn't we? Would you agree with that?</p> <p>8 MR. CHYMKO:</p> <p>9 A. Well I guess what I mentioned earlier, we</p> <p>10 might be able to tweak or fine tune on the</p> <p>11 supply side because my understanding is that</p> <p>12 material is quite recent. When we get to the</p> <p>13 demand side, we believe more study is required</p> <p>14 or from what we've heard, certainly it's going</p> <p>15 to take a year or two for the sake of a time</p> <p>16 line to be able to bring that forward.</p> <p>17 KELLY, Q.C.:</p> <p>18 Q. What do you think of the short-run marginal</p> <p>19 cost issue and let me just phrase the question</p> <p>20 this way: we've heard, for example, that at</p> <p>21 Holyrood the short-run marginal cost of</p> <p>22 energy, which is the marginal cost for the</p> <p>23 Island all year round, is \$5.13. Should Hydro</p> <p>24 sell energy below the short-run marginal cost</p> <p>25 of producing that energy, in your view?</p>	<p style="text-align: right;">Page 98</p> <p>1 MS. TABONE:</p> <p>2 A. Well I think this goes back to the fact that</p> <p>3 sometimes your marginal cost is more than your</p> <p>4 embedded cost.</p> <p>5 KELLY, Q.C.:</p> <p>6 Q. Well we know that the total cost in Hydro's</p> <p>7 application would be five forty something, so</p> <p>8 the actual embedded cost translated through</p> <p>9 would be somewhat above that, but at \$5.13</p> <p>10 would you agree with me that from an</p> <p>11 economic's point of view, it's not reasonable,</p> <p>12 not efficient, not the usual practice to sell</p> <p>13 below short-run marginal cost?</p> <p>14 MS. TABONE:</p> <p>15 A. I think it's also hard to consider an example</p> <p>16 where you're selling energy only without some</p> <p>17 contribution to the peak, so</p> <p>18 KELLY, Q.C.:</p> <p>19 Q. I understand that point, but would you also</p> <p>20 agree that you should not ordinarily sell</p> <p>21 below short-run marginal cost of production?</p> <p>22 MS. TABONE:</p> <p>23 A. Yeah, I think over the short run, I think I</p> <p>24 would agree with that.</p> <p>25 (11:00 a.m.)</p>
<p style="text-align: right;">Page 99</p> <p>1 KELLY, Q.C.:</p> <p>2 Q. Over the short run you would agree with that.</p> <p>3 Could you tell me on your proposal if you set</p> <p>4 the energy block at \$5.13, what would be your</p> <p>5 demand number? And if you like, you can just</p> <p>6 undertake to file that and advise us or come</p> <p>7 back after the break. I understand that's not</p> <p>8 a difficult calculation.</p> <p>9 MR. CHYMKO:</p> <p>10 A. Right, we'll undertake to do that.</p> <p>11 KELLY, Q.C.:</p> <p>12 Q. Now let me just, I took you to this page that</p> <p>13 you got here, page 26, now, first of all, just</p> <p>14 let me be sure I got--Chair, it's 11:00, did</p> <p>15 you wish to break now?</p> <p>16 CHAIRMAN:</p> <p>17 Q. I do soon.</p> <p>18 KELLY, Q.C.:</p> <p>19 Q. This would be a perfectly fine place.</p> <p>20 CHAIRMAN:</p> <p>21 Q. Thank you. Do you have any idea, Mr. Kelly,</p> <p>22 how -</p> <p>23 KELLY, Q.C.:</p> <p>24 Q. I won't be too much longer, fifteen minutes, I</p> <p>25 would think, Chair, twenty at tops.</p>	<p style="text-align: right;">Page 100</p> <p>1 CHAIRMAN:</p> <p>2 Q. Mr. Hearn, do you have any notion of how long</p> <p>3 you might be?</p> <p>4 HEARN, Q.C.:</p> <p>5 Q. I would think approximately forty-five</p> <p>6 minutes, give or take a few.</p> <p>7 CHAIRMAN:</p> <p>8 Q. All right, Mr. Hutchings, Mr. Seviour?</p> <p>9 MR. SEVIOUR:</p> <p>10 Q. We think, Mr. Chair, I'd be about forty-five</p> <p>11 minutes.</p> <p>12 CHAIRMAN:</p> <p>13 Q. So we will probably be from my calculation, we</p> <p>14 should probably take a half hour break at this</p> <p>15 point in time. Thank you. We'll reconvene at</p> <p>16 11:30.</p> <p>17 (RECESS)</p> <p>18 (RESUME 11:34 A.M.)</p> <p>19 CHAIRMAN:</p> <p>20 Q. Thank you. Are you ready to continue? When</p> <p>21 you're ready Mr. Kelly.</p> <p>22 KELLY, Q.C.:</p> <p>23 Q. Thank you, Chair. Panel, when we broke, I was</p> <p>24 roundly harangued by experts, other counsel</p> <p>25 and the sorted onlookers for having referred</p>

Page 101	Page 102
<p>1 KELLY, Q.C.:</p> <p>2 to the marginal cost at Holyrood as \$5.13</p> <p>3 instead of 5.13 cents, so with that</p> <p>4 correction, which I assume you got, and my</p> <p>5 apologies for the error, did you have a chance</p> <p>6 over the break to look at the undertaking</p> <p>7 question?</p> <p>8 MR. CHYMKO:</p> <p>9 A. Yes, we have. The monthly value per kilowatt</p> <p>10 ends up being just about a dollar.</p> <p>11 KELLY, Q.C.:</p> <p>12 Q. About a dollar.</p> <p>13 MR. CHYMKO:</p> <p>14 A. About a dollar and if I could just go on and</p> <p>15 say in regard to the examples, we believe that</p> <p>16 the minimum again that you would get to in</p> <p>17 your water heater example, you wouldn't go all</p> <p>18 the way down because we believe that a minimum</p> <p>19 demand charge would be about \$2.30 again for</p> <p>20 that transmission component, because we</p> <p>21 believe that the transmission should continue</p> <p>22 to be priced on an embedded postage stamp</p> <p>23 basis. So if there's no demand or using the</p> <p>24 one dollar, we're saying the minimum should be</p> <p>25 at least \$2.30 plus the dollar.</p>	<p>1 KELLY, Q.C.:</p> <p>2 Q. Which is based of what, your curtailable rate?</p> <p>3 MR. CHYMKO:</p> <p>4 A. No, the transmission component is out of the</p> <p>5 Embedded Cost of Study.</p> <p>6 KELLY, Q.C.:</p> <p>7 Q. Oh, I see, \$1.82 plus a dollar?</p> <p>8 MR. CHYMKO:</p> <p>9 A. \$2.30 plus a dollar, and again, that's because</p> <p>10 we believe the transmission is based on</p> <p>11 embedded postage stamp.</p> <p>12 KELLY, Q.C.:</p> <p>13 Q. And that's an embedded rate again?</p> <p>14 MR. CHYMKO:</p> <p>15 A. It is.</p> <p>16 KELLY, Q.C.:</p> <p>17 Q. Right, now the reason I had you go through</p> <p>18 that exercise is that doesn't this demonstrate</p> <p>19 that when we're looking at the concept of a</p> <p>20 demand energy rate, there is a lot of</p> <p>21 potential variation in terms of where one</p> <p>22 might want to set that demand rate, versus the</p> <p>23 energy rate. And we've now canvassed</p> <p>24 everything from zero to a dollar to seven</p> <p>25 dollars, have we not?</p>
Page 103	Page 104
<p>1 MR. CHYMKO:</p> <p>2 A. We've been there and I guess that was part of</p> <p>3 my comments about ten consultants and ten</p> <p>4 opinions.</p> <p>5 KELLY, Q.C.:</p> <p>6 Q. Right, now can I take you to what we have on</p> <p>7 the screen dealing with the mechanism that you</p> <p>8 put forward. And in the Stone & Webster</p> <p>9 Report, they had a 98 percent floor, I'll call</p> <p>10 it. What do you think of that mechanism?</p> <p>11 Because I take it you're not recommending</p> <p>12 that?</p> <p>13 MR. CHYMKO:</p> <p>14 A. We're not recommending the same type of</p> <p>15 structure based on energy, again, we're</p> <p>16 putting in place a floor, so to speak, of 90</p> <p>17 percent over 12 months on the demand side or</p> <p>18 85 percent over 24 months on the demand side.</p> <p>19 So again, we're dealing on the demand side</p> <p>20 versus energy.</p> <p>21 KELLY, Q.C.:</p> <p>22 Q. Would a 90 percent floor on your proposal be</p> <p>23 more volatility or less volatility for Hydro</p> <p>24 than the 98 percent in Stone & Webster,</p> <p>25 keeping in mind they're not the same two</p>	<p>1 systems.</p> <p>2 MR. CHYMKO:</p> <p>3 A. Again, we're putting a sample on the record,</p> <p>4 we do not have the detailed billing records</p> <p>5 that go back over a period of time as to</p> <p>6 whether the exactly 90 percent should be 95 or</p> <p>7 85 or whatever that first one, again, we're</p> <p>8 putting this forward as a sample to get the</p> <p>9 structure and with the limited data that we</p> <p>10 had available, that's how we came up with the</p> <p>11 sample rate.</p> <p>12 KELLY, Q.C.:</p> <p>13 Q. Okay, so you haven't looked at the precise</p> <p>14 volatility implications for Hydro, first of</p> <p>15 all, I take it, in terms of its revenue?</p> <p>16 MR. CHYMKO:</p> <p>17 A. Well, I guess using the seven dollar example,</p> <p>18 if there was a change of a hundred megawatts,</p> <p>19 we were showing a volatility of some seven</p> <p>20 hundred thousand dollars or about three</p> <p>21 percent. So I haven't done a comparison over</p> <p>22 to what the sample rate that was provided.</p> <p>23 KELLY, Q.C.:</p> <p>24 Q. Okay, have you looked at volatility in terms</p> <p>25 of Newfoundland Power at all?</p>

Page 105	Page 106
<p>1 MR. CHYMKO:</p> <p>2 A. Again, we haven't gone through the detailed</p> <p>3 calculation, we believe what we're putting</p> <p>4 forward as a sample or an example, and we</p> <p>5 believe that at the end of the day there needs</p> <p>6 to be a balance as to factors taken into</p> <p>7 account, is there increased volatility</p> <p>8 because, again, we have still incorporated</p> <p>9 weather normalization and that needs to be</p> <p>10 balanced with what happens on the financial</p> <p>11 side.</p> <p>12 KELLY, Q.C.:</p> <p>13 Q. Okay, at a high level, can I ask you this</p> <p>14 question: if we take your mechanism for a</p> <p>15 second so that we got a common mechanism,</p> <p>16 would it be true that the lower the demand</p> <p>17 cost, the charge, the closer we are to zero,</p> <p>18 the less volatility would exist both for Hydro</p> <p>19 and Newfoundland Power and the higher up we go</p> <p>20 in terms of a demand charge, the greater the</p> <p>21 volatility?</p> <p>22 MR. CHYMKO:</p> <p>23 A. I guess at the end of the day without going</p> <p>24 through and running some scenarios, we believe</p> <p>25 the demand with the ratchet would, in all</p>	<p>1 likelihood, be more stable than just the</p> <p>2 energy.</p> <p>3 KELLY, Q.C.:</p> <p>4 Q. My question is a little bit different,</p> <p>5 whatever ratchet mechanism you use, would it</p> <p>6 be fair to say that the lower the demand</p> <p>7 charge is, the less volatility there is as</p> <p>8 opposed to a high demand number, is that not</p> <p>9 the case?</p> <p>10 MR. CHYMKO:</p> <p>11 A. I guess depending on which way the volatility</p> <p>12 is going. On a per unit basis, if it is</p> <p>13 demand that where the change is or the impact</p> <p>14 on the rate, yes, it will go up and down, but</p> <p>15 we haven't, I guess determined what's the</p> <p>16 significant difference between the balance of</p> <p>17 the demand component and the energy component.</p> <p>18 So again, we're talking about shifting between</p> <p>19 rate structures, but if the volumes are the</p> <p>20 same, then the rate should be set properly,</p> <p>21 there would be no volatility.</p> <p>22 KELLY, Q.C.:</p> <p>23 Q. Let me ask you this question, in terms of</p> <p>24 dealing with volatility issues that arise out</p> <p>25 of a demand energy rate, do you have any</p>
Page 107	Page 108
<p>1 particular views as to the type of mechanism</p> <p>2 that the Board should look at if a demand</p> <p>3 energy rate was implemented?</p> <p>4 MR. CHYMKO:</p> <p>5 A. I guess we're saying in the short term, until</p> <p>6 we get some experience, we believe--leave the</p> <p>7 weather normalization as a component so that</p> <p>8 when we're talking the billing demand, we</p> <p>9 would be using a normalized weather. And</p> <p>10 then, the remaining volatility, if any, would</p> <p>11 be addressed through other means; namely on</p> <p>12 the financial side.</p> <p>13 KELLY, Q.C.:</p> <p>14 Q. That's what I'm trying to understand, what</p> <p>15 mechanism to address that volatility do you</p> <p>16 see?</p> <p>17 MR. CHYMKO:</p> <p>18 A. Well, first of all, I guess we have to ask the</p> <p>19 question as to the degree of volatility and</p> <p>20 then is it dollar for dollar that needs to be</p> <p>21 lined up through some other mechanism, or is</p> <p>22 there some range that accounts for the</p> <p>23 volatility already within the capital</p> <p>24 structure in the cost of capital.</p> <p>25 KELLY, Q.C.:</p>	<p>1 Q. So you'd have to look at those issues as well.</p> <p>2 Are you aware in this jurisdiction that</p> <p>3 Newfoundland Power has a range with a cap in</p> <p>4 effect on the range of rate of return on rate</p> <p>5 base?</p> <p>6 MR. CHYMKO:</p> <p>7 A. Yes.</p> <p>8 KELLY, Q.C.:</p> <p>9 Q. So you are aware of that?</p> <p>10 MR. CHYMKO:</p> <p>11 A. Yes.</p> <p>12 KELLY, Q.C.:</p> <p>13 Q. Okay, how does that impact on your views?</p> <p>14 MR. CHYMKO:</p> <p>15 A. Again, we believe that that perhaps needs to</p> <p>16 be reviewed in light of a structure that's put</p> <p>17 in place. At the end of the day, though, we</p> <p>18 don't believe that it would be significant,</p> <p>19 but again, and that would come about depending</p> <p>20 on how tight we make the ratchets, whether</p> <p>21 it's 95 percent instead of 90, as to what the</p> <p>22 drivers were. But we don't think it's a huge</p> <p>23 number that we should be scared of.</p> <p>24 KELLY, Q.C.:</p> <p>25 Q. But you haven't done any analysis to look at</p>

Page 109	Page 110
<p>1 KELLY, Q.C.: 2 that? 3 MR. CHYMKO: 4 A. No, but just knowing the mechanisms around the 5 90 percent and the small amount of data that 6 we have. 7 (11:45 a.m.) 8 KELLY, Q.C.: 9 Q. Now, can I shift gears for a second and just 10 talk about this assignment issue for a moment? 11 Can we go to JRH No. 3 at page 5? You talk 12 about the assignment and the transmission 13 being assigned on the same basis as the 14 generation. Would you agree that to the 15 extent that there is more generation in a 16 particular area, for example, if we look at 17 Burin, the Burin Peninsula in total has 34.7 18 megawatts, that that is a factor which 19 augments the need to have the transmission 20 treated as common? 21 MS. TABONE: 22 A. I don't think it would be a factor of just the 23 generation alone, it would be a factor of the 24 generation and the load in that particular 25 area that would be considered. And back to</p>	<p>1 the idea of the postage stamp and everything 2 being rolled in together, the amount of 3 generation there might matter on a technical 4 basis, but it wouldn't matter to me on the 5 policy recommendations that I have. 6 KELLY, Q.C.: 7 Q. As to whether it contributes to the LOLH for 8 the system? 9 MS. TABONE: 10 A. Right. 11 KELLY, Q.C.: 12 Q. But to the extent that there's more of it down 13 there, does that not, in terms of LOLH, then 14 mean that you should consider the transmission 15 as common in your analysis? 16 MS. TABONE: 17 A. Not necessarily because there could be more 18 load there and so it may never have to leave. 19 KELLY, Q.C.: 20 Q. Okay, but on that basis then, on the Great 21 Northern Peninsula where you only have 15 22 megawatts, what would be your position there 23 as to how that should be treated? 24 MS. TABONE: 25 A. Again, our recommendation in our testimony is</p>
Page 111	Page 112
<p>1 that both the generation and the transmission 2 would be treated as common. 3 KELLY, Q.C.: 4 Q. But what if those electrons never have to 5 leave the Northern Peninsula? 6 MS. TABONE: 7 A. Well even if they don't leave the Northern 8 Peninsula and they physically serve the 9 customers that are there, that means those 10 same customers will rely less upon the 11 generation and transmission on the rest of the 12 Island, and they're not given a--the GNP 13 customers are not given a credit like 14 Newfoundland Power is for the reduced amount 15 of load because they have some of their own 16 generation. 17 KELLY, Q.C.: 18 Q. Now, one could say, well the Great Northern 19 Peninsula, which is virtually exclusively 20 thermal, could be put somewhere else though, 21 could be put somewhere on the, you know, near 22 an industrial plant or whatever, does the fact 23 that it is thermal impact in your view, in 24 terms of how one treats the transmission? 25 MS. TABONE:</p>	<p>1 A. No, I wouldn't say that that would have an 2 impact at all. 3 KELLY, Q.C.: 4 Q. Why not? 5 MS. TABONE: 6 A. Our concept again is a policy concept and so, 7 take all the transmission, it's all 8 interconnected, there are going to be certain 9 customers that use a little bit of 10 transmission just because of their physical 11 location, other people that use a lot of 12 transmission because of their physical 13 location and maybe because of their load 14 shape, you know, some people are causing 15 Holyrood to be used more because of their load 16 shape and so should they pay for transmission 17 all the way from Holyrood to, all the way 18 across the Island, for example, instead of 19 those who have a load shape or a load size 20 that could just use the Hydro. 21 KELLY, Q.C.: 22 Q. So do you view it as purely a policy issue in 23 which then there is no judgment in terms of 24 line drawing between one and the other?</p>

Page 113

1 MS. TABONE:
 2 A. The way I'm looking at it is that it's all
 3 transmission and it's a policy issue to roll
 4 it all in together.
 5 KELLY, Q.C.:
 6 Q. Now what about, for example, where you have
 7 Hydro for example on the Burin Peninsula and
 8 Rose Blanche which is the Doyles-Port aux
 9 Basques, those units obviously have to be
 10 located where the resource is. Does that, in
 11 any sense, impact in your view?
 12 MS. TABONE:
 13 A. No, again the generation is interconnected,
 14 the transmission really serves to interconnect
 15 generation and to get all of the power flowing
 16 among all the different load centres, whether
 17 they're Newfoundland Power or Newfoundland
 18 Hydro load centres.
 19 KELLY, Q.C.:
 20 Q. So at the end of the day, none of those
 21 factors impact in how your view it because you
 22 view it solely as a policy issue?
 23 MS. TABONE:
 24 A. Right. The one thing I did look at again that
 25 is a little bit different between Newfoundland

Page 115

1 believing that Newfoundland Power, despite the
 2 location of their generation and the fact that
 3 they have some of their own transmission, that
 4 they wouldn't somehow be using the
 5 Newfoundland Hydro transmission system in some
 6 instances for that generation.
 7 KELLY, Q.C.:
 8 Q. Okay, I'll leave it there. Thank you, Chair.
 9 Those are my questions.
 10 CHAIRMAN:
 11 Q. Thank you, Mr. Kelly. Mr. Seviour?
 12 MR. SEVIOUR:
 13 Q. Thank you, Chair. Good morning, Ms. Tabone,
 14 Mr. Chymko. My understanding of postage stamp
 15 theory is advancing somewhat, but I'm still
 16 not quite there, Ms. Tabone. I took it from
 17 your recommendations in the report that you
 18 made a recommendation for common assignment
 19 based on two principles: consistency and the
 20 postage stamp theory, is that correct?
 21 MS. TABONE:
 22 A. That's correct.
 23 MR. SEVIOUR:
 24 Q. I got the consistency message from the report,
 25 but it was really only this morning in your

Page 114

1 Power and the other locations is that
 2 Newfoundland Power is getting a credit for, on
 3 their load when transmission is assigned to
 4 them, so they are not assigned a full share of
 5 transmission, as are the other customers. So
 6 that might be an exception where maybe you
 7 treat transmission serving them a little bit
 8 different.
 9 KELLY, Q.C.:
 10 Q. In terms of transmission and the treatment of
 11 the transmission credit, are you aware, for
 12 example, that Newfoundland Power has Hydro
 13 units on the Avalon Peninsula that are
 14 operated on a regular basis if the water is
 15 available and how does that impact in your
 16 analysis?
 17 MS. TABONE:
 18 A. Well again, they have their--Newfoundland
 19 Power has generation that they use. I'm sure
 20 they have some of their own transmission to
 21 get that generation to their loads, and
 22 perhaps on a physical basis, that never gets
 23 onto the Hydro system. On the other hand,
 24 when you look at generation, electrons flow
 25 where they flow and so I have a hard time

Page 116

1 evidence in chief, that I really was alerted
 2 to the postage stamp theory and I wonder if
 3 you could just elaborate on that a little bit?
 4 MS. TABONE:
 5 A. Well again, I don't--maybe the terminology is
 6 new here, but I think the theory is certainly
 7 being used. The postage stamp idea and again,
 8 I think it was clarified by somebody earlier
 9 this week or last week that postage stamp
 10 usually refers to pricing or to rates. I'm
 11 trying to broaden it as maybe a short term,
 12 short-cut language for the idea of deciding
 13 things on a common basis and averaging them
 14 out. But again, the idea behind postage stamp
 15 is that you don't differentiate things by
 16 distance, you don't differentiate things by
 17 zone, you don't differentiate things by the
 18 time the customer was billed. For example,
 19 the facilities on the GNP are relatively new,
 20 they're more costly than some of the
 21 transmission facilities that were built
 22 perhaps fifty years ago, so it looks like a
 23 big impact. But as you add new customers on
 24 the system, you average out the fact that some
 25 are new customers and costs that are higher in

<p style="text-align: right;">Page 117</p> <p>1 MS. TABONE: 2 today's dollars than costs perhaps fifty years 3 ago, so it's averaging in all of those 4 factors, the location, the age of the system, 5 you know, and all of those things, and 6 treating everybody the same and saying it's an 7 integrated system and we're going to average 8 it out among everybody. And again, if you 9 look at the Island Isolated System, it's a 10 series of small systems that in most cases are 11 not interconnected. There is no postage stamp 12 in terms of the cost of service all rolled in 13 together, as well as the rate setting. 14 MR. SEVIOUR: 15 Q. But what I understand the implications of your 16 postage stamp theory to be that all 17 interconnected transmission should be assigned 18 common? 19 MS. TABONE: 20 A. Correct. 21 MR. SEVIOUR: 22 Q. And that's regardless of whether or not there 23 is generation involved on a transmission line, 24 is that correct? 25 MS. TABONE:</p>	<p style="text-align: right;">Page 118</p> <p>1 A. Generally there's not, I can see cases where 2 it would be transmission and there's no 3 generation involved, I think that would be 4 rare, you know, if there really was not 5 generation involved and it was really one 6 radial line to serve, for example, one 7 Industrial customer, it could be a high 8 voltage line, but it serves a distribution 9 function. 10 MR. SEVIOUR: 11 Q. Of the two theories that you've raised to 12 ground your recommendations, the consistency 13 and the postage stamp theory, am I right in 14 understanding your postage theory to be the 15 principle driver, the policy consideration 16 here? 17 MS. TABONE: 18 A. I would say that they're equal drivers. 19 MR. SEVIOUR: 20 Q. I wanted to talk about the GNP for a moment 21 and can you confirm for me is that a radial 22 line, the transmission on the GNP? 23 MS. TABONE: 24 A. It is a radial line. 25 MR. SEVIOUR:</p>
<p style="text-align: right;">Page 119</p> <p>1 Q. And what makes it radial please? 2 MS. TABONE: 3 A. What makes it radial in that it's not looped 4 back around, you know, let's say you could 5 have another line running down the other side 6 of the peninsula, looping it back around to 7 the transmission facility. 8 MR. SEVIOUR: 9 Q. And can I take you to your report at page 18 10 please, at lines 15 to 17, I wonder if you 11 could read that? That's your recitation of 12 the Board's principle on transmission 13 assignment. 14 MS. TABONE: 15 A. Right. 16 MR. SEVIOUR: 17 Q. Could you read that for the record please? 18 MS. TABONE: 19 A. "Transmission dedicated to serve one customer 20 should be specifically assigned and costs of 21 substantial benefit to more than one customers 22 should be apportioned among all customers." 23 MR. SEVIOUR: 24 Q. And are you agreed that the GNP transmission 25 serves only the Hydro Rural customers on that</p>	<p style="text-align: right;">Page 120</p> <p>1 peninsula? 2 MS. TABONE: 3 A. I would agree with that, but there are several 4 different communities served there and 5 multiple customers. It may be one customer 6 class, it's not one customer. 7 MR. SEVIOUR: 8 Q. One customer class. But within that principle 9 we're dealing with, I think, as I understand 10 the guidelines when they say "one customer" 11 the reference is one customer class, is that 12 not correct? 13 MS. TABONE: 14 A. I guess I can't interpret what they're meaning 15 by that. 16 MR. SEVIOUR: 17 Q. No, okay. Well let me take you to Mr. Haynes' 18 evidence and I'm going to just ask you to 19 react to Hydro's recommendation in this area 20 which you take some issue, and at page 41 of 21 Mr. Haynes' pre-filed, he's discussing the 22 assignment of transmission assets on the three 23 radial systems that are discussed in your 24 report, and I'm going to ask you to read lines 25 6 through 25 and I'm going to stop you in a</p>

Page 121	Page 122
<p>1 MR. SEVIOUR: 2 couple of places just to ask you your position 3 on a couple of propositions here. Could you 4 commence at line 6, please? 5 MS. TABONE: 6 A. Okay, "The appropriate assignment of the 7 transmission assets for these three areas was 8 also addressed. Hydro proposes that factors 9 such as historical assignment, primary purpose 10 and quantity of generation be weighed in 11 determining the ultimate assignment of the 12 transmission and terminal station assets 13 connecting a single customer and generation to 14 the grid." 15 MR. SEVIOUR: 16 Q. Let me stop you there, the factors that Hydro 17 relies on and proposes for determination in 18 this area, historical assignment, primary 19 purpose and quantity of generation, do you 20 agree that those are appropriate factors to be 21 weighed in determining the assignment? 22 MS. TABONE: 23 A. I think they're certainly things that can be 24 considered. It's a factor of how much weight 25 you give to them and also how much weight you</p>	<p>1 give to the technical considerations that are 2 discussed in this report from an engineer and 3 from somebody who is on the engineering side 4 of the system, as opposed to the policy 5 guidelines that would come into play by 6 somebody who's doing the cost of service and 7 designing rates. 8 MR. SEVIOUR: 9 Q. So these are appropriate considerations, you 10 wouldn't discount them, even though you may 11 say there are others? 12 MS. TABONE: 13 A. They are appropriate from a technical 14 perspective, yes. 15 MR. SEVIOUR: 16 Q. Continue at line 10 then, please? 17 MS. TABONE: 18 A. "Further, after considering the planning basis 19 and cost of service treatment of similar 20 assets, Hydro concluded that generation and 21 the connecting transmission and terminal 22 station assets can be logically assigned 23 differently in the Cost of Service." 24 MR. SEVIOUR: 25 Q. And you take issue with that proposition, I</p>
Page 123	Page 124
<p>1 take it? 2 MS. TABONE: 3 A. I do and again, that's back to the postage 4 stamp when you start talking about 5 specifically assigning things, where do you 6 draw the line? Do you specifically assign 7 every substation to just those customers who 8 use that substation or do you average them 9 altogether whether or not they're looped 10 together. 11 MR. SEVIOUR: 12 Q. But your consistency principle holds that 13 generation and transmission should be 14 classified or assigned in the same manner. 15 MS. TABONE: 16 A. Yes. 17 MR. SEVIOUR: 18 Q. And can you agree with me that this issue of 19 consistency was not a matter of concern or 20 issue raised by any of the other experts that 21 have appeared before this Board in their 22 testimony? 23 MS. TABONE: 24 A. I haven't seen it raised in anything in 25 particular, but I haven't viewed everything</p>	<p>1 that may have been considered in the past, you 2 know, in the past orders or past testimony 3 that was submitted. 4 MR. SEVIOUR: 5 Q. No, I don't mean to play games, I haven't seen 6 any reference or any of the other experts 7 raise that as a concern either, I just wanted 8 to put that to you. Continue at line 15. 9 MS. TABONE: 10 A. "An examination of the rationale for the 11 interconnection of the previously Isolated St. 12 Anthony, Roddickton system clearly indicated 13 that the transmission system was constructed 14 for the benefit of the customers on these 15 Isolated systems." 16 MR. SEVIOUR: 17 Q. Let me stop you there, do you take issue with 18 Hydro's position on that? Have you done any 19 independent assessment of that proposition? 20 (12:00 p.m.) 21 MS. TABONE: 22 A. I haven't done any independent analysis. My 23 understanding is that there is a decision to 24 interconnect all of those customers. In my 25 opinion, once you decide to interconnect all</p>

Page 125	Page 126
<p>1 MS. TABONE: 2 of those customers, you're rolling them in 3 with everybody else on the Island and making 4 them part of the system, not keeping them 5 isolated and not keeping them separate from 6 everybody else. 7 MR. SEVIOUR: 8 Q. Yes, but the rationale that's related there, 9 you don't disagree that the GNP transmission 10 interconnection was done for the benefit of 11 those customers in those Isolated systems? 12 MS. TABONE: 13 A. Yes, I would agree that it was done for their 14 benefit. It was not done for the sole purpose 15 of interconnecting generation. 16 MR. SEVIOUR: 17 Q. Continue at line 17, please? 18 MS. TABONE: 19 A. "Generation assets on the GNP which were 20 originally constructed to serve the Isolated 21 system, as a result of the interconnection now 22 serve as reserve capacity to the Island 23 Interconnected System." 24 MR. SEVIOUR: 25 Q. And do you agree with that characterization of</p>	<p>1 the function of that generation on the GNP as 2 reserve for the system? 3 MS. TABONE: 4 A. Yes, I do. 5 MR. SEVIOUR: 6 Q. Okay, continue at line 20, please? 7 MS. TABONE: 8 A. "While a benefit to all customers, these 9 generation assets are not of sufficient 10 magnitude in Hydro's opinion to justify 11 assignment of the GNP transmission assets as 12 common, given the dominant use of the 13 transmission system in serving a single 14 customer. As a result, Hydro recommends that 15 the GNP transmission assets continue to be 16 specifically assigned to Hydro overall as in 17 P.U. 7." 18 MR. SEVIOUR: 19 Q. I wanted to come back to the discussion about 20 the sufficient magnitude of the generation 21 assets that's found at lines 20 and 21. I 22 take it that you disagree with Hydro's 23 conclusion that these generation assets on the 24 GNP are not of sufficient magnitude to warrant 25 transmission to be classified as common?</p>
Page 127	Page 128
<p>1 MS. TABONE: 2 A. Again, my analysis and recommendation was not 3 based on the size of the generation. 4 MR. SEVIOUR: 5 Q. And this comes back to the question I asked 6 you a few moments ago, for example, if we had 7 a scenario in which only the mini Hydro in 8 Roddickton, which is a .4 megawatt hydro 9 plant, tip of the Great Northern Peninsula was 10 interconnected by that transmission, how would 11 that impact your assessment of the 12 classification of that transmission line? 13 MS. TABONE: 14 A. Again, not distinguishing based on the size of 15 it, so the fact that there's generation, I 16 would want to make it consistent with 17 generation because the generation is of no 18 value if there's no transmission associated 19 with it. 20 MR. SEVIOUR: 21 Q. So in principle, any generation whatsoever on 22 a radial transmission line will operate to 23 engage your consistency principle and operate 24 towards a common classification? 25 MS. TABONE:</p>	<p>1 A. I think it's not only generation, but the 2 facts in this case that is a major 3 transmission line to interconnect many 4 communities, it's not something that was built 5 to serve, for example, one Industrial 6 customer. 7 MR. SEVIOUR: 8 Q. And this is so even though, and there's been 9 evidence before this Board that the GNP 10 generation is unable to serve the normal GNP 11 loads, that doesn't influence your opinion? 12 MS. TABONE: 13 A. No, it doesn't. I have a concern with the 14 customers on the GNP and the other customers 15 that are rolled into the Island Isolated 16 paying for facilities that are designated to 17 serve them, when in fact there may be other 18 facilities on other parts of the Island that 19 never get used to serve them. So it's a 20 function of equity, you either have to 21 directly assign every single line in the 22 system or you treat it all as common and I 23 haven't done a detailed technical analysis of, 24 you know, if there are other transmission 25 facilities used that never serve the GNP, but</p>

<p style="text-align: right;">Page 129</p> <p>1 MS. TABONE: 2 I suspect there probably are some. 3 MR. SEVIOUR: 4 Q. But isn't the standard or the criteria for the 5 assignment principle that to be common, there 6 must be a substantial benefit to more than one 7 customer? Isn't there analysis which is 8 directed to what constitutes a substantial 9 benefit so as to warrant common assignment? 10 MS. TABONE: 11 A. Well again, that may be the past direction, 12 I'm proposing something that differs a little 13 bit from that. 14 MR. SEVIOUR: 15 Q. So your policy approach with consistency and 16 postage stamp theory is different from what's 17 been utilized by this Board in the past, is 18 that what you're saying? 19 MS. TABONE: 20 A. Well it is in the sense that you're talking 21 about the Island Rural as being one customer 22 and the Industrial class being one customer 23 and Newfoundland Power being one customer. 24 There's certainly averaging among the Rural 25 customers and there's averaging among the</p>	<p style="text-align: right;">Page 130</p> <p>1 Industrial customers. 2 MR. SEVIOUR: 3 Q. But if I understand you correctly, the 4 substantial benefit inquiry which was utilized 5 by Hydro in this Application and previously 6 endorsed by the Board, was not really the 7 focus of your analysis? 8 MS. TABONE: 9 A. That's correct. 10 MR. SEVIOUR: 11 Q. And so the issue, for example, of the fact 12 that since interconnection, the GNP assets 13 have been used a total of three times for 14 system support and 117 times for local 15 support, that would not be of relevance to 16 your inquiry or analysis? 17 MS. TABONE: 18 A. I don't think it would be a matter of--and 19 again, I didn't rely on that specifically, but 20 the fact that there were three times that it 21 was used for general purposes would mean 22 something to me. The fact that that's less 23 than the amount of times it was used for local 24 benefit doesn't mean that much to me, and 25 furthermore, the fact that it may be used to</p>
<p style="text-align: right;">Page 131</p> <p>1 serve local loads frequently, it sounds like, 2 means that they're not placing any load on the 3 other generation assets and they're paying 4 their full allocates share of those other 5 generation and transmission assets. 6 MR. SEVIOUR: 7 Q. And you've had the opportunity to review the 8 report of Messrs. Osler and Bowman, I think, 9 the IC experts. 10 MS. TABONE: 11 A. Yes, I have. 12 MR. SEVIOUR: 13 Q. And you're aware of their position on this? 14 MS. TABONE: 15 A. I'm aware that they have a different position, 16 yes. 17 MR. SEVIOUR: 18 Q. And I wanted to take you before leaving this 19 area to that position at pages 32 and 33 of 20 the InterGroup Report. And this is the text 21 that deals with IC-399 and the analysis with 22 the GNP generation removed from the Island 23 Integrated System and I'm going to ask you to 24 read starting at lines 35, bottom of page 32 25 on to the top of page 33.</p>	<p style="text-align: right;">Page 132</p> <p>1 MS. TABONE: 2 A. "As an example of the issues that must be 3 addressed, the material in IC-399 is 4 instructive. In particular, the response 5 indicates the Island Interconnected System, 6 LOLH and energy balance that would arise if 7 the GNP were not interconnected to the Island 8 Interconnected Grid. Comparing these results 9 to Haynes' table 8, indicates that on a net 10 basis the GNP radial transmission line, 11 including bulk loads and generation have an 12 adverse impact on the Island Interconnected 13 system--as a net adverse impact on the Island 14 Interconnected system, but for this radial 15 line being interconnected, the Island LOL 16 rates would improve to 0.7 hours per year, in 17 the test year, from 1.1 hours per year in 18 Haynes' table 8 and the energy balance 19 likewise would improve. Also notable the 20 requirement for future generation additions to 21 the Island Interconnected Grid would be 22 delayed to 2012 from the currently forecast 23 2010. On balance this type of information 24 indicates a reason of concern or the IC 25 perspective that cost for GNP assets will be</p>

Page 133	Page 134
<p>1 MS. TABONE: 2 assigned to the IC cost of service, even 3 though these costs only arise as a result of a 4 project that has a net adverse impact on the 5 IC service quality." 6 MR. SEVIOUR: 7 Q. And do you take issue with this analysis and 8 the impact of IC-399 as it's related in this - 9 MS. TABONE: 10 A. I have not done an independent analysis of the 11 LOLH and what the impacts are or, you know - 12 MR. SEVIOUR: 13 Q. Accepting - 14 MS. TABONE: 15 A. - whether this is right or not, but accepting 16 both of them - 17 MR. SEVIOUR: 18 Q. Accepting that it is correct, does this impact 19 your analysis at all? 20 MS. TABONE: 21 A. No, I don't think it does. Again, the postage 22 stamp theory, the treatment of everything on a 23 similar basis would kind of kick in as you--so 24 to speak. And similarly, again, if you were 25 to go further to the IC approach and say that</p>	<p>1 the generation on the GNP should be directly 2 assigned to the customers on the GNP and all 3 the other customers in the Island Rural System 4 who are not on the GNP then you're basically 5 saying that they have to pay for two 6 generation sources, they have to pay for their 7 own on the GNP one time and then they have a 8 full allocation of the common generation 9 assets that they use when they're not using 10 the ones on the GNP. And clearly in the case 11 of Newfoundland Power they're getting a 12 credit, they're not paying twice for their own 13 generation and the common generation. 14 MR. SEVIOUR: 15 Q. In terms of the common assignment issue, are 16 cost implications to--of assignment potentials 17 important to you? Do you believe that it's 18 appropriate in the analysis to assess the 19 costs of potential assignments in specific and 20 common assignment implications of particular 21 pieces of plant? 22 MS. TABONE: 23 A. When I do a Cost of Service Study, I try and 24 get it as accurate and theoretically correct 25 based on the particular circumstances for the</p>
Page 135	Page 136
<p>1 entity. And if there are cost impacts or rate 2 impacts to certain customer classes, I 3 generally tend to deal with that as a rate 4 design issue because quite commonly rates are 5 not set equal to 100 percent on Cost of 6 Service for every particular customer or 7 customer class. And so if there are stability 8 issues or rate shock issues or rate impacts 9 costs are too high, I would fix that in the 10 rate design and not in the Cost of Service 11 side of it. 12 MR. SEVIOUR: 13 Q. But in terms of cost assignments, isn't it 14 true that assignments must be fair and 15 equitable, isn't that a fundamental principle? 16 MS. TABONE: 17 A. I believe that is. 18 MR. SEVIOUR: 19 Q. And there has to be some measure of judgment 20 as to cost benefits in that analysis, would 21 you agree? 22 MS. TABONE: 23 A. Again, equitable from a Cost of Service 24 standpoint generally means that those who</p>	<p>1 cause the cost pay for it. And taken to the 2 extreme you would have every single customer, 3 not just a customer class, every single 4 customer would have a specific cost assigned 5 to them based on where they're located and 6 when they came on the system, they would each 7 have a different class. That would be the 8 most equitable way to do it. But in reality, 9 you can't. You can't always do that from a 10 technical perspective because there are joint 11 facilities and also from a policy perspective. 12 You have to draw the line. You can't have 13 every single customer have a unique rate 14 that's based on their cost along. 15 MR. SEVIOUR: 16 Q. But in assignment analysis and 17 recommendations, development of 18 recommendations, would you agree with me that 19 it would be helpful to be aware of cost 20 implications of particular assignments? 21 MS. TABONE: 22 A. I don't think I would agree in looking at what 23 facilities should be directly assigned. I 24 wouldn't look at the cost implications of 25 that.</p>

Page 137

Page 138

1 MR. SEVIOUR:

2 Q. Okay. And in this particular case I think
3 that, yes, you made no particular cost
4 analysis in relation to the cost implications
5 for common assignment of the transmission
6 lines that you recommend in your report?

7 MS. TABONE:

8 A. Yeah, at the time we submitted our testimony
9 we didn't have enough information to do that
10 or couldn't locate it readily enough to do
11 that. I have heard in the testimony, either
12 reading through transcripts or when I was
13 here, I can't recall, that the cost impact is
14 1.5 million to the Industrial Customers out of
15 a total revenue requirement of about 50
16 million.

17 MR. SEVIOUR:

18 Q. And perhaps we can pull up U-Hydro No. 14, Mr.
19 O'Reilly. And this was the undertaking filed
20 last Friday, for the benefit of the Board
21 members. And I understand that this is an
22 update from that earlier figure to which you
23 refer, the 1.5 million. And these are the
24 cost allocation implications of common
25 assignment of the GNP transmission to common,

1 both for Newfoundland Power and Island
2 Industrial. I don't know if you've had
3 opportunity to review this undertaking
4 previously, Ms. Tabone?

5 MS. TABONE:

6 A. Not that I recall.

7 MR. SEVIOUR:

8 Q. As I understand it, the tables reflect that
9 the current General Rate Application
10 implications reflect that the customer cost
11 increase to Newfoundland Power is 580,000 and
12 to the Island Industrial is \$1,109,000 on
13 account of that common assignment of the GNP
14 transmission. But you were weren't aware of
15 that at the time that you developed your
16 report, I understand?

17 MS. TABONE:

18 A. Correct.

19 MR. SEVIOUR:

20 Q. And you were similarly unaware of the cost
21 implications of the generation assignment, the
22 GNP generation assignment to common?

23 MS. TABONE:

24 A. I believe that had been filed somewhere
25 because that was a recommendation of Hydro

Page 139

Page 140

1 that the--so I believe that was either filed
2 in the RFI or -

3 MR. SEVIOUR:

4 Q. Perhaps you can pull up IC-233, Mr. O'Reilly,
5 and I'll put that to you. This indicates, as
6 I understand it, that the implications of cost
7 assignment of common of the GNP generation is
8 \$11,830 annually to Newfoundland Power and one
9 hundred and ninety-one thousand, three hundred
10 and--of a hundred and thirty-six dollars to
11 the Industrial Customers. Does that--is that
12 the material that you were thinking of?

13 MS. TABONE:

14 A. Yeah, that's the range I was recalling.

15 MR. SEVIOUR:

16 Q. But in your view of the exercise in making
17 recommendations to this Board as to how to
18 properly assign costs, whether specifically or
19 to common, you do not believe that it's
20 necessary or appropriate to know the cost
21 implications of such assignment exercises?

22 MS. TABONE:

23 A. Not for the purposes of the Cost of Service,
24 no.

25 MR. SEVIOUR:

1 Q. I want to take you to Exhibit JRH-3, page 24.
2 And we've had a bit of evidence on the Hydro
3 Rural sub-transmission definition that
4 appears. And just to put this in context,
5 these are the guidelines that are utilized by
6 Hydro on the current GRA, including the
7 assignment of plant issues. And Hydro Rural
8 sub-transmission is defined as "All
9 transmission of terminal station plant serving
10 only Hydro Rural rate classes." Are you aware
11 of that as a plant assignment guideline, Ms.
12 Tabone?

13 (12:17 p.m.)

14 MS. TABONE:

15 A. I'm aware of that through this report, yes.

16 MR. SEVIOUR:

17 Q. And based on your experience, is that an
18 accepted assignment principle or guideline?

19 MS. TABONE:

20 A. Again, I think that would be inconsistent with
21 my theory on postage stamp pricing and not
22 assigning things, but certainly that's a
23 definition you could use.

24 MR. SEVIOUR:

25 Q. Well, in your experience, is it an accepted

Page 141	Page 142
<p>1 MR. SEVIOUR: 2 guideline for plant assignment? 3 MS. TABONE: 4 A. It may be accepted. I would say it's not 5 common. 6 MR. SEVIOUR: 7 Q. And it conflicts with your view of the world? 8 MS. TABONE: 9 A. Yes, yes, it does. 10 MR. SEVIOUR: 11 Q. And my purpose in bringing it to this 12 guideline is that Mr. Haynes, in his evidence, 13 stated that this was another basis for 14 specifically assigning the GNP transmission to 15 Hydro Rural customers. And I take it you 16 would disagree with him on that? 17 MS. TABONE: 18 A. Yes, I would. 19 MR. SEVIOUR: 20 Q. Just on your consistency principle, Ms. 21 Tabone, if it does apply and the Board decides 22 to assign GNP transmission to Hydro Rural, 23 would that in your opinion mean that the Board 24 should also assign the GNP generation to Hydro 25 Rural?</p>	<p>1 MS. TABONE: 2 A. I think that would fall out from my theory, 3 but at the same time to be consistent with the 4 treatment of Newfoundland Power, then I 5 believe that that amount of generation and 6 transmission should be deducted from the 7 allocation of common generation and 8 transmission. They shouldn't pay for it 9 twice, in other words. 10 MR. SEVIOUR: 11 Q. And just before leaving our discussion about 12 these guideline principles, I'd like to take 13 you briefly to your report, page 19. And my 14 interest really is in lines 15 and 16 of that 15 page where again you're talking about specific 16 assignment. And your proposition there after 17 discussing some of the issues associated with 18 the radial line assignments it said, "Because 19 of this utilities that direct", direct, I 20 assume that's supposed to mean directly, 21 "assign facilities must have irrefutable 22 evidence of the independence of the facilities 23 directly assigned." And my interest here is 24 in the use of your language, "irrefutable 25 evidence". And it's not language I see in any</p>
Page 143	Page 144
<p>1 of the guidelines that is in the evidence 2 elsewhere in this hearing or in the recitation 3 from the Bonbright principles. And I just 4 wanted to give you a chance to react to that. 5 MS. TABONE: 6 A. Well, again, we do Cost of Service frequently 7 and there are limited cases where we do 8 directly assign facilities, and it's done only 9 when there are very clear reasons for doing 10 it. For example, we've worked for an 11 industrial customer that I know of that wanted 12 added reliability on their plant and they paid 13 for, I can't remember if it was up front or 14 through their rate, but there is a second 15 feeder that serves that plant and they get 16 added reliability to it. It's clearly used 17 just for them and that cost would be directly 18 assigned in that case, and in that case they 19 would pay a full allocation of all the other 20 costs as well because they want something 21 separate. In other cases you may have an 22 industrial customer that is served off of one 23 specific substation that's designed just to 24 serve them and they're directly assigned that 25 cost of that substation. In that case they</p>	<p>1 would not pay a share of all the other 2 substations on the system. 3 MR. SEVIOUR: 4 Q. And that's helpful, but my interest in this 5 discussion is at the level of principle. And 6 I'm putting to you that this standard or 7 almost a rebuttable presumption that you've 8 got to have irrefutable evidence before 9 there's an appropriate case for specific 10 assignment is not found in the discussion of 11 the other experts of the appropriate 12 assignment guidelines? 13 MS. TABONE: 14 A. Well, I think if you think of the terms of 15 where there's benefit to more than one 16 customer, that brings up the question as to 17 whether, you know, whether it's a little bit 18 of benefit or a lot of benefit, you can't 19 break out on how much, you know, is for the 20 benefit of one customer versus the other and 21 that's why you treat it as common, because 22 it's not irrefutable that only one customer 23 benefits or you know exactly who benefits, you 24 know, by what proportion. And so to that 25 extent I think having evidence that it's only</p>

Page 145	Page 146
<p>1 MS. TABONE: 2 one customer, and in my mind that means one 3 customer, not one customer class, raises the 4 question, you know, the evidence, and if it's 5 irrefutable or not. 6 MR. SEVIOUR: 7 Q. So the presumption is common in all cases 8 unless you've got an irrebuttable case to the 9 contrary? 10 MS. TABONE: 11 A. Correct. 12 MR. SEVIOUR: 13 Q. Okay. One of the other radial lines discussed 14 in your evidence was Doyles-Port aux Basques. 15 And I don't plan to spend much time on that. 16 Leaving aside the issue of the Newfoundland 17 Power generation credit with which the IC's 18 take issue and I think that you say if the 19 Newfoundland Power generation credit remains 20 then that should be specifically assigned to 21 Newfoundland Power but otherwise it should be 22 common assignment? 23 MS. TABONE: 24 A. That's correct. 25 MR. SEVIOUR:</p>	<p>1 Q. And I'm into the latter scenario, in other 2 words, assume that the Newfoundland Power 3 generation credit does not remain, Ms. Tabone. 4 In that scenario I would suggest to you that 5 the issues pertaining to that radial line are 6 substantially the same as those that apply to 7 the GNP. Would you agree? 8 MS. TABONE: 9 A. I have not looked at the technical side of 10 those two side by side. Again, if it's really 11 only benefitting Newfoundland Power, perhaps 12 it was a transmission line they should have 13 built and they should pay for it. If it's 14 benefitting them plus some other customers, 15 then it would be common. 16 MR. SEVIOUR: 17 Q. Yeah. Well, accept for the purposes of this 18 discussion that it is serving only 19 Newfoundland Power customers. 20 MS. TABONE: 21 A. You're saying it's only serving Newfoundland 22 Power customers and they're getting no 23 credits? 24 MR. SEVIOUR: 25 Q. And they're getting no credits. And does that</p>
Page 147	Page 148
<p>1 make it similar to the GNP situation? 2 MS. TABONE: 3 A. Yes, that would make it similar to GNP then. 4 MR. SEVIOUR: 5 Q. And would you agree that if the Board decided 6 to make a specific assignment of the GNP 7 transmission to Hydro Rural, then it should 8 specifically assign the Doyles-Port aux 9 Basques transmission to Newfoundland Power? 10 MS. TABONE: 11 A. Yes, I do agree that they should both be 12 treated the same way. 13 MR. SEVIOUR: 14 Q. Thank you. I wanted to finish this discussion 15 of assignment in the area of the Burin 16 Peninsula. Maybe we could pull up JRH-3, page 17 6, the map, please, Mr. O'Reilly? Scroll down 18 somewhat. Do you know where you are, Ms. 19 Tabone, now that you've been here for a few 20 days? 21 MS. TABONE: 22 A. It's the boot I keep referring--hearing people 23 talk about? 24 MR. SEVIOUR: 25 Q. It's our own little Italy, yes. I think we've</p>	<p>1 heard a fair amount and now understand that 2 TL-212 is the older line which interconnects 3 the hydro plant at Paradise River to the grid 4 and TL-219 is the more expensive and more 5 contentious transmission line which runs down 6 to interconnect with the Newfoundland Power 7 transmission generating facilities at the boot 8 of the peninsula. Is that consistent with 9 your understanding? 10 MS. TABONE: 11 A. Yes, it is. 12 MR. SEVIOUR: 13 Q. And in this scenario which identifies the 14 Hydro assets, it's clear that the two 15 transmission lines are not, in fact, 16 physically interconnected by Hydro assets, are 17 they? 18 MS. TABONE: 19 A. I haven't studies that in particular. It 20 doesn't appear to be. 21 MR. SEVIOUR: 22 Q. Doesn't appear to be. And I don't think there 23 was any issue on the point. We've had 24 evidence before this Board that the load split 25 on the Burin is 99.5 percent Newfoundland</p>

Page 149	Page 150
<p>1 MR. SEVIOUR: 2 Power and .5 percent Hydro Rural. Are you 3 aware of that? 4 MS. TABONE: 5 A. Generally, yes. 6 MR. SEVIOUR: 7 Q. Yeah. And that there are no Industrial 8 Customers on that peninsula? 9 MS. TABONE: 10 A. Correct. 11 MR. SEVIOUR: 12 Q. Are you aware of that? 13 MS. TABONE: 14 A. Correct. 15 MR. SEVIOUR: 16 Q. Are you aware that the Hydro Rural customers, 17 the .5 percent of the load are physically 18 serviced from transmission line 212? 19 MS. TABONE: 20 A. I'm not aware of that. 21 MR. SEVIOUR: 22 Q. Well, can you accept that? I think that that 23 is - 24 MS. TABONE: 25 A. I can accept that.</p>	<p>1 MR. SEVIOUR: 2 Q. That is the evidence as I understand it from 3 Mr. Haynes on the point. And are you aware 4 that the Burin generation, 34.7 megawatts 5 cannot service the Burin peak load of 58.7 6 megawatts? 7 MS. TABONE: 8 A. That clearly wouldn't be sufficient to cover 9 the entire load. 10 MR. SEVIOUR: 11 Q. Pardon me? 12 MS. TABONE: 13 A. If you're saying it's not sufficient in size 14 to cover the load? 15 MR. SEVIOUR: 16 Q. That's my understanding. I think that there's 17 an IC on this, IC-339 which grounds the 18 figures I've just put to you. But are you 19 aware of that or were you aware of that in 20 making your recommendations? 21 MS. TABONE: 22 A. Again, the technical details of this were not 23 a major consideration. I was looking at the 24 policies, so I may not be well versed on all 25 the technical details.</p>
Page 151	Page 152
<p>1 MR. SEVIOUR: 2 Q. But this is back to the issue you raised with 3 Mr. Kelly about electrons leaving the 4 transmission lines? 5 MS. TABONE: 6 A. Um-hm. 7 MR. SEVIOUR: 8 Q. In other words, at peak load the generation 9 which is assigned common on the Burin 10 Peninsula is insufficient to service the local 11 loads. Is that a fair conclusion? 12 MS. TABONE: 13 A. I'll accept that. 14 MR. SEVIOUR: 15 Q. Okay. Now, I wanted to take you, having gone 16 through the map, to page 24 of JRH-3. And 17 this again is back into the guidelines 18 utilized by Hydro in their assignment 19 exercise. And what we have here is the NPIC 20 sub-transmission. It's defined as 21 transmission and termination station plant 22 which serves both Newfoundland Power and an 23 Industrial Customer but not Hydro Rural and 24 has an original cost of at least two percent 25 of the total transmission and terminal</p>	<p>1 stations costs. Are you aware of that as a 2 guideline for assignment of plant. 3 MS. TABONE: 4 A. In terms of this particular study, yes, I've 5 seen the definition and I'm aware of it. 6 MR. SEVIOUR: 7 Q. Okay. 8 MS. TABONE: 9 A. It's not a common definition. 10 (12:30 p.m.) 11 MR. SEVIOUR: 12 Q. And I'm not sure if you were here for the 13 evidence, but are you aware of Mr. Greneman's 14 evidence that he agreed that a similar 15 assignment principle could operate with 16 respect to Newfoundland Power, Hydro Rural? 17 MS. TABONE: 18 A. I was here for that, I heard that discussion, 19 yes. 20 MR. SEVIOUR: 21 Q. You heard that evidence? 22 MS. TABONE: 23 A. Um-hm. 24 MR. SEVIOUR: 25 Q. And do you agree with him on that point?</p>

Page 153	Page 154
<p>1 MS. TABONE:</p> <p>2 A. Again, if you go the direct assignment route,</p> <p>3 there could be a precedent for splitting those</p> <p>4 two lines and assigning them differently.</p> <p>5 MR. SEVIOUR:</p> <p>6 Q. And that was the position of the IC experts,</p> <p>7 as well. You may be aware of that. And I</p> <p>8 think you were here also for Mr. Brockman, who</p> <p>9 testified yesterday, and I think briefly</p> <p>10 talked about the issue of the Burin Peninsula</p> <p>11 and suggested that this might be an area where</p> <p>12 it might be appropriate to make a compromise</p> <p>13 such that one transmission line was assigned</p> <p>14 to common and one was assigned specific. Do</p> <p>15 you recollect that evidence?</p> <p>16 MS. TABONE:</p> <p>17 A. Yes, I do.</p> <p>18 MR. SEVIOUR:</p> <p>19 Q. And do you agree or disagree with his view as</p> <p>20 expressed on that subject?</p> <p>21 MS. TABONE:</p> <p>22 A. Well, clearly from a technical standpoint you</p> <p>23 could break out as many lines as you want and</p> <p>24 assign them however you want. Again, it's our</p> <p>25 recommendation that there is consistency as</p>	<p>1 well as that everything is looked at on a</p> <p>2 postage stamp basis, so it's not a</p> <p>3 recommendation I would make.</p> <p>4 MR. SEVIOUR:</p> <p>5 Q. So back to the postage stamp, that would</p> <p>6 really trump any of these other</p> <p>7 recommendations that have come forward, in</p> <p>8 your view, is that correct?</p> <p>9 MS. TABONE:</p> <p>10 A. Yes, it would.</p> <p>11 MR. SEVIOUR:</p> <p>12 Q. Final point on this area, I just want to</p> <p>13 suggest to you that--if we can jump back to</p> <p>14 page 6 of that exhibit, please, the map? And</p> <p>15 this is a hypothetical I put to Mr. Haynes. I</p> <p>16 suggested to him and I'm suggesting to you,</p> <p>17 Mr. Tabone, that if you take away transmission</p> <p>18 line 212, then you're left with the</p> <p>19 transmission line 219 with the Newfoundland</p> <p>20 Power generation at the end of the boot of the</p> <p>21 peninsula. And I suggest that in that</p> <p>22 hypothetical scenario you're left with a</p> <p>23 situation which is very similar to the</p> <p>24 Newfoundland--to the GNP situation, that is,</p> <p>25 transmission at the end of a long radial line</p>
Page 155	Page 156
<p>1 which is insufficient to service local loads</p> <p>2 at peak. Sorry. Generation that's</p> <p>3 insufficient to service local loads at peak.</p> <p>4 Do you agree with that analogy?</p> <p>5 MS. TABONE:</p> <p>6 A. On a very high level, yes. I haven't examined</p> <p>7 the details to see how see how similar they</p> <p>8 would be.</p> <p>9 MR. SEVIOUR:</p> <p>10 Q. Okay. I'd provided to the clerk an extract</p> <p>11 from some of the legislation which I was</p> <p>12 hoping to briefly refer to.</p> <p>13 MS. NEWMAN:</p> <p>14 Q. This would be Information No. 20.</p> <p>15 MR. SEVIOUR:</p> <p>16 Q. Thank you, Ms. Blundon. I've had Ms. Blundon</p> <p>17 provide to you an extract from the Electrical</p> <p>18 Power Control Act. And are you familiar with</p> <p>19 this legislation?</p> <p>20 MS. TABONE:</p> <p>21 A. I'm generally familiar with the concept that</p> <p>22 the Industrials do not pay the rural</p> <p>23 subsidization.</p> <p>24 MR. SEVIOUR:</p> <p>25 Q. Okay. Well, that is the point of me putting</p>	<p>1 this to you. It's the policy of government as</p> <p>2 expressed in 3(a)(4) that the rates to be</p> <p>3 charged to supply power to the province should</p> <p>4 be such that after December 31, 1999</p> <p>5 Industrial Customers shall not be required to</p> <p>6 subsidize the cost of power provided to rural</p> <p>7 customers in the province. And were you aware</p> <p>8 of that policy and legislative directive in</p> <p>9 making your report?</p> <p>10 MS. TABONE:</p> <p>11 A. I was generally aware of that. But I don't</p> <p>12 see how postage stamp transmission pricing,</p> <p>13 which is common throughout all of North</p> <p>14 America, would be considered a subsidy of</p> <p>15 Industrial Customers.</p> <p>16 MR. SEVIOUR:</p> <p>17 Q. I wanted to finish with a couple of points on</p> <p>18 your report. With respect to the Newfoundland</p> <p>19 Power generation credit, I took it generally</p> <p>20 that EES has a problem with generation credit</p> <p>21 as it's currently implemented?</p> <p>22 MS. TABONE:</p> <p>23 A. We don't have a problem with the generation</p> <p>24 credit. We have a problem applying that same</p> <p>25 credit to transmission.</p>

Page 157

1 MR. SEVIOUR:

2 Q. And I think I understand the transmission
3 point which comes forward from your report.
4 But as I took--I took the burden of what you
5 were saying about the Newfoundland Power
6 generation credit and the way in which you
7 propose that it be administered to be
8 essentially that it's wrong in principle to
9 credit total capacity as opposed to actual
10 output. Is that correct? And maybe I can
11 focus this by taking you to page 31 of your
12 report, which is my interest in this area.
13 And at the bottom of the page we have in the
14 discussion of Newfoundland Power generation
15 credit and your particular recommendations,
16 the bullet reads, "Crediting total capacity,
17 not actual output, inappropriately dulls long-
18 term incentives." And perhaps you could just
19 simply elaborate on that proposition, what the
20 concern is?

21 MR. CHYMKO:

22 A. Again, the gist of our point here was in
23 regard to the transmission. And what we're
24 suggesting is the transmission needs to be
25 removed from the generation credit but the

Page 159

1 necessary to ensure that Hydro does not over
2 allocate generation costs," "over collect",
3 I'm sorry, "generation costs". My confusion
4 here really related to my understanding that
5 Hydro will get its revenue requirement
6 regardless of whether or not Newfoundland
7 Power receives the generation credit, is that
8 correct?

9 MR. CHYMKO:

10 A. Yes.

11 MR. SEVIOUR:

12 Q. And I think if you look at the table, Table 11
13 below, that simply demonstrates that whether
14 or not Hydro--whether or not Newfoundland
15 Power gets its generation credit, it just
16 impacts the percentages of allocation in the
17 Cost of Service Study. Is that -

18 MR. CHYMKO:

19 A. That's true.

20 MR. SEVIOUR:

21 Q. Okay.

22 MS. TABONE:

23 A. I think to clarify, it would be over
24 collection from, you know, particular classes
25 as oppose to over collection from as a whole.

Page 158

1 generation itself, and we keep hearing a
2 number, I believe it's 124.8 megawatts or 125
3 megawatts, we believe if that's the common
4 number being used, that should continue to be
5 credited to Newfoundland Power. However, we
6 go on and say that perhaps instead of doing it
7 as a reduction through megawatts, we would
8 like to see it as a transparent separate
9 tariff similar to what the non-utility
10 generation proceeds.

11 MR. SEVIOUR:

12 Q. And the transparent, transparency principle
13 that you suggest, is that directed to the
14 actual generation of Newfoundland Power?

15 MR. CHYMKO:

16 A. It's the generation that's available, so--
17 that's deemed to be available. So I'm not
18 sure what you mean by "actual". If it's
19 actual when it comes on and if it's called
20 upon?

21 MR. SEVIOUR:

22 Q. I have one point on page 3 of your report
23 which was just a simple clarification that
24 confused me. Lines 20 and 21 your report
25 says, "While the generation credit is

Page 160

1 MR. SEVIOUR:

2 Q. Okay. The final point I wanted to ask you
3 about was integrated resource planning. You
4 talk briefly about this. And is that the type
5 of a thing that you would recommend before a
6 substantial new plant was approved by a board
7 such as this?

8 MR. CHYMKO:

9 A. Yes.

10 MR. SEVIOUR:

11 Q. And it would typically be, in your experience,
12 a matter of regulatory review on approval?

13 MR. CHYMKO:

14 A. Yes.

15 MR. SEVIOUR:

16 Q. And in analysis of that kind of approval,
17 would it typically consider the full range of
18 demand and energy issues that would relate to
19 additional capacity and DSM and energy
20 conservation, things of that nature?

21 MR. CHYMKO:

22 A. Yes. You have to look at the full gamut right
23 from all the supply options to all the
24 customer impacts and opportunities that
25 customers might have at a reasonable cost.

<p style="text-align: right;">Page 161</p> <p>1 MR. SEVIOUR: 2 Q. And those issues and options would include 3 things such as the interruptible B option, 4 that kind of a thing? 5 MR. CHYMKO: 6 A. Yes. 7 MR. SEVIOUR: 8 Q. And typically would you want to have an 9 integrated resource planning type of analysis 10 done before, in fact, you made a decision to 11 terminate an existing program, curtailable 12 program such as the interruptible B? 13 MR. CHYMKO: 14 A. Yes. We believe it is important, in 15 particular, to ensure that the price signals 16 aren't--were on the table, taken off the 17 table, back on the table after a particular 18 study. So again, yes, we're saying that's why 19 a resource plan should come very quickly 20 after, hopefully, we go forward with the 2004 21 demand energy rate. 22 MR. SEVIOUR: 23 Q. Thank you, Panel, and thank you, Mr. Chair. 24 Those are my questions. 25 CHAIRMAN:</p>	<p style="text-align: right;">Page 162</p> <p>1 Q. Thank you, Mr. Seviour. Good afternoon, Mr. 2 Hearn. When you're ready, please? 3 HEARN, Q.C.: 4 Q. Good afternoon, Mr. Chair. Ms. Tabone, I 5 believe in your report at pages 16 and 17 you 6 discuss the Labrador, so-called Labrador 7 Interconnected System. Would that be correct? 8 MS. TABONE: 9 A. That's correct. 10 HEARN, Q.C.: 11 Q. I wonder if we might just review that system 12 and just look at it and all its components. 13 Are you aware of the history of the 14 development of the various aspects of that so- 15 called Labrador Interconnected System? 16 MS. TABONE: 17 A. I'm aware based on what I've read in various 18 testimony and the Application. I'm sure there 19 are a lot of details that I'm not aware of. 20 HEARN, Q.C.: 21 Q. Let's start by discussing the distribution 22 component in Labrador West. Are you aware who 23 built the distribution facilities for the 24 electrical system that presently serves 25 Labrador West?</p>
<p style="text-align: right;">Page 163</p> <p>1 MS. TABONE: 2 A. If I recall it, it was at least partially 3 built or there were financial payments made by 4 the local industrial firm? 5 HEARN, Q.C.: 6 Q. When you say - 7 MS. TABONE: 8 A. I'm not sure if I--frankly, I don't know the 9 technical details that well and - 10 HEARN, Q.C.: 11 Q. Well, let me suggest to you, and I'm sure my 12 friends will correct me if I'm wrong, but I 13 don't think this is incorrect. Let me suggest 14 to you that the distribution system in 15 Labrador West was entirely built by the mining 16 companies at their cost with no contribution 17 from Hydro. Were you - 18 MS. TABONE: 19 A. I would accept that, yes. 20 GREENE, Q.C.: 21 Q. Mr. Hearn, you're talking about originally, I 22 - 23 HEARN, Q.C.: 24 Q. Yes. And I will come to that clarification, 25 Ms. Greene, as I knew you would ensure I do.</p>	<p style="text-align: right;">Page 164</p> <p>1 I would also suggest that subsequent to Hydro 2 taking ownership of the distribution 3 facilities that Hydro has contributed towards 4 some, but not all of the cost distribution 5 facilities. Would that be fair to say, Ms. 6 Greene, I haven't misstated myself, have I? 7 You received a contribution from the mining 8 companies or Hydro has received a contribution 9 from the mining companies towards the 10 upgrading even after they've taken ownership 11 is my point. 12 GREENE, Q.C.: 13 Q. That's correct. There was--I feel like I'm 14 giving evidence. The distribution system was 15 substandard when it was acquired by Hydro. 16 There was an agreement that each of the mining 17 companies would pay to bring it to a certain 18 level. There are no ongoing commitments, 19 though, however, with respect to the 20 distribution system. It was to bring each 21 distribution system, one in Lab West--one in 22 Labrador City and one in Wabush mines up to a 23 certain standard that was acceptable at the 24 time of the takeover.</p>

Page 165

1 MS. TABONE:

2 A. And that would be my understanding. And
3 again, an important point there is that going
4 forward that the utility will be paying for
5 new capital improvements that are needed.

6 HEARN, Q.C.:

7 Q. Yes, I understand that and I don't think
8 there's any issue with that by the consumers
9 in Labrador West that they should pay for the
10 costs, for those ongoing costs. Just my point
11 is to just to bring out the history of the
12 distribution facilities in Labrador West
13 themselves, that they were--would you agree,
14 subject to any clarification of my learned
15 friends, that they were not originally
16 constructed by Hydro nor paid for by Hydro?

17 MS. TABONE:

18 A. I would agree. And there are probably a lot
19 more technical details that you want to walk
20 me through, but I don't think that they have
21 any impact on my overall recommendations.

22 HEARN, Q.C.:

23 Q. Well, I don't think I'll walk you through
24 anything contentious, but let's make certain
25 that we understand our basic facts and see if

Page 167

1 with Hydro at the time that these things
2 occurred. So is it a consideration that even
3 entered your mind?

4 MS. TABONE:

5 A. I don't think so, because I think there are
6 probably facilities all over the island and
7 all over Labrador that had different
8 historical basis, how they got built, when
9 they got built, what the costs were that are
10 averaged in and I don't particularly see this
11 as any different. And if there was a quid pro
12 quo, so to say, for why they gave that over,
13 it seems to me there would be some contractual
14 relationship if there was something to be
15 required on the behalf of Hydro.

16 HEARN, Q.C.:

17 Q. Would it be relevant to your analysis if the
18 mining companies that paid and--paid for the
19 capital costs of this system originally and
20 contributed to the upgrade that they turned it
21 over at no cost with the intention that local
22 rates would be kept moderate based on the
23 local Cost of Service?

24 MS. TABONE:

25 A. Well, I see utilities all over the country and

Page 166

1 we have a common understanding on that. So we
2 have a system that was originally built at
3 some considerable capital costs by private
4 interests and subsequently, in effect, given
5 to Hydro?

6 MS. TABONE:

7 A. Correct.

8 HEARN, Q.C.:

9 Q. And would you also agree that there was a
10 contribution towards upgrading that system,
11 again received in the form of a subsidy from
12 the local mining interests to Hydro?

13 MS. TABONE:

14 A. That would be correct.

15 HEARN, Q.C.:

16 Q. Did you ever consider as part of your report
17 why the mining companies had passed over the
18 system at no cost to Hydro and contributed
19 towards the upgrading?

20 MS. TABONE:

21 A. I don't think I could begin to try and predict
22 what was in their minds when they did that.

23 HEARN, Q.C.:

24 Q. Well, they intend to present before this Board
25 and, in fact, they would have had negotiations

Page 168

1 in Canada that have developer contributions to
2 put in facilities that may not have been
3 required by customers 50 years ago that are
4 required now. It keeps the overall costs
5 lower for everybody, but it doesn't mean that
6 their particular residential housing
7 development gets a lower rate than another one
8 where capital was not contributed.

9 HEARN, Q.C.:

10 Q. Well, if the situation in Labrador were that
11 the mining companies had a special interest in
12 keeping their rates low so that they could
13 attract and keep a talented workforce in an
14 isolated area and they made contributions,
15 both capital and towards maintenance, to
16 ensure that, is that not a relevant
17 consideration?

18 GREENE, Q.C.:

19 Q. I would point out there's no evidence before
20 the Board with respect to this issue. And
21 perhaps if Mr. Hearn is going to rely on
22 evidence that's not before the Board, it would
23 be appropriate for him to submit that.

24 HEARN, Q.C.:

25 Q. Well, I won't be presenting the evidence, Mr.

<p style="text-align: right;">Page 169</p> <p>1 HEARN, Q.C.:</p> <p>2 Chairman. And certainly I'm asking if these</p> <p>3 are relevant considerations. As things have</p> <p>4 evolved I'm sure that the Board will be</p> <p>5 hearing the position of the mining companies.</p> <p>6 They've indicated an intention to appear</p> <p>7 before this Board in Labrador West. And I'm</p> <p>8 sure if there's any--if I'm expressing any</p> <p>9 things that are not factually supported, we'll</p> <p>10 hear that and we'll have an opportunity to</p> <p>11 clarify it. But I'm asking this witness if</p> <p>12 this is a relevant consideration.</p> <p>13 CHAIRMAN:</p> <p>14 Q. I accept the fact there's no evidentiary base</p> <p>15 for it. We usually rely on evidence in this</p> <p>16 forum. I'll allow the question, Mr. Hearn,</p> <p>17 but I wouldn't follow-up with too many more</p> <p>18 references in the absence of the evidence.</p> <p>19 And certainly, we will hear what we will hear</p> <p>20 in Labrador, for sure.</p> <p>21 HEARN, Q.C.:</p> <p>22 Q. I understand fully, Mr. Chairman, and I'll be</p> <p>23 guided by that. Would you agree that that</p> <p>24 would be a relevant consideration if that</p> <p>25 were, in fact, the circumstances?</p>	<p style="text-align: right;">Page 170</p> <p>1 MS. TABONE:</p> <p>2 A. In looking at developing a postage stamp rate</p> <p>3 and what systems should be averaged in</p> <p>4 together and what systems should be separate,</p> <p>5 I wouldn't particularly consider that a</p> <p>6 criteria to look at.</p> <p>7 HEARN, Q.C.:</p> <p>8 Q. Does the Labrador West distribution system</p> <p>9 connect directly to any other facilities of</p> <p>10 Newfoundland Hydro?</p> <p>11 MS. TABONE:</p> <p>12 A. I guess--yeah. You know, back to Churchill</p> <p>13 Falls and through that, but -</p> <p>14 HEARN, Q.C.:</p> <p>15 Q. Does it connect to Churchill Falls?</p> <p>16 MS. TABONE:</p> <p>17 A. Well, indirectly through transmission.</p> <p>18 HEARN, Q.C.:</p> <p>19 Q. Who owns that transmission?</p> <p>20 MS. TABONE:</p> <p>21 A. I believe that's Hydro, but I'm not--frankly,</p> <p>22 I'm not sure of the technical circumstances.</p> <p>23 But again, I don't think it would have an</p> <p>24 impact.</p> <p>25 HEARN, Q.C.:</p>
<p style="text-align: right;">Page 171</p> <p>1 Q. So you're not aware whether or not Hydro owns</p> <p>2 the transmission line from Churchill Falls to</p> <p>3 Labrador West?</p> <p>4 MS. TABONE:</p> <p>5 A. Again, that wasn't part of my examination on</p> <p>6 this issue. It was not a significant factor</p> <p>7 as to who owns the facilities. It's a matter</p> <p>8 of whether the facilities that were owned by</p> <p>9 Hydro were averaged in together or treated</p> <p>10 separately. And whether it's a contract for</p> <p>11 transmission or a contract for generation or</p> <p>12 ownership of that transmission and generation</p> <p>13 is irrelevant.</p> <p>14 HEARN, Q.C.:</p> <p>15 Q. You used the term "interconnected" to describe</p> <p>16 this system. I would have thought, is this</p> <p>17 fair, that you would understand how the</p> <p>18 connections would run and who bore what</p> <p>19 ownership rights and cost responsibilities</p> <p>20 with respect to the transmission.</p> <p>21 MS. TABONE:</p> <p>22 A. Well, again, I was assuming that it was all</p> <p>23 under the same ownership. If there's</p> <p>24 something different than that -</p> <p>25 HEARN, Q.C.:</p>	<p style="text-align: right;">Page 172</p> <p>1 Q. May I suggest to you that -</p> <p>2 MS. TABONE:</p> <p>3 A. - I'd be happy to hear about it. But I was</p> <p>4 assuming that it was all Hydro ownership. I</p> <p>5 understand Churchill Falls is, it's not</p> <p>6 exactly Hydro; it's a power contract.</p> <p>7 HEARN, Q.C.:</p> <p>8 Q. So were you aware of Twin Falls Power</p> <p>9 Corporation?</p> <p>10 MS. TABONE:</p> <p>11 A. Yes, I am.</p> <p>12 HEARN, Q.C.:</p> <p>13 Q. Do you know who the shareholders of Twin Falls</p> <p>14 are?</p> <p>15 MS. TABONE:</p> <p>16 A. Well, I know it's a subdivision of Hydro.</p> <p>17 It's not the same--it doesn't fall under the</p> <p>18 revenue requirements of Newfoundland Hydro</p> <p>19 that's being submitted here now, but</p> <p>20 indirectly it has the same owner.</p> <p>21 HEARN, Q.C.:</p> <p>22 Q. Do you know the shareholding of Twin Falls?</p> <p>23 MS. TABONE:</p> <p>24 A. I assumed it was the government, which is the</p> <p>25 same shareholders of Hydro or it's somehow</p>

<p style="text-align: right;">Page 173</p> <p>1 MS. TABONE: 2 connected. Again, that's not - 3 HEARN, Q.C.: 4 Q. That's an assumption, you haven't checked it 5 out? 6 MS. TABONE: 7 A. It's not a major factor in this. I haven't 8 looked at specifics of all the generation 9 that's averaged out between all the diesel 10 generation and all the specifics of that 11 that's averaged out between the different 12 communities on the Island Isolated or the 13 Labrador Isolated. I don't see any difference 14 here. 15 HEARN, Q.C.: 16 Q. But you haven't checked out the shareholding 17 of Twin Falls? 18 MS. TABONE: 19 A. No, I have not. 20 HEARN, Q.C.: 21 Q. So you were not aware that the mining 22 companies are shareholders, the mining 23 companies to which I refer, Iron Ore Company 24 and Wabush Mines also have a shareholding 25 interest in Twin Falls?</p>	<p style="text-align: right;">Page 174</p> <p>1 MS. TABONE: 2 A. I was not aware of that. And again, it's the 3 power supply contract. I'm not sure it 4 matters who the owner is. I know that there's 5 a power supply contract that goes to both the 6 east and the west side. 7 HEARN, Q.C.: 8 Q. Well, let's--you say there's a power supply 9 contract that goes to the east and west side? 10 MS. TABONE: 11 A. Well, power supply contract that serves the-- 12 that services Hydro to allow them to serve 13 both east and west. 14 HEARN, Q.C.: 15 Q. What contract are you referring to? 16 MS. TABONE: 17 A. The contract with--from Churchill Falls, 18 Churchill Falls. 19 HEARN, Q.C.: 20 Q. What is the contract to which you're referring 21 to between Churchill Falls - 22 MS. TABONE: 23 A. It's a power supply contract. I've read about 24 it in transcripts and in the evidence, but 25 again, I have not looked at the specifics of</p>
<p style="text-align: right;">Page 175</p> <p>1 the power supply contract because it's not at 2 issue to my recommendations. 3 HEARN, Q.C.: 4 Q. Are you aware or can you tell us about what 5 the weaning (phonetic) arrangements are 6 between Churchill Falls and Labrador West? 7 MS. TABONE: 8 A. I'm not aware of the specifics. And again, 9 none of the specifics really have a lot to do 10 with my recommendation. Similar, like I said, 11 on the isolated systems there's a lot of 12 different technical issues between all the 13 different communities served. I don't see 14 this as being any different than those and 15 it's not a technical issue that was required 16 to make my recommendations. 17 HEARN, Q.C.: 18 Q. Would it make any difference whether there 19 were any costs associated with weaning 20 (phonetic) from Churchill Falls to Labrador 21 West? 22 MS. TABONE: 23 A. You mean you're saying that there would be 24 costs to Lab West and not costs to Happy 25 Valley-Goose Bay or vice versa?</p>	<p style="text-align: right;">Page 176</p> <p>1 HEARN, Q.C.: 2 Q. Yes. 3 MS. TABONE: 4 A. I don't see that making any more difference 5 than where a particular community on, say, the 6 Island Interconnected system is, in terms of 7 transmission, how close they are to 8 transmission. 9 HEARN, Q.C.: 10 Q. Suppose there were no costs associated with 11 the transmission of energy from Labrador--from 12 Churchill Falls to Labrador West and there 13 were costs associated with the transmission of 14 energy from Churchill Falls to Labrador East, 15 would that make a difference to your analysis? 16 MS. TABONE: 17 A. No, it wouldn't, and again, I would compare 18 that to perhaps a community that is located 19 right next to Holyrood perhaps that wouldn't 20 need any transmission to get power to them. 21 But they're averaged out with everybody else 22 on the system and everybody pays the same 23 amount of transmission, same amount of 24 generation.</p>

Page 177

1 HEARN, Q.C.:
 2 Q. I'd suggest to you that the facts in this case
 3 are that the energy does come from Churchill
 4 Falls and it's wheeled to Labrador West
 5 through Twin Co. at no cost and that that's
 6 common ground. But you weren't aware of that
 7 in your analysis, were you?
 8 MS. TABONE:
 9 A. I probably read that at one point. Again, it
 10 wasn't a major factor. I recognize that there
 11 are significant cost differences between the
 12 two communities or the two systems, just as
 13 there are going to be with any communities,
 14 whether it's GNP, whether it's, you know,
 15 other--the Isolated Rural systems are all
 16 going to have different costs. You could--
 17 again, it's back to postage stamp versus
 18 direct assignment. How much of that do you
 19 do? You could directly assign every single
 20 customer on the system and I think -
 21 HEARN, Q.C.:
 22 Q. Or you could assign them individually or you
 23 could do some combination thereof, could you
 24 not? We don't, in fact, in this province,
 25 have a postage stamp system, do we? Because

Page 179

1 MS. TABONE:
 2 A. Well, it appears to me from the map that that
 3 would be Hydro.
 4 HEARN, Q.C.:
 5 Q. Would you know anything of the costs
 6 associated with those transmission facilities?
 7 MS. TABONE:
 8 A. Again, I've seen in the study, I've seen in
 9 Mr. Drazen's evidence that, yes, he's broken
 10 out costs that differ between the two areas
 11 and I don't take exception with the fact that
 12 the costs are different. I take exception
 13 with the fact that you create six cost of
 14 service studies instead of five, that you
 15 treat them differently than you treat the
 16 Island Interconnected system or the Island
 17 Isolated system where different communities
 18 are averaged in.
 19 HEARN, Q.C.:
 20 Q. So you would accept that Hydro bears the
 21 transmission costs for the energy from
 22 Churchill Falls to Labrador East?
 23 MS. TABONE:
 24 A. Correct.
 25 HEARN, Q.C.:

Page 178

1 we have multiple rates. Hydro are proposing
 2 five, are they not?
 3 MS. TABONE:
 4 A. You have a series of five different cost of
 5 services, which gives you perhaps five zones
 6 or five different systems, however you want to
 7 refer to it. Within that -
 8 HEARN, Q.C.:
 9 Q. So that's not -
 10 MS. TABONE:
 11 A. - there's quite a bit of averaging.
 12 HEARN, Q.C.:
 13 Q. But that's not your postage stamp system that
 14 you're referring to in the other
 15 jurisdictions?
 16 MS. TABONE:
 17 A. Well, there's a degree of how much is postage
 18 stamped. It depends on how big the utility is
 19 and if there's multiple utilities in a
 20 particular province versus one.
 21 HEARN, Q.C.:
 22 Q. So looking at the transmission from Churchill
 23 Falls to Labrador East, do you know who built,
 24 owns and maintains the transmission facilities
 25 from Churchill Falls to Labrador East?

Page 180

1 Q. And you would accept that there are no
 2 transmission costs associated with the
 3 transmission of energy from Churchill Falls to
 4 Labrador West?
 5 MS. TABONE:
 6 A. No cost to the utility.
 7 HEARN, Q.C.:
 8 Q. To the utility.
 9 MS. TABONE:
 10 A. There's obviously a cost to somebody.
 11 HEARN, Q.C.:
 12 Q. Yes, somebody. Obviously someone is bearing
 13 the burden, but there are no costs being added
 14 to the delivery of the energy at the bus bar
 15 or at the terminal station in Labrador West?
 16 MS. TABONE:
 17 A. Right.
 18 HEARN, Q.C.:
 19 Q. Would you also accept that the distribution
 20 system in Labrador East has a completely
 21 different cost basis than the one in Labrador
 22 West?
 23 MS. TABONE:
 24 A. Just like any other community in the
 25 Interconnected systems or Isolated systems

<p style="text-align: right;">Page 181</p> <p>1 MS. TABONE: 2 that are averaged, there's a different cost 3 basis. 4 HEARN, Q.C.: 5 Q. So you don't have any difficulty with that. 6 Would you know whether or not the--how the 7 costs compare from Labrador East to Labrador 8 West respectively? 9 MS. TABONE: 10 A. That's in Mr. Drazen's evidence that I've 11 looked at. I don't have it off the top of my 12 head. I could - 13 (1:00 p.m.) 14 HEARN, Q.C.: 15 Q. Do you take any issue with Mr. Drazen's 16 evidence on that? 17 MS. TABONE: 18 A. No, I don't. His evidence is technical in 19 nature. It's looking at the cost differences. 20 Mine is based on policy and whether those cost 21 differences, regardless of how significant 22 they are, whether they matter on a policy 23 basis. 24 HEARN, Q.C.: 25 Q. So you don't take any issue with Mr. Drazen's</p>	<p style="text-align: right;">Page 182</p> <p>1 evidence that the cost of service that even 2 though the sales in Labrador West are greater 3 than those in Labrador East, the cost of 4 service is less than half, given the ratio of 5 about three to one in respective costs in the 6 two areas? 7 MS. TABONE: 8 A. Yes, I agree with his findings on the 9 technical basis, yes. 10 HEARN, Q.C.: 11 Q. Would you acknowledge that there's standby 12 generation capacity in Labrador East that 13 serves Labrador East only, some 38 megawatts? 14 MS. TABONE: 15 A. Again, that was in Mr. Drazen's evidence and I 16 don't take issue with that. I don't see it 17 being that different from some of the issues 18 that we were talking about the Island 19 Interconnected system. 20 HEARN, Q.C.: 21 Q. So then you would agree that on distribution, 22 transmission and generation, that there are 23 different cost basis for the two different 24 portions of what's referred to as the Labrador 25 Interconnected system? Would that be correct?</p>
<p style="text-align: right;">Page 183</p> <p>1 MS. TABONE: 2 A. That would be correct. 3 HEARN, Q.C.: 4 Q. And in each case, the costs associated with 5 Labrador West are significantly lower than 6 those associated with Labrador East? 7 MS. TABONE: 8 A. I would agree with that and I'm sure you could 9 find lots of pairings of cities and towns on 10 the Island Interconnected or the Island Rural 11 that would have similar comparisons to it. 12 HEARN, Q.C.: 13 Q. You say lots of pairings on the island or 14 within the system? 15 MS. TABONE: 16 A. Um-hm. 17 HEARN, Q.C.: 18 Q. Is there any other example that you can point 19 us to of a pairing of what's in effect two 20 municipal areas where one is expected to 21 subsidize the other? 22 MS. TABONE: 23 A. Well, it seems to me that there's quite a bit 24 of subsidization going on in this province 25 already.</p>	<p style="text-align: right;">Page 184</p> <p>1 HEARN, Q.C.: 2 Q. But within this Labrador Interconnected 3 system, we have, in effect, a municipal area 4 in Labrador East, a municipal area in Labrador 5 West, that are some 500 kilometres apart. Can 6 you present us with an example of any other 7 system that consists of an equivalent, where 8 one area is subsidizing the other, that's not 9 a general postage stamp system? 10 MS. TABONE: 11 A. Well, again, if I went to the Island Isolated 12 system, I have it booked--I don't think 13 anybody tracks the costs or at least it hasn't 14 been presented in this hearing of every single 15 community that has its own diesel system and 16 it's own distribution system and compared them 17 to each other to see if different communities 18 are subsidizing the other ones. 19 HEARN, Q.C.: 20 Q. Would you acknowledge that in Labrador, there 21 have been different rates and in effect, 22 different systems for some 40 years or more? 23 MS. TABONE: 24 A. I would acknowledge that, and again, may not 25 be dissimilar to the GNP case where they were,</p>

Page 185	Page 186
<p>1 MS. TABONE: 2 at one point, isolated and now they've been 3 brought in to the Island Interconnected 4 system. 5 HEARN, Q.C.: 6 Q. What has happened to change the situation to 7 bring Labrador West into now an interconnected 8 system that would not have been before? 9 MS. TABONE: 10 A. It seems to me that occurred when contracts 11 were signed for generation. 12 HEARN, Q.C.: 13 Q. Contracts for generation? To what are you 14 referring? 15 MS. TABONE: 16 A. Contracts for power supply. 17 HEARN, Q.C.: 18 Q. I'm not aware of what contracts that you're 19 referring to, but can you - 20 MS. TABONE: 21 A. With Churchill Falls. 22 HEARN, Q.C.: 23 Q. So you say that when there was a contract 24 signed for the supply of energy, that that 25 made Labrador West and Labrador East a single</p>	<p>1 interconnected system? 2 MS. TABONE: 3 A. Well, and the sale of the system obviously. 4 They were run separately. There was 5 generation. I assume the generation that's 6 installed in Goose Bay Happy Valley area is 7 there because they were using it to serve 8 their own load at one point in the past. But 9 again, I don't know the history in great 10 detail. 11 HEARN, Q.C.: 12 Q. So you don't know when it was built? 13 MS. TABONE: 14 A. Again - 15 HEARN, Q.C.: 16 Q. If I was to suggest to you that that was built 17 prior to Hydro acquiring any interest in the 18 Labrador West distribution system, would that 19 be a relevant factor? 20 MS. TABONE: 21 A. Again, I think it's all those things together 22 and how it's operated now and looking at 23 whether it's different than any of the, I 24 guess, postage stamping of different areas 25 anywhere else on Hydro.</p>
Page 187	Page 188
<p>1 HEARN, Q.C.: 2 Q. So you're referring to--you're looking just 3 within our system for an example, are you? Do 4 you have any other systems that you're 5 referring us to that provide us with a useful 6 analogy? 7 MS. TABONE: 8 A. Most of the systems we're familiar with have 9 postage stamp rates across the entire service 10 area. I have--I do know of a few cases where 11 there may be a single owner of a utility that 12 spans multiple states and they have different 13 rates in each of those states, but for the 14 most--I guess that would be the most similar. 15 HEARN, Q.C.: 16 Q. So it can be different rates in different 17 areas, even with the single owner then? 18 MS. TABONE: 19 A. Correct, and we have that here with five 20 different systems. I'm just suggesting that 21 it remain five and not six. 22 HEARN, Q.C.: 23 Q. So in your discussion, your analysis which 24 took a couple of paragraphs on this issue, 25 that you say numerous jurisdictions with</p>	<p>1 larger service areas than Hydro, for example, 2 BC Hydro, Nova Scotia Hydro, Manitoba Hydro, 3 Hydro Quebec, ATCO Electric, have a single 4 rate by customer class for the full 5 interconnected system, even though the actual 6 costs may vary by location? 7 MS. TABONE: 8 A. Correct. 9 HEARN, Q.C.: 10 Q. In all of those systems that you're using in 11 that example, all of those jurisdictions, is 12 there a single universal rate throughout the 13 whole province or the whole system, for a 14 particular customer class? 15 MS. TABONE: 16 A. What do you mean, for a particular customer 17 class? You mean would every Industrial in the 18 entire province pay the same rate? Is that 19 what you're saying? 20 HEARN, Q.C.: 21 Q. I'm using your language, a single rate by 22 customer class for the full interconnected 23 system. 24 MS. TABONE: 25 A. Right. So each customer class would have a</p>

<p style="text-align: right;">Page 189</p> <p>1 MS. TABONE: 2 rate and it would apply to - 3 HEARN, Q.C.: 4 Q. To the entire system. 5 MS. TABONE: 6 A. - to the entire system, regardless of 7 location. 8 HEARN, Q.C.: 9 Q. So would the--you're not providing us with any 10 illustrations that are in any way analogous to 11 the Labrador system where you've had different 12 systems operated for some 40 years or so with 13 different rates? 14 MS. TABONE: 15 A. No. There are cases where, again, Pacific 16 Corp is an example where they acquired--they 17 own Pacific Power and Light serving Oregon, 18 California, Washington, Idaho. They acquired 19 Utah Power and Light with service in Utah and 20 they clearly had different rates. They 21 maintained different rates, but they have been 22 moving towards averaging various costs that 23 are shared between the different states. 24 HEARN, Q.C.: 25 Q. So even with a single owner, it's not unusual</p>	<p style="text-align: right;">Page 190</p> <p>1 to have different rates? 2 MS. TABONE: 3 A. I would say that's not the norm. 4 HEARN, Q.C.: 5 Q. Nor is it unique, is it? It would not be 6 unique? 7 MS. TABONE: 8 A. Not unique to have different rates, but it's 9 also quite common to have a single rate over 10 an entire province much larger than this one, 11 for example, British Columbia. 12 HEARN, Q.C.: 13 Q. It may be common, but it's not the policy in 14 this province, is it? 15 MS. TABONE: 16 A. No. But it has been the policy, from what 17 I've read, to move the Labrador system to a 18 common rate over a period of time. 19 HEARN, Q.C.: 20 Q. When you say the policy, how did you determine 21 that that was the policy? 22 MS. TABONE: 23 A. The direction coming from the Commission, P.U. 24 7. 25 HEARN, Q.C.:</p>
<p style="text-align: right;">Page 191</p> <p>1 Q. And how did that direction--who sought that 2 direction from the Commission? 3 MS. TABONE: 4 A. Again, I wasn't involved in that hearing. I 5 know what the--generally what the Order says. 6 I don't know how they got there. 7 HEARN, Q.C.: 8 Q. So you haven't examined the underlying 9 rationale for that policy? 10 MS. TABONE: 11 A. No, and I think that was--part of our coming 12 into this was looking at how things are based 13 on our experience in other jurisdictions, 14 without looking solely on the history of 15 what's happened. 16 HEARN, Q.C.: 17 Q. But you're telling us that the experiences 18 that you've cited from other jurisdictions or 19 you're acknowledging, as I'm suggesting, that 20 they're not really analogous to here, are 21 they? The jurisdictions you cited in your 22 report, BC Hydro, Nova Scotia, Manitoba Hydro, 23 Hydro Quebec, and ATCO Electric, they're not 24 analogous to the Labrador Interconnected 25 system, are they?</p>	<p style="text-align: right;">Page 192</p> <p>1 MS. TABONE: 2 A. I don't think you could find any system that's 3 analogous from one to another. There are 4 always unique circumstances. That doesn't 5 mean that there's not a common basis for 6 things like postage stamp pricing, policy 7 direction that, you know, may be common 8 between different jurisdictions. 9 HEARN, Q.C.: 10 Q. Would you agree that aligning rates with cost 11 of service is the most widely recognized 12 measure of rates that are equitable and non- 13 discriminatory? 14 MS. TABONE: 15 A. We've had a lot of discussion in the past few 16 days about Bonbright's principles and there's 17 equity, there's efficiency, the costs going 18 forward may not differ that much between the 19 two sides of Labrador. So maybe the marginal 20 cost for the two aren't different, and that 21 should have an impact as well. You have to 22 balance equity, you know, ability to have 23 efficiency, rate stability and rate stability 24 maybe has been a factor in the fact that these 25 rates are gradually being moved to a single</p>

Page 193	Page 194
<p>1 MS. TABONE: 2 rate and not being done all at once. So I 3 think some of those factors have been taken 4 into account already. 5 HEARN, Q.C.: 6 Q. Have you examined whether the rates going 7 forward on a cost basis ought to differ in 8 Labrador West and Labrador East? 9 MS. TABONE: 10 A. Sounds like that should be part of the 11 marginal cost study everybody's been talking 12 about. 13 HEARN, Q.C.: 14 Q. So that's a relevant factor, is it? 15 MS. TABONE: 16 A. It would be one factor to consider. Again - 17 HEARN, Q.C.: 18 Q. Be a relevant factor? 19 MS. TABONE: 20 A. - when we're talking about a marginal cost 21 study, nobody has really defined it well, 22 whether it's an integrated resource plan or 23 marginal cost study. Are you looking at the 24 cost for a particular customer or the average 25 on the system? And I would suggest that a</p>	<p>1 marginal cost study generally looks at the 2 average on the system and not the incremental 3 cost of serving one community versus another. 4 HEARN, Q.C.: 5 Q. Would you agree that maintaining historical 6 relationships is also an important factor to 7 be considered? 8 MS. TABONE: 9 A. I think it is a factor for the Board to 10 consider. I wouldn't say that it is something 11 that needs to be done in a cost of service. 12 It's probably something you'd look at more 13 from outside, maybe again by the gradualism 14 towards changing things. 15 HEARN, Q.C.: 16 Q. Is the history of some 40 to 50 years of 17 different rates between the two areas a factor 18 that ought to be given some consideration and 19 weight? 20 MS. TABONE: 21 A. I would suggest it has been considered and 22 that's why there's a five-year phase in period 23 to get the rates consistent with one another 24 and not done overnight. 25 HEARN, Q.C.:</p>
Page 195	Page 196
<p>1 Q. Would you regard the views of the mining 2 companies with respect to their financial 3 contributions as being a relevant factor to be 4 considered? 5 MS. TABONE: 6 A. Again, it's not uncommon for customers or 7 governments to provide grants for facilities, 8 for various reasons, whether it's economic 9 development or other reasons, and that I'm 10 assuming that that's been factored into in 11 terms of the book value on Hydro's system. It 12 would be a contribution would reduce the book 13 value of the facilities, which is why you're 14 getting a difference in the cost or one of the 15 reasons. 16 HEARN, Q.C.: 17 Q. Would be one of the reasons? 18 MS. TABONE: 19 A. Would be one of the reasons. 20 HEARN, Q.C.: 21 Q. You're not suggesting, I take it, that it 22 would be the sole reason? 23 MS. TABONE: 24 A. No. 25 HEARN, Q.C.:</p>	<p>1 Q. But would you agree that the reasons for such 2 contributions ought to be given some 3 consideration? 4 MS. TABONE: 5 A. I think the fact that there were contributions 6 should perhaps be considered to some extent. 7 I'm not sure the rationale for the 8 contributions would make any impact. 9 HEARN, Q.C.: 10 Q. Would you agree that it's a widely recognized 11 rate design principle that a utility should 12 recover costs from the customers that cause 13 them to be incurred? 14 MS. TABONE: 15 A. That's very standard principle of cost of 16 service. It's why you do it. Again, there's 17 a lot of judgment and precedent and policy on 18 where you split that out, you know, what's 19 directly assigned, whether you figure that 20 cost for every different customer or whether 21 you postage stamp it and everybody gets, you 22 know, the same share of the same, you know, 23 pot. 24 HEARN, Q.C.: 25 Q. So in some circumstances, equal rates may not</p>

Page 197

Page 198

1 HEARN, Q.C.:

2 be equitable rates?

3 (1:15 p.m.)

4 MS. TABONE:

5 A. There are circumstances where equal rates
6 would not be equitable. I mean, if the
7 customer has a significantly different load
8 shape, for example, and if you've got demand
9 and energy prices, if they had an equal energy
10 rate and they had different load shapes, that
11 probably wouldn't be equitable, which is why
12 you'd split it up by demand and energy, for
13 example.

14 HEARN, Q.C.:

15 Q. Suppose you had two customers, A and B, and A
16 had higher distribution costs, higher
17 transmission costs, higher generation costs
18 than customer B and those were the only two
19 customers you were involved with, and you
20 proposed charging them equal rates, would that
21 be equitable?

22 MS. TABONE:

23 A. There would definitely be, you know, a cost
24 basis differential between those two. It
25 could be that it was the timing of when they

1 came on the system. It could be their
2 physical location, and it's generally a policy
3 decision as to whether you give them the exact
4 same rates or whether you give them each a
5 separate rate. If it's two residential
6 customers, I don't very often see two
7 residential customers have two different
8 rates, even if you know exactly what it costs
9 to serve them.

10 HEARN, Q.C.:

11 Q. But in the Labrador system, we're not dealing
12 with two adjacent residential customers, are
13 we?

14 MS. TABONE:

15 A. No. It wouldn't matter if they were adjacent
16 or on geographically quite a bit different.
17 It's a policy issue whether you treat them the
18 same or treat them differently and you'd have
19 to draw the line. Is it, you know, each
20 community is separate, each interconnected
21 system is separate, you know, or together or
22 whether you have five costs of service or one
23 cost of service for the entire province.
24 That's a policy decision that the
25 Commissioners have to make. I don't think

Page 199

Page 200

1 there are any factual characterizations that
2 are going to make a difference in how that
3 policy decision is made, because you can find
4 factual cost differences between every single
5 customer on the system.

6 HEARN, Q.C.:

7 Q. Can a rate be considered equitable if it's
8 consistent with the cost of service?

9 MS. TABONE:

10 A. That's one way to judge equity.

11 HEARN, Q.C.:

12 Q. When you say it's a policy decision for this
13 Board to make, how does the Board decide
14 whether to have five or six different costs
15 area within the Newfoundland and Labrador
16 provincial jurisdiction?

17 MS. TABONE:

18 A. Well, I think they do need to consider the
19 costs. It's nice to know the costs for
20 consideration. I think they need to look at
21 where they're going in the future and what
22 kind of price signals they want to send to
23 their customers. I think it's an issue
24 sometimes of economic development of where you
25 want development to occur. It's equity not in

1 the sense of cost equity, everybody pays
2 exactly their cost, but whether two customers
3 that happen to live in two separate areas pay
4 the same cost or not.

5 HEARN, Q.C.:

6 Q. Price signals, what do you mean by price
7 signals?

8 MS. TABONE:

9 A. Price signals are basically the rates, and
10 maybe you haven't been here. Maybe you've
11 read the transcript. There's been a lot of
12 discussion about price signals, in terms of
13 the demand and energy rate for Newfoundland
14 Power, and it's trying to get people to make
15 the right decisions on where they locate, what
16 type of appliances they install, how they use
17 power, so that the efficient--or the system
18 can be built in the most efficient way going
19 forward, and for example, you know, if you
20 have to build new generation, you have to take
21 that into account in some manner in your price
22 signal so that you don't build inefficient
23 generation.

24 HEARN, Q.C.:

25 Q. Is there any future generation required for

Page 201	Page 202
<p>1 HEARN, Q.C.:</p> <p>2 Labrador West, that you're aware of?</p> <p>3 MS. TABONE:</p> <p>4 A. I'm not aware of any future generation that</p> <p>5 would be built as a result of that. I mean,</p> <p>6 looking at the resource that they have access</p> <p>7 to on a contractual basis and the loads, I</p> <p>8 can't imagine any situation where they may</p> <p>9 need to build generation.</p> <p>10 HEARN, Q.C.:</p> <p>11 Q. Is there any future generation required for</p> <p>12 Labrador East?</p> <p>13 MS. TABONE:</p> <p>14 A. Again, I haven't looked at the technical side</p> <p>15 of that, and again, it's not just generation.</p> <p>16 It's transmission and probably in this case,</p> <p>17 more importantly, distribution because it</p> <p>18 sounds like the generation and transmission is</p> <p>19 already established.</p> <p>20 HEARN, Q.C.:</p> <p>21 Q. What sort of price signal is being sent by</p> <p>22 this policy to the customers in Labrador West?</p> <p>23 MS. TABONE:</p> <p>24 A. I haven't looked at the particular rates as</p> <p>25 opposed to the price of the power out of the</p>	<p>1 contract, so I don't think I can really speak</p> <p>2 to that.</p> <p>3 HEARN, Q.C.:</p> <p>4 Q. So you haven't even looked at the costs and</p> <p>5 the prices?</p> <p>6 MS. TABONE:</p> <p>7 A. Looked at the cost comparison in Drazen's, Mr.</p> <p>8 Drazen's evidence. Again, that was after we</p> <p>9 submitted our evidence. Again, this isn't--</p> <p>10 our recommendations are not based on cost</p> <p>11 difference, whether it's marginal cost or</p> <p>12 embedded cost.</p> <p>13 HEARN, Q.C.:</p> <p>14 Q. You spoke to price signals and do you know</p> <p>15 what the proposed rates would do for customer</p> <p>16 prices in Labrador West?</p> <p>17 MS. TABONE:</p> <p>18 A. Well, it looks to me like they're going up, I</p> <p>19 don't know, 15 percent, in that order of</p> <p>20 magnitude.</p> <p>21 HEARN, Q.C.:</p> <p>22 Q. Try 28 percent in the first year only. Is</p> <p>23 that -</p> <p>24 MS. TABONE:</p> <p>25 A. Right, but it's -</p>
Page 203	Page 204
<p>1 HEARN, Q.C.:</p> <p>2 Q. What sort of consistency signal is that</p> <p>3 sending?</p> <p>4 MS. TABONE:</p> <p>5 A. Well, I think that's sending them a signal to</p> <p>6 probably use less power.</p> <p>7 HEARN, Q.C.:</p> <p>8 Q. Is there any evidence that you're aware of</p> <p>9 that energy has been wasted in Labrador West?</p> <p>10 MS. TABONE:</p> <p>11 A. I haven't looked at that issue specifically.</p> <p>12 Haven't looked at it for Goose Bay Happy</p> <p>13 Valley or Lab West area.</p> <p>14 HEARN, Q.C.:</p> <p>15 Q. What sort of signal does such an increase send</p> <p>16 to economic development in that area?</p> <p>17 MS. TABONE:</p> <p>18 A. Again, it might make it a little bit harder</p> <p>19 than it was before, but it may still be better</p> <p>20 than it is in a lot of other places.</p> <p>21 HEARN, Q.C.:</p> <p>22 Q. Are you aware that after the proposed almost</p> <p>23 30 percent increase in the first year that</p> <p>24 Hydro proposes increases that approach 20</p> <p>25 percent in subsequent years?</p>	<p>1 MS. TABONE:</p> <p>2 A. I had recalled a number more in the 15 percent</p> <p>3 range, but I think it was under 20 percent.</p> <p>4 HEARN, Q.C.:</p> <p>5 Q. Could it be--some of my calculations make it</p> <p>6 16, 17, 18 percent depending on the particular</p> <p>7 year, could that be accurate?</p> <p>8 MS. TABONE:</p> <p>9 A. Again, I'll accept that.</p> <p>10 HEARN, Q.C.:</p> <p>11 Q. In the present economic circumstances with</p> <p>12 very moderate inflation, are those substantial</p> <p>13 percentage increases?</p> <p>14 MS. TABONE:</p> <p>15 A. Yes, they are, and I've seen a lot of</p> <p>16 jurisdictions where electric prices have gone</p> <p>17 up faster than inflation, and I believe there</p> <p>18 are other customers on the Hydro system that</p> <p>19 are facing rate increases that are quite a bit</p> <p>20 higher than inflation.</p> <p>21 HEARN, Q.C.:</p> <p>22 Q. Any other example of someone facing a 28.2</p> <p>23 percent increase, that you can point us to?</p> <p>24 MS. TABONE:</p> <p>25 A. Not that high. But again, those customers</p>

Page 205	Page 206
<p>1 MS. TABONE: 2 have been receiving a very low rate for a long 3 period of time and so if you look at the 4 differential, they're probably worlds better 5 off having the low rate for a long period of 6 time and a higher rate increase now than 7 somebody who had a higher rate earlier and a 8 lower rate increase now. 9 HEARN, Q.C.: 10 Q. Is there any evidence that consumers in 11 Labrador West have not been paying their cost 12 of supply or cost of service? 13 MS. TABONE: 14 A. That's a function of whether you believe that 15 cost of service should be postage stamp or 16 separate for the two systems. 17 HEARN, Q.C.: 18 Q. Are you aware that, in a previous hearing, 19 that Hydro rebated substantial monies to the 20 Town of Wabush based on an overpayment of 21 costs? 22 MS. TABONE: 23 A. I'm not aware of that and I don't know the 24 specific circumstances. There could be a lot 25 of reasons for that.</p>	<p>1 HEARN, Q.C.: 2 Q. So can you present us with any evidence that 3 the consumers in Labrador West have not been 4 paying their cost of service? 5 MS. TABONE: 6 A. If you were to look at a cost of--if you were 7 to take the proposed cost of service approach 8 now, which is combined, and apply that 9 historically, I think it would show that they 10 had not been paying their cost of service. 11 HEARN, Q.C.: 12 Q. I believe you've already agreed that there's 13 no policy of rate equalization on the Hydro 14 system? 15 MS. TABONE: 16 A. There are a lot of policies that get at that, 17 but - 18 HEARN, Q.C.: 19 Q. But we agree, do we not - 20 MS. TABONE: 21 A. - but not of the whole entire system, no. 22 HEARN, Q.C.: 23 Q. Hydro proposes five sets of rates. Would they 24 not reflect cost differences among five 25 different subsystems?</p>
Page 207	Page 208
<p>1 MS. TABONE: 2 A. That's correct. 3 HEARN, Q.C.: 4 Q. And what's the--from a policy point of view, 5 what's the difference with doing five and 6 maintaining six that already exist? 7 MS. TABONE: 8 A. Because I think that having six is a little 9 bit inconsistent with how they developed the 10 other five, I guess the other four, in this 11 case. So - 12 HEARN, Q.C.: 13 Q. Is having six consistent with continuing to 14 have the six that exist? 15 MS. TABONE: 16 A. I'm not sure I understand your question. 17 HEARN, Q.C.: 18 Q. The experience in Labrador for the past 50 19 years has been different rates in Labrador 20 East and Labrador West. That's the reality, 21 is it not? 22 MS. TABONE: 23 A. Sure. 24 HEARN, Q.C.: 25 Q. So the reality is that we've had, for that</p>	<p>1 past period of time, six systems not five. 2 MS. TABONE: 3 A. Perhaps if you take that approach, then things 4 will never change and not sure - 5 HEARN, Q.C.: 6 Q. Why should they change, between two different 7 municipal areas? We're not talking about 8 averaging out over a whole complete system 9 like the Island, are we? 10 MS. TABONE: 11 A. Well, in that case, you'd never make any 12 improvements. You'd never change anything and 13 you'd keep every system isolated from one 14 another and what you have now is what you have 15 going forward and you never change that, and - 16 HEARN, Q.C.: 17 Q. But if you have two systems that are discreet, 18 that can each maintain their own 19 infrastructure, including any requirements to 20 upgrade, then why do you need the integration 21 that might be required over a larger system 22 such as the Island? If you have two areas 23 that are naturally geographically discreet and 24 some 500 kilometres apart, all you end up 25 doing is making a policy decision that one</p>

Page 209	Page 210
<p>1 HEARN, Q.C.:</p> <p>2 area has to subsidize the other area.</p> <p>3 MS. TABONE:</p> <p>4 A. Well, I think that a similar decision has been</p> <p>5 made throughout the other four systems or I</p> <p>6 guess, really the three systems, the Island</p> <p>7 Interconnected, the Island Isolated and the</p> <p>8 Labrador Isolated, and I think that this move</p> <p>9 is to make Labrador Interconnected consistent</p> <p>10 with the other three systems and how things</p> <p>11 are done.</p> <p>12 HEARN, Q.C.:</p> <p>13 Q. How is it consistent? Can you point to--and I</p> <p>14 asked you this earlier, and I apologize for</p> <p>15 repeating a question, but is there another</p> <p>16 area where you'll end up having essentially</p> <p>17 two municipal areas, one subsidizing the</p> <p>18 other?</p> <p>19 MS. TABONE:</p> <p>20 A. I think if you--I don't have the costs in</p> <p>21 front of me to look at each particular</p> <p>22 community on let's say the Island</p> <p>23 Interconnect--or I'm sorry, the Island</p> <p>24 Isolated system. I think if you were to break</p> <p>25 those costs out between however many</p>	<p>1 communities are served, as well as the</p> <p>2 customers that may not be within a tight, you</p> <p>3 know, small geographical area, might be more</p> <p>4 spread out, more rural, I think you'd probably</p> <p>5 see big differences based on where they happen</p> <p>6 to be located, when the facilities were built,</p> <p>7 things of that nature.</p> <p>8 HEARN, Q.C.:</p> <p>9 Q. How many different communities would be</p> <p>10 involved in the Isolated system that you're</p> <p>11 referring to?</p> <p>12 MS. TABONE:</p> <p>13 A. I don't have an exact number.</p> <p>14 HEARN, Q.C.:</p> <p>15 Q. Do you have an approximate number? It's more</p> <p>16 than two, is it not?</p> <p>17 MS. TABONE:</p> <p>18 A. Sure, quite a bit more than two.</p> <p>19 HEARN, Q.C.:</p> <p>20 Q. Quite a bit more than two, and is there not</p> <p>21 some common characteristic that links those</p> <p>22 particular systems, whether it's they're all</p> <p>23 supplied by local diesel generators or some</p> <p>24 such characteristic as that?</p> <p>25 (1:30 p.m.)</p>
Page 211	Page 212
<p>1 MS. TABONE:</p> <p>2 A. Sure. They're similar in their generation</p> <p>3 source, not their particular source, but the</p> <p>4 type of source, and again, I see, in the case</p> <p>5 of Labrador, again it's the exact same</p> <p>6 generation source, whereas the Island Isolated</p> <p>7 would each have different diesel units.</p> <p>8 They'd be sized differently. They'd be built</p> <p>9 at different times. They may have different</p> <p>10 efficiency levels, even though they may all be</p> <p>11 diesel instead of some being diesel and some</p> <p>12 being hydro, for example.</p> <p>13 HEARN, Q.C.:</p> <p>14 Q. But there'd be more than two communities</p> <p>15 involved?</p> <p>16 MS. TABONE:</p> <p>17 A. Sure.</p> <p>18 HEARN, Q.C.:</p> <p>19 Q. And you agree that ultimately it's a matter of</p> <p>20 policy?</p> <p>21 MS. TABONE:</p> <p>22 A. Yes.</p> <p>23 HEARN, Q.C.:</p> <p>24 Q. Thank you, those are my questions.</p> <p>25 CHAIRMAN:</p>	<p>1 Q. Thank you, Mr. Hearn. Thank you. Mr.</p> <p>2 Kennedy, do you have any -</p> <p>3 MR. KENNEDY:</p> <p>4 Q. Just a couple of points.</p> <p>5 CHAIRMAN:</p> <p>6 Q. - idea how long? You'd be relatively short?</p> <p>7 MR. KENNEDY:</p> <p>8 Q. Take but a moment.</p> <p>9 CHAIRMAN:</p> <p>10 Q. Okay, that's fine.</p> <p>11 MR. KENNEDY:</p> <p>12 Q. So I don't know if you wanted to just plow</p> <p>13 ahead, Chair.</p> <p>14 CHAIRMAN:</p> <p>15 Q. Well, I think if you're going to be a</p> <p>16 relatively short period of time, I think we've</p> <p>17 established that we have limited questions, in</p> <p>18 any event. So if everybody's in agreement and</p> <p>19 we're not food deficient, we'll move on.</p> <p>20 MR. KENNEDY:</p> <p>21 Q. Actually, Mr. O'Reilly, while I'm asking a</p> <p>22 question, if you can find that map that's RDG,</p> <p>23 I think it was 3. One of the pages has the</p> <p>24 full map, and I'm looking at the map of the</p> <p>25 Island. Ms. Tabone, I'm also actually--okay,</p>

Page 213

Page 214

1 MR. KENNEDY:
 2 if you could just--that's not the one I'm
 3 looking for. I'm looking for the one that's
 4 similar to the map that's right in front of
 5 you with the full grid.
 6 GREENE, Q.C.:
 7 Q. I think that's in a Schedule to Mr. Haynes'
 8 pre-filed.
 9 MR. KENNEDY:
 10 Q. Okay.
 11 KELLY, Q.C.:
 12 Q. Martin's, I think.
 13 GREENE, Q.C.:
 14 Q. Martin, is it?
 15 MR. KENNEDY:
 16 Q. Mr. Martin's pre-filed, is it?
 17 KELLY, Q.C.:
 18 Q. I think it's Martin.
 19 MR. KENNEDY:
 20 Q. Ms. Tabone, you got a geography lesson last
 21 night. You got another one here today.
 22 MS. TABONE:
 23 A. Yes.
 24 MR. KENNEDY:
 25 Q. Just without having the actual cost data in

1 front of you, I wonder if you could speak from
 2 an intuitive level. We know--do you know
 3 where St. John's is located on this map?
 4 MS. TABONE:
 5 A. Sure.
 6 MR. KENNEDY:
 7 Q. And you know, for instance, where Corner Brook
 8 is located, over on the west coast?
 9 MS. TABONE:
 10 A. Yes.
 11 MR. KENNEDY:
 12 Q. All right. And they're both part of the
 13 Island Interconnected system, correct?
 14 MS. TABONE:
 15 A. Correct.
 16 MR. KENNEDY:
 17 Q. So a residential customer in St. John's would
 18 pay the same electric rate as a residential
 19 customer in Corner Brook?
 20 MS. TABONE:
 21 A. Correct.
 22 MR. KENNEDY:
 23 Q. Would you expect that the cost to service a
 24 residential customer in St. John's would be
 25 different than the cost to service a

Page 215

Page 216

1 residential customer in Corner Brook, just
 2 given the dynamics of the electrical system
 3 and their location on the map?
 4 MS. TABONE:
 5 A. Well, sure, and that's a function of where
 6 they are located physically, compared to where
 7 the generation is and how much transmission
 8 lines or how many miles of transmission line,
 9 kilometres of transmission line to get power
 10 to them, perhaps the timing of when the
 11 distribution facilities were built in each
 12 location, as well as perhaps some physical,
 13 the density of the two areas would have an
 14 impact as well.
 15 MR. KENNEDY:
 16 Q. Sure, and for example, in the City of St.
 17 John's, if I'm a residential customer living
 18 in an apartment building, and just by virtue
 19 of it being less costly to service me than it
 20 would be if I was in a normal subdivision of
 21 housing, my electric rates at a cost basis
 22 would be lower if I lived in a high rise, as
 23 opposed to a subdivision intuitively,
 24 possibly?
 25 MS. TABONE:

1 A. Intuitively.
 2 MR. KENNEDY:
 3 Q. Yes, but I pay the same rate.
 4 MS. TABONE:
 5 A. You pay the same rate. You may pay a
 6 different bill because you use a different
 7 amount.
 8 MR. KENNEDY:
 9 Q. And is that consistent with your policy of a
 10 postage stamp system, where it makes sense to
 11 average, we do average?
 12 MS. TABONE:
 13 A. That's right.
 14 MR. KENNEDY:
 15 Q. I wonder if we could just look at CA-8, Mr.
 16 O'Reilly? It's page three. This is just, I
 17 guess, as a lead in and was a question
 18 concerning the loss of load figures, and then
 19 least cost peaking options and also asked for
 20 the marginal cost supply in the Rural Isolated
 21 systems. So I wonder if we could go to page
 22 three, Mr. O'Reilly? That's just one I could
 23 just find quickly. Ms. Tabone, this shows the
 24 short-run marginal cost of supply for the
 25 Rural Isolated systems. So these are all the

Page 217

1 MR. KENNEDY:
 2 systems on the--except for the case of L'Anse
 3 au Loup, which is towards the bottom, they're
 4 all on diesel systems, I believe.
 5 MS. TABONE:
 6 A. Right.
 7 MR. KENNEDY:
 8 Q. Can you see that the marginal cost varies
 9 quite considerably from location to location?
 10 MS. TABONE:
 11 A. Right, from about 10 cents to 25 cents.
 12 MR. KENNEDY:
 13 Q. And would it be normal course to break them
 14 out and do each individual cost of service
 15 area or would it be on a policy basis, make
 16 more sense to treat the Rural Isolated systems
 17 as one zone that all the costs are averaged
 18 to?
 19 MS. TABONE:
 20 A. Again, based on my postage stamp philosophy,
 21 it would be more consistent to average them
 22 all out. That provides benefits to everybody.
 23 Right now, one of them is facing a higher cost
 24 than the next. When a big capital expenditure
 25 is required, that may help average it out over

Page 219

1 cost will be shared among all the customers of
 2 Labrador that are on the interconnected
 3 portion?
 4 MS. TABONE:
 5 A. That would be correct.
 6 MR. KENNEDY:
 7 Q. It wouldn't be borne just by the residents of
 8 Lab City?
 9 MS. TABONE:
 10 A. No, or by the particular customer in question
 11 either.
 12 MR. KENNEDY:
 13 Q. Mr. Chymko, there was a question that you
 14 received while under cross by, I believe it
 15 was the Consumer Advocate, concerning what
 16 responses that Newfoundland Power would have
 17 available to it if a demand wholesale rate was
 18 introduced as a result of this hearing, and I
 19 think one of them that was discussed was
 20 seasonal rates. Do you recall that?
 21 MR. CHYMKO:
 22 A. Yes, I do.
 23 MR. KENNEDY:
 24 Q. And now if Newfoundland Power was to try to
 25 introduce seasonal rates at its, for instance,

Page 218

1 customers so they're not hit by, you know,
 2 lumpy investments.
 3 MR. KENNEDY:
 4 Q. Yes, I understand, for instance, I think the
 5 evidence shows that the Town of Charlottetown
 6 required some new plant, either recently or in
 7 the near future. That would, one would
 8 expect, be more expensive plant than embedded
 9 plant?
 10 MS. TABONE:
 11 A. I'm sure it would be, yes.
 12 MR. KENNEDY:
 13 Q. Right. But under your policy, that additional
 14 cost or incremental cost would be shared among
 15 all the members in the Rural Isolated group?
 16 MS. TABONE:
 17 A. Right, just like it is on a interconnected
 18 system. It helps buffer that out and helps
 19 everybody.
 20 MR. KENNEDY:
 21 Q. Sure, okay. Similarly, if there's a
 22 substantial piece of asset belonging to or
 23 used in the delivery of energy to residents in
 24 Lab City that needs to be replaced because of
 25 premature failure or increased load that that

Page 220

1 residential customer level, I'd understand
 2 that that would require Board approval, that
 3 it would require an application. Is that your
 4 understanding as well?
 5 MR. CHYMKO:
 6 A. That's my understanding, yes.
 7 MR. KENNEDY:
 8 Q. Are there other approaches that Newfoundland
 9 Power could take or responses that it would
 10 have available to it which would potentially
 11 be an adjustment to a demand wholesale rate
 12 that would not require an actual change in
 13 their rates and trigger off a hearing before
 14 this Board?
 15 MR. CHYMKO:
 16 A. It's my understanding that some of the demand
 17 side management alternatives of encouraging
 18 growth at a customer level where customers
 19 have better profiles, so again fuel choice
 20 might be a good example. So I believe that
 21 they could put in programs that would lead to
 22 end customers picking a various fuel choice or
 23 at least examining it. I think that would be
 24 part of a program that would not need to come
 25 back to the Board for a specific approval of a

Page 221	Page 222
<p>1 MR. CHYMKO: 2 rate. Perhaps interruptible contracts, again, 3 I don't know what leeway is available to the 4 utility if they were to negotiate an 5 agreement, whether that would have to come 6 back to the Board for approval at the time of 7 the agreement or whether that would be dealt 8 with at a future hearing. 9 MR. KENNEDY: 10 Q. And just one last question and this could be 11 handled by either one of you. You referred to 12 the DISCOs, and other than dating ourselves by 13 having images conjured up in our heads, you 14 referred to the fact that Newfoundland--you 15 have the Newfoundland Power DISCO, the 16 distributor company. You also referred to the 17 NLH DISCO, and I just wanted to make sure that 18 we understood what it was that you meant there 19 because you said there were two DISCOs. Could 20 you just explain to the panel what you were 21 describing? 22 MR. CHYMKO: 23 A. Sure. What I was attempting to do was 24 unbundle basically Newfoundland Hydro into 25 generation, transmission and distribution. So</p>	<p>1 at the end of the day, that's what I'm calling 2 a DISCO is the distribution utility that 3 remains after removing generation and 4 transmission. 5 MR. KENNEDY: 6 Q. Okay. So we know Hydro has its own 7 residential customers? 8 MR. CHYMKO: 9 A. That's right, serving the end customer direct. 10 MR. KENNEDY: 11 Q. And so in effect, is it fair to say, that sort 12 of internally Hydro is selling power to itself 13 from a wholesale level to a retail level? 14 MR. CHYMKO: 15 A. Right. 16 MR. KENNEDY: 17 Q. Right, and that's the NLH DISCO that you 18 referred to? 19 MR. CHYMKO: 20 A. Yes. 21 MR. KENNEDY: 22 Q. Okay. That's all the questions I have, Chair. 23 Thank you, Mr. Tabone. 24 MS. TABONE: 25 A. These names are a problem today.</p>
Page 223	Page 224
<p>1 MR. KENNEDY: 2 Q. I got it backwards again, yes. Thank you, 3 Gail and Nigel. 4 CHAIRMAN: 5 Q. Thank you, Mr. Kennedy. We'll move to Board 6 questions now. Commissioner Saunders? 7 COMMISSIONER SAUNDERS: 8 Q. Yes, just one question, Mr. Chair. Ms. 9 Tabone, the postage stamp rate, is it 10 something that's common only to the electrical 11 utility industry? I'm thinking of, for 12 instance, isn't it also common with telephone 13 rates, cable television and the like or do you 14 have any experience in those industries? 15 MS. TABONE: 16 A. We have experience in the gas industry and the 17 water industry where postage stamp rates would 18 be in place. Outside of that, obviously the 19 term comes from postage which is how it 20 started. 21 COMMISSIONER SAUNDERS: 22 Q. Yes. Okay. Thank you. That's all I have, 23 Mr. Chair. 24 CHAIRMAN: 25 Q. Thank you, Commissioner Saunders.</p>	<p>1 Commissioner Whalen? 2 COMMISSIONER WHALEN: 3 Q. No, I have no questions. Thank you. 4 CHAIRMAN: 5 Q. I just have one short question, I guess, for 6 Ms. Tabone. Mr. Hearn was questioning how 7 does the Board decide on setting rates and you 8 mentioned considering costs. You mentioned 9 looking at price signals, and you mentioned 10 economic development. 11 MS. TABONE: 12 A. Um-hm. 13 CHAIRMAN: 14 Q. Which struck me. In your experience, how does 15 a Board similar to this, in experiences 16 elsewhere that you've had, take into account 17 economic development in its decision making? 18 What sort of criteria and standards have you 19 seen applied in that situation? 20 MS. TABONE: 21 A. I'm going to refer that question to Mr. Chymko 22 because Alberta is an excellent case of that 23 back, I don't know, five, ten years ago. They 24 had a system in place that did that.</p>

<p style="text-align: right;">Page 225</p> <p>1 MR. CHYMKO:</p> <p>2 A. I guess, at the time it was really being</p> <p>3 driven where we were having rate disparities</p> <p>4 where we had say four independent distribution</p> <p>5 utilities at the end of the day, and the rates</p> <p>6 in the south were becoming quite--there was</p> <p>7 quite a gap between the north and the south.</p> <p>8 The north was growing. That's where the</p> <p>9 resources were. And a system was put in place</p> <p>10 of really going from the four independent</p> <p>11 distribution utilities to averaging generation</p> <p>12 and transmission. So in the province at the</p> <p>13 time, a decision was made well, how far can we</p> <p>14 go of combining some of the independent areas</p> <p>15 or independent cost of service and what we</p> <p>16 ended up with was averaging generation and</p> <p>17 transmission. Within a utility one of the</p> <p>18 other issues to perhaps be dealt with is</p> <p>19 whether they actually do it through the end</p> <p>20 rate or contribution policy and are there ways</p> <p>21 that perhaps the utility can assist basically</p> <p>22 in doing some of the financing over a period</p> <p>23 of time through a customer contribution to</p> <p>24 assist economic development. But I don't see,</p> <p>25 and I want to clarify, I don't see a lot of</p>	<p style="text-align: right;">Page 226</p> <p>1 economic development where a special deal is</p> <p>2 being made for one class of customer. What</p> <p>3 there is are some terms and conditions around</p> <p>4 how do we bring in economic development and I</p> <p>5 guess, share the load over a period of time.</p> <p>6 CHAIRMAN:</p> <p>7 Q. Thank you. Are there any questions or matters</p> <p>8 arising from Board questions?</p> <p>9 HUTCHINGS, Q.C.:</p> <p>10 Q. No questions.</p> <p>11 CHAIRMAN:</p> <p>12 Q. Okay. Thank you very much, Ms. Tabone and Mr.</p> <p>13 Chymko. Added to my magenta is I thought</p> <p>14 DISCOs were things that went out about 15</p> <p>15 years ago when I had some hair, but I've</p> <p>16 learned a new definition for that today.</p> <p>17 Thank you very much. That brings an end to</p> <p>18 proceeding today. I guess we scheduled Mr.</p> <p>19 Drazen tomorrow. I understand Mr. Greneman</p> <p>20 will be back as well, Ms. Newman, is that</p> <p>21 correct?</p> <p>22 MS. NEWMAN:</p> <p>23 Q. Yes, I believe that Hydro plans on putting Mr.</p> <p>24 Greneman on the stand first thing in the</p> <p>25 morning and making him available for cross-</p>
<p style="text-align: right;">Page 227</p> <p>1 examination on the Labrador issue, and then to</p> <p>2 be followed by Mr. Drazen.</p> <p>3 GREENE, Q.C.:</p> <p>4 Q. Yes, that's correct, Mr. Chair. Mr. Hearn had</p> <p>5 requested that Mr. Greneman come back to the</p> <p>6 stand on this one issue when he was present.</p> <p>7 Hydro agreed to recall Mr. Greneman only for</p> <p>8 the purpose of the policy to be used in</p> <p>9 setting rates in Labrador on the Lab East and</p> <p>10 Lab West.</p> <p>11 CHAIRMAN:</p> <p>12 Q. Thank you once again, and we'll see you at</p> <p>13 9:00 tomorrow morning.</p> <p>14 (UPON CONCLUSION AT 1:45 P.M.)</p>	<p style="text-align: right;">Page 228</p> <p>1 CERTIFICATE</p> <p>2 I, Judy Moss Lauzon, hereby certify that the foregoing is</p> <p>3 a true and correct transcript in the matter of</p> <p>4 Newfoundland and Labrador Hydro's 2003 General Rate</p> <p>5 Application for approval of, among other things, its</p> <p>6 rates commencing January, 2004 heard on the 19th day of</p> <p>7 November, A.D., 2003 before the Board of Commissioners of</p> <p>8 Public Utilities, Prince Charles Building, St. John's,</p> <p>9 Newfoundland and Labrador and was transcribed by me to</p> <p>10 the best of my ability by means of a sound apparatus.</p> <p>11 Dated at St. John's, Newfoundland and Labrador</p> <p>12 this 19th day of November, A.D., 2003</p> <p>13 Judy Moss Lauzon</p>