

Page 1	Page 2
<p>1 (9:07 a.m.)</p> <p>2 CHAIRMAN:</p> <p>3 Q. Thank you. Good morning. Good morning, Ms.</p> <p>4 Newman, do you have any preliminary items?</p> <p>5 MS. NEWMAN:</p> <p>6 Q. No, Chair.</p> <p>7 CHAIRMAN:</p> <p>8 Q. Good morning, Mr. Haynes. How are you?</p> <p>9 MR. JAMES HAYNES (SWORN)</p> <p>10 Q. Thank you, sir. Good morning, Ms. Greene.</p> <p>11 When you're ready to start your direct</p> <p>12 examination, please.</p> <p>13 GREENE, Q.C.:</p> <p>14 Q. Good morning, Mr. Chair and Commissioners.</p> <p>15 Mr. Haynes, what is your position with</p> <p>16 Newfoundland and Labrador Hydro?</p> <p>17 A. I'm the Vice-President of Production.</p> <p>18 Q. Evidence was filed on behalf of Hydro called</p> <p>19 Production, and in the pre-filed application,</p> <p>20 it was stated that this evidence would be</p> <p>21 adopted by you at this hearing. Do you adopt</p> <p>22 the production evidence filed with Hydro's</p> <p>23 Application as your evidence in this</p> <p>24 proceeding?</p> <p>25 A. I do.</p>	<p>1 Q. Mr. Haynes, I'd like first to look at Schedule</p> <p>2 2 to your evidence. And looking at Schedule 2</p> <p>3 there, could you please summarize the capacity</p> <p>4 and energy capabilities of Hydro's production</p> <p>5 facilities and the changes from the 2002 cost</p> <p>6 of service?</p> <p>7 A. On the Island Interconnected System, Hydro</p> <p>8 owns and operates nine hydro plants capable of</p> <p>9 producing a peak of 927 megawatts and annual</p> <p>10 average energy of 4582 gigawatt hours. There</p> <p>11 has been an addition of one plant in 2003,</p> <p>12 Granite Canal, which was included in the</p> <p>13 previous numbers. It has a peak capacity of</p> <p>14 40 megawatts and an average annual energy</p> <p>15 capability of 224 gigawatt hours. These</p> <p>16 hydroelectric plants represent approximately</p> <p>17 61 percent of the Hydro-owned total capacity</p> <p>18 and average energy production capability. As</p> <p>19 well, on the island, Hydro own and operate one</p> <p>20 of the largest--a large oil-fired steam</p> <p>21 electric plant at Holyrood, three gas turbines</p> <p>22 and three diesel plants, with a total peak</p> <p>23 capability of 598 megawatts and a annual firm</p> <p>24 energy capability of 2996 gigawatt hours. The</p> <p>25 Holyrood thermal plant is the largest and</p>
Page 3	Page 4
<p>1 provides 40 percent of Hydro's average annual</p> <p>2 energy capability and 31 percent of Hydro's</p> <p>3 capacity. In addition, Hydro has entered</p> <p>4 power purchase contracts with four non-utility</p> <p>5 generators or NUGS for a total of 66 megawatts</p> <p>6 and an average energy capability of 394</p> <p>7 gigawatt hours.</p> <p>8 Through these facilities, both owned and</p> <p>9 contracted by Newfoundland Hydro in 2004,</p> <p>10 Hydro will provide approximately 82 percent of</p> <p>11 the Island's energy capability and supply</p> <p>12 approximately 83 percent of the Island's</p> <p>13 generation capacity. On the Labrador system,</p> <p>14 Hydro owns and operates a gas turbine and a</p> <p>15 diesel plant in the Goose Bay area with a</p> <p>16 total capacity of 38 megawatts. However,</p> <p>17 almost all of the power and energy</p> <p>18 requirements of the Interconnected Labrador</p> <p>19 System are supplied through a purchase</p> <p>20 contract with CF(L)Co.</p> <p>21 Q. Mr. Haynes, what are some of the major</p> <p>22 challenges facing the production division,</p> <p>23 looking forward?</p> <p>24 A. There are a number. These include:</p> <p>25 maintaining reliable production of power and</p>	<p>1 energy with aging generation facilities;</p> <p>2 operating an isolated electrical system in a</p> <p>3 harsh physical environment; improving the</p> <p>4 efficiency of existing energy production</p> <p>5 facilities; and also improving the production</p> <p>6 and operating maintenance activities; and as</p> <p>7 well, improving the environmental performance,</p> <p>8 particularly with respect to our Holyrood</p> <p>9 facility.</p> <p>10 Q. What initiatives has Hydro undertaken to</p> <p>11 improve the efficiency of existing energy</p> <p>12 production facilities?</p> <p>13 A. Over 1,060 megawatts or approximately 68</p> <p>14 percent of Hydro's capacity on the Island</p> <p>15 Interconnected System has been in service for</p> <p>16 over 25 years. This is made up of 12</p> <p>17 generating plants, both hydroelectric and</p> <p>18 thermal, with the majority having a capacity</p> <p>19 in excess of 50 megawatts. Hydro has</p> <p>20 commenced a process of replacing key</p> <p>21 components of these facilities where the</p> <p>22 amount of maintenance or the number of</p> <p>23 breakdowns is increasing or where the original</p> <p>24 vendor support is questionable or, in fact,</p> <p>25 non-existent. As the dependence upon Holyrood</p>

Page 5	Page 6
<p>1 MR. HAYNES:</p> <p>2 increases with time, Hydro has made a</p> <p>3 concerted effort, with the assistance of the</p> <p>4 original equipment manufacturers or the OEM's</p> <p>5 through partnering agreements to significantly</p> <p>6 improve the plant's availability, particularly</p> <p>7 during the 1990s.</p> <p>8 A number of initiatives were introduced</p> <p>9 within the production environment to enhance</p> <p>10 energy production facility, including a</p> <p>11 controllable loss program at Holyrood and a</p> <p>12 unit commitment program at the Energy Control</p> <p>13 Centre. All designed to allow optimum</p> <p>14 scheduling and loading of the hydraulic units</p> <p>15 and also to increase the efficiency of the</p> <p>16 Holyrood plant. This has led to an efficiency</p> <p>17 improvement at the Holyrood plant and Hydro is</p> <p>18 recommending with this application that we</p> <p>19 move to 624 kilowatt hours per barrel to be</p> <p>20 used for the annual energy conversion factor</p> <p>21 at Holyrood. This is a 3.1 percent increase</p> <p>22 over the efficiency used for the cost of</p> <p>23 service prior to the 2001 GRA, and a one and a</p> <p>24 half percent improvement over the current</p> <p>25 figure of 615. This alone results in a fuel</p>	<p>1 savings of approximately 1.2 million dollars</p> <p>2 in the 2004 test year, since the last hearing.</p> <p>3 Q. You said earlier that one of the challenges</p> <p>4 for the production division is improving the</p> <p>5 productivity of operating and maintenance</p> <p>6 activities. What has the division achieved in</p> <p>7 this area?</p> <p>8 A. Over the period of 1999 to 2002, through</p> <p>9 process change, technology improvements, the</p> <p>10 permanent complement in the production</p> <p>11 division has been reduced by approximately six</p> <p>12 percent from 320 to 300 positions. This</p> <p>13 improvement comes despite the additional</p> <p>14 maintenance costs associated with the Granite</p> <p>15 Canal facility and increase in demands for IT</p> <p>16 and communication facilities and capability.</p> <p>17 Q. The last challenge you mentioned a moment ago</p> <p>18 was improving environmental performance,</p> <p>19 particularly at the Holyrood plant. How has</p> <p>20 Hydro addressed this challenge?</p> <p>21 A. In an effort to define and minimize our</p> <p>22 environmental footprint, Hydro has adopted the</p> <p>23 ISO 14001 Environmental Management System</p> <p>24 Standard. Following external audits, the</p> <p>25 Holyrood facility was registered initially in</p>
Page 7	Page 8
<p>1 1999 and was re-registered in 2002. Hydro's</p> <p>2 hydraulic facilities were registered during</p> <p>3 2000. To maintain certification to this ISO</p> <p>4 14001 standard, Hydro has to demonstrate it is</p> <p>5 committed to continue improvement in</p> <p>6 environmental performance. With respect to</p> <p>7 Holyrood, we are currently in the process of</p> <p>8 evaluating emission abatement technologies.</p> <p>9 The implementation of continuous emission</p> <p>10 monitoring during this year and the additional</p> <p>11 ground level monitoring capability in 2004</p> <p>12 will greatly improve our ability to monitor</p> <p>13 and quantify our discharge and the resulting</p> <p>14 ground level concentrations. This will enable</p> <p>15 a more informed decision on the various means</p> <p>16 to mitigate the plant's impact on the</p> <p>17 environment and address public expectations,</p> <p>18 as well as a changing regulatory environment.</p> <p>19 Q. What measures of key performance indicators do</p> <p>20 you use within the production division to</p> <p>21 measure performance of production facilities</p> <p>22 and what have been the results to date?</p> <p>23 (9:16 a.m.)</p> <p>24 A. We use reliability, unit efficiency,</p> <p>25 productivity measures to track our</p>	<p>1 performance. In particular, we use the CEA</p> <p>2 standard measures of incapability factor,</p> <p>3 derated adjusted forced outage rate or DAFOR</p> <p>4 and failure rate to measure generator</p> <p>5 reliability. Another measure used for</p> <p>6 reliability in our particular situation is a</p> <p>7 number of under frequency load shedding events</p> <p>8 per year, which are usually initiated by a</p> <p>9 sudden change or a sudden outage, I should</p> <p>10 say, of significant generation.</p> <p>11 In the CEA standard measures used,</p> <p>12 Hydro's performance is better than CEA in many</p> <p>13 areas, other than hydraulic unit failure, and</p> <p>14 if you could go, to Table 5 of my evidence,</p> <p>15 please? In particular, the incapability</p> <p>16 factor for Holyrood has been improving in</p> <p>17 recent years due to a consistent effort by</p> <p>18 both Hydro's staff and through critical</p> <p>19 partnering arrangements with OEMs. This is</p> <p>20 illustrated in Table 2, which basically gives</p> <p>21 the ICDF from 1990 to 2002 and demonstrates</p> <p>22 the significant change since we started</p> <p>23 partnering with the OEMs. And if you go to</p> <p>24 Table 4, please? Table 4 indicates the other</p> <p>25 factors with respect to the hydraulic--sorry,</p>

Page 9	Page 10
<p>1 MR. HAYNES:</p> <p>2 with respect to the thermal plant, the ICDF,</p> <p>3 the DAFOR and the failure rate. It is</p> <p>4 important that the 25 percent target continue</p> <p>5 for this critical plant that has been</p> <p>6 supplying an increasing portion of the</p> <p>7 system's energy requirement.</p> <p>8 The under frequency events measure was</p> <p>9 below expectations in 2002 and a number of</p> <p>10 initiatives, as outlined in my evidence, are</p> <p>11 underway in 2003 and will continue in 2004 in</p> <p>12 an attempt to keep this number to eight or</p> <p>13 less per year.</p> <p>14 Q. How are you doing with respect to unit</p> <p>15 efficiency measures?</p> <p>16 A. The most critical unit efficiency measure is</p> <p>17 the Holyrood fuel conversion factor. This</p> <p>18 factor can be quite variable due to the</p> <p>19 effects of hydraulic production levels, unit</p> <p>20 loading and general system conditions. For</p> <p>21 that reason, Hydro targets improvements based</p> <p>22 on unit average monthly output rather than a</p> <p>23 particular conversion factor. The curve in</p> <p>24 Schedule 5, Mr. O'Reilly, in my evidence shows</p> <p>25 this relationship, and as you can see, there's</p>	<p>1 quite a variation in the actual kilowatt hours</p> <p>2 per barrel. All these blue dots are basically</p> <p>3 monthly figures and the reddish line is</p> <p>4 basically the best fit between the lot.</p> <p>5 We strive to move the curve upward so</p> <p>6 that any given output we use less fuel, but</p> <p>7 there are numerous influencing factors which</p> <p>8 change basically on a daily--which can change</p> <p>9 on a daily basis.</p> <p>10 Recent years performance and changes</p> <p>11 implemented at the Holyrood plant has led to a</p> <p>12 recommended average conversion factor of 624</p> <p>13 kilowatt hours per barrel for fuel costing</p> <p>14 purposes, as I noted previously.</p> <p>15 Q. Mr. Haynes, at the previous hearing in 2001,</p> <p>16 there was considerable discussion on fuel</p> <p>17 management. How has Hydro addressed this?</p> <p>18 A. The responsibility for control and management</p> <p>19 of all aspects of fuel rests with my position,</p> <p>20 vice-president of production. Individual</p> <p>21 tasks within the process of purchasing,</p> <p>22 storage, utilization of fuel, are carried out</p> <p>23 within various departments but the overall</p> <p>24 responsibility is mine. In accordance with</p> <p>25 the direction from Order No. P.U. 7, a report</p>
Page 11	Page 12
<p>1 was filed on December 23rd, 2002 outlining the</p> <p>2 policies with respect to fuel and procedures</p> <p>3 and other aspects of fuel management,</p> <p>4 including a review of the adequacy of our fuel</p> <p>5 storage, particularly at Holyrood, and fuel</p> <p>6 price hedging possibilities. It is included</p> <p>7 as Exhibit 1 to my evidence. The report does</p> <p>8 not recommend any specific actions, as there</p> <p>9 are no demonstrable cost benefits in either</p> <p>10 increasing the fuel storage facilities or</p> <p>11 entering into a financial hedging program.</p> <p>12 Q. What is the forecast cost of No. 6 fuel in the</p> <p>13 2004 revenue requirement, as revised in August</p> <p>14 of this year?</p> <p>15 A. One of Hydro's largest category of costs is</p> <p>16 No. 6 fuel for the Holyrood plant. Hydro</p> <p>17 bases its forecast fuel expense on fuel price</p> <p>18 projections provided by an internationally</p> <p>19 recognized source, the PIRA Group. This</p> <p>20 forecast price is applied to the number of</p> <p>21 barrels of oil required to meet the</p> <p>22 anticipated load after taking into account the</p> <p>23 forecast hydraulic production. In 2004, the</p> <p>24 No. 6 fuel cost is forecasted to be 84.4</p> <p>25 million, using a forecast average price of</p>	<p>1 29.20 per barrel and hydraulic production</p> <p>2 based on a 30-year record of historical inflow</p> <p>3 average, as directed by the Board.</p> <p>4 Q. During the 2001 hearing, there was also</p> <p>5 significant discussion and assessment of</p> <p>6 Hydro's hydraulic production forecast. How</p> <p>7 has Hydro addressed the concerns raised by the</p> <p>8 Board during that hearing?</p> <p>9 A. As directed by the Board in Order P.U. 7,</p> <p>10 Hydro did retain a consultant to complete an</p> <p>11 independent assessment of Hydro's hydraulic</p> <p>12 production forecasting methodology, with the</p> <p>13 terms of reference pre-approved by the Board.</p> <p>14 SGE Acres were retained to carry out this</p> <p>15 independent assessment, which resulted in</p> <p>16 several recommendations, all of which Hydro</p> <p>17 fully endorse. The SGE Acres report has been</p> <p>18 filed with my evidence as Exhibit 2, and in</p> <p>19 order to have this issue fully discussed and</p> <p>20 assist the Board in its decision, Ms. Susan</p> <p>21 Richter, Senior Hydro Technical Engineer for</p> <p>22 SGE Acres, will testify to discuss the report</p> <p>23 findings and its recommendations.</p> <p>24 Q. Mr. Haynes, is Hydro recommending to the Board</p> <p>25 that the full historic inflow record be</p>

Page 13	Page 14
<p>1 GREENE, Q.C.:</p> <p>2 utilized to develop the 2004 cost of service</p> <p>3 hydraulic production?</p> <p>4 A. Hydro is recommending the use of the full</p> <p>5 historic record in developing average</p> <p>6 hydraulic production estimates, as explained</p> <p>7 in the SGE Acres report. However, given the</p> <p>8 other significant drivers in this particular</p> <p>9 application, Hydro is not asking that it be</p> <p>10 implemented for the 2004 test year revenue</p> <p>11 requirement. Hydro is seeking resolution of</p> <p>12 this issue during the proceeding so that for</p> <p>13 its next filing, the full historic record will</p> <p>14 be utilized and utilized for other forecasting</p> <p>15 activities prior to the next filing.</p> <p>16 Q. Mr. Haynes, you're also responsible for load</p> <p>17 forecasting at Hydro. Could you please</p> <p>18 explain the various load forecasts which Hydro</p> <p>19 prepares and their use?</p> <p>20 A. Hydro prepares a separate five-year operating</p> <p>21 load forecast by month for the Island and</p> <p>22 Labrador Interconnected Systems and for each</p> <p>23 of the Isolated Rural Systems. These are used</p> <p>24 in generation scheduling, system planning,</p> <p>25 budgeting, rate setting and cost of service</p>	<p>1 analysis. As well, we prepare a longer, a 20-</p> <p>2 year longer term planning forecast of the</p> <p>3 annual peak and energy requirements of the</p> <p>4 Province's electrical systems. This is used</p> <p>5 for long-term supply analysis with particular</p> <p>6 emphasis on the Island Interconnected System</p> <p>7 and is used to set the timing of the</p> <p>8 requirement for the next source of power and</p> <p>9 energy.</p> <p>10 Q. Your pre-filed evidence refers to a number of</p> <p>11 new supply sources coming into service during</p> <p>12 2003. Could you please provide an update on</p> <p>13 the status of these?</p> <p>14 A. Yes. These new sources consist of Granite</p> <p>15 Canal hydroelectric project, which was</p> <p>16 constructed by Hydro, and two other sources,</p> <p>17 one a hydroelectric project constructed by the</p> <p>18 Exploits River Hydro Partnership and the</p> <p>19 other, a co-generation facility constructed by</p> <p>20 Corner Brook Pulp and Paper Limited, both with</p> <p>21 the resulting energy purchased by Hydro</p> <p>22 through long-term purchase agreements. The</p> <p>23 Granite Canal project went into commercial</p> <p>24 operation in July of this year. The Bishop</p> <p>25 Falls portion of the Exploits River project</p>
Page 15	Page 16
<p>1 was completed in March of this year, and the</p> <p>2 Grand Falls portion is expected to be</p> <p>3 completed within the next couple of weeks.</p> <p>4 The Corner Brook Pulp and Paper facility was</p> <p>5 brought into service in January of this year.</p> <p>6 Q. Mr. Haynes, in August, the Government</p> <p>7 announced that it had given approval in</p> <p>8 principle for the establishment of a wind</p> <p>9 demonstration project in the province. Could</p> <p>10 you please provide the Board with an update on</p> <p>11 progress to date with respect to the wind</p> <p>12 project?</p> <p>13 A. Hydro is currently negotiating a power</p> <p>14 purchase agreement with the proponent for a</p> <p>15 25-megawatt wind project to be located near</p> <p>16 the Town of St. Lawrence on the Burin</p> <p>17 Peninsula. The project is capable of</p> <p>18 producing approximately 96 gigawatt hours per</p> <p>19 year under average wind conditions and should</p> <p>20 the agreement be finalized this fall, could be</p> <p>21 producing energy with some or possibly all of</p> <p>22 the projected 38 wind turbines during the fall</p> <p>23 of 2004.</p> <p>24 Q. And that would be with the wind turbines being</p> <p>25 installed during 2004? Is that correct?</p>	<p>1 A. That's correct, yes.</p> <p>2 Q. Okay. If the wind demonstration project</p> <p>3 proceeds, will it affect the timing of the</p> <p>4 requirements for additional generation supply</p> <p>5 on the Island Interconnected System, as</p> <p>6 outlined in your evidence?</p> <p>7 A. Yes, based on the current load forecast, the</p> <p>8 project could delay the requirement of a new</p> <p>9 generation supply by approximately one year,</p> <p>10 to approximately 2011.</p> <p>11 Q. In the Order of the Board with respect to</p> <p>12 Hydro's last hearing, Order No. P.U. 7, the</p> <p>13 Board ordered that Hydro should file, as part</p> <p>14 of this application, a detailed study on the</p> <p>15 cost of service assignment of the Great</p> <p>16 Northern Peninsula assets, the Doyles-Port aux</p> <p>17 Basques assets and the Burin Peninsula assets.</p> <p>18 Would you please summarize the conclusions of</p> <p>19 the study, which was filed in response to this</p> <p>20 direction and is filed as Exhibit JRH-3?</p> <p>21 A. Yes. The study resulted in the following</p> <p>22 recommendations. It is recommended that the</p> <p>23 generation assets on the GNP should be</p> <p>24 assigned common plant. This is a change from</p> <p>25 the 2003 GRA which was filed as directed in</p>

Page 17	Page 18
<p>1 MR. HAYNES:</p> <p>2 P.U. 7, where these assets were specifically</p> <p>3 assigned to Hydro Rural. Secondly, the Hydro-</p> <p>4 owned generation on the Burin Peninsula should</p> <p>5 remain assigned to common plant, as was</p> <p>6 previously done in the 2003 GRA. The GNP</p> <p>7 transmission assets should remain specifically</p> <p>8 assigned to Hydro Rural, as was previously</p> <p>9 done in the 2003 GRA. The Doyles-Port aux</p> <p>10 Basques transmission assets should remain</p> <p>11 specifically assigned to Newfoundland Power,</p> <p>12 as was previously done in the 2003 GRA, and</p> <p>13 the Burin Peninsula transmission assets should</p> <p>14 remain assigned to common plant as was</p> <p>15 previously done in the 2003 GRA.</p> <p>16 Q. Thank you, Mr. Chair. That completes my</p> <p>17 direct examination of Mr. Haynes.</p> <p>18 CHAIRMAN:</p> <p>19 Q. Thank you, Ms. Greene. Good morning, Mr.</p> <p>20 Browne.</p> <p>21 BROWNE, Q.C.:</p> <p>22 Q. Mr. Chairman.</p> <p>23 CHAIRMAN:</p> <p>24 Q. When you're ready, please.</p> <p>25 BROWNE, Q.C.:</p>	<p>1 Q. Mr. Haynes, you're an engineer by profession.</p> <p>2 What type of engineer are you?</p> <p>3 A. Electrical engineer.</p> <p>4 Q. Your resume with the introduction to your</p> <p>5 evidence indicates you are a transmission</p> <p>6 planning engineer. What type work does that</p> <p>7 entail?</p> <p>8 A. That was prior to 1989. I worked in the</p> <p>9 transmission planning department of</p> <p>10 Newfoundland and Labrador Hydro, doing</p> <p>11 interconnection evaluations, determining when</p> <p>12 transmission additions would be required to</p> <p>13 meet system load or transformer upgrades and</p> <p>14 also did fault studies, stability studies and</p> <p>15 things of that nature.</p> <p>16 Q. And the resume also indicates you are</p> <p>17 currently vice-president of production. What</p> <p>18 are your responsibilities in that position,</p> <p>19 generally?</p> <p>20 A. As the vice-president of production, there are</p> <p>21 six departments that report to me: system</p> <p>22 planning; information systems, information</p> <p>23 technology and telecommunications, IS&amp;T;</p> <p>24 generation engineering; system operations;</p> <p>25 hydro production; and thermal production.</p>
Page 19	Page 20
<p>1 Q. And how long are you in that position? Since</p> <p>2 1999, is it?</p> <p>3 A. Yes, a little over two years.</p> <p>4 Q. At 2001, you were at point?</p> <p>5 A. Yes.</p> <p>6 Q. What are your goals in that position? What do</p> <p>7 you see your goals as being?</p> <p>8 A. My I guess primary objection is to ensure that</p> <p>9 we deliver power and energy at a cost</p> <p>10 effective price and keep our reliability as</p> <p>11 high as we possibly can, given the age and our</p> <p>12 challenges. That would be the first and</p> <p>13 foremost. It's basically cost and</p> <p>14 reliability.</p> <p>15 Q. So it's down to these two factors?</p> <p>16 A. Well, there's lots of other things within the</p> <p>17 various divisions, but those would be the key</p> <p>18 things. We plan the system. We operate the</p> <p>19 system, and we endeavour to do it cost</p> <p>20 effectively and provide the greatest</p> <p>21 reliability that we can.</p> <p>22 Q. I notice that you were, for a period, general</p> <p>23 manager of CF(L)Co. What were your</p> <p>24 responsibilities there?</p> <p>25 A. Basically, that position is responsible for</p>	<p>1 all on-site activities which cover production,</p> <p>2 transmission, water management, pretty well</p> <p>3 anything and everything with respect to</p> <p>4 CF(L)Co, except the financial support that's</p> <p>5 provided by Newfoundland and Labrador Hydro.</p> <p>6 Q. Were you a liaison with Hydro Quebec in that</p> <p>7 position?</p> <p>8 A. Yes, we were on a--we have what's called an</p> <p>9 operating committee with Hydro Quebec, which</p> <p>10 discusses operational matters between CF(L)Co</p> <p>11 and Hydro Quebec.</p> <p>12 Q. There was some discussion last week concerning</p> <p>13 work that was undertaken by Hydro and billed</p> <p>14 to CF(L)Co. Do you have any knowledge as to</p> <p>15 the way that is done?</p> <p>16 A. Some of this is a bit historic, but CF(L)Co's</p> <p>17 approach to some change with respect to the</p> <p>18 plant are that basically that Hydro Quebec</p> <p>19 will pay a fair portion of that cost. In</p> <p>20 fact, most of the costs for improvements,</p> <p>21 beyond the contracts. At certain times, if</p> <p>22 CF(L)Co does not have the resources, the</p> <p>23 engineers available, that they have in the</p> <p>24 past used Newfoundland and Labrador Hydro</p> <p>25 engineering, who would basically undertake</p>

Page 21	Page 22
<p>1 MR. HAYNES:</p> <p>2 that work and do it for CF(L)Co, who would in</p> <p>3 fact charge Hydro Quebec and also pay</p> <p>4 Newfoundland Hydro for their services.</p> <p>5 (9:30 a.m.)</p> <p>6 Q. Is there anyone else that you seek to do that</p> <p>7 work, CF(L)Co seeks to do that work besides</p> <p>8 Newfoundland and Labrador Hydro?</p> <p>9 A. CF(L)Co does retain its own consultants for</p> <p>10 various things that it do. It also uses some</p> <p>11 expertise within Newfoundland Hydro in</p> <p>12 transmission areas or generation areas, but</p> <p>13 they are not precluded to going and hiring a</p> <p>14 contractor or consultant directly.</p> <p>15 Q. And what about reference to Hydro Quebec?</p> <p>16 Have you used any of the expertise that would</p> <p>17 be available there?</p> <p>18 A. CF(L)Co has, on occasion, had people from</p> <p>19 CF(L)Co involved in certain aspects and they</p> <p>20 have some rights under the power contract to</p> <p>21 influence the way some things are done, but</p> <p>22 Newfoundland Hydro has not directly sought</p> <p>23 engineering services or technical support from</p> <p>24 Hydro Quebec directly.</p> <p>25 Q. What do you mean when you say under the</p>	<p>1 contract, they have an ability to influence</p> <p>2 the way things are done? Can you expand upon</p> <p>3 that?</p> <p>4 A. They set certain parameters around the power</p> <p>5 system frequency regulation, that sort of</p> <p>6 thing, but that's about it.</p> <p>7 Q. But in terms of Newfoundland and Labrador</p> <p>8 Hydro providing services to CF(L)Co. and</p> <p>9 billing for those services, has there been any</p> <p>10 discussion with Hydro Quebec as to what a fair</p> <p>11 way to billing would be in reference to these</p> <p>12 services?</p> <p>13 A. Not to my knowledge.</p> <p>14 Q. To your knowledge has there ever been an</p> <p>15 objection from Hydro Quebec in reference to</p> <p>16 the way this billing was done?</p> <p>17 A. When I was at CF(L)Co., there was obviously</p> <p>18 lots of discussion on the prices, but we</p> <p>19 agreed at the end of the day that they would</p> <p>20 pay the rates that were proposed.</p> <p>21 Q. And the rates that were proposed were based on</p> <p>22 what factors?</p> <p>23 A. Based on cost plus appropriate markup and</p> <p>24 covering off CF(L)Co's risk. There was a fair</p> <p>25 bit--you know, there hasn't been that much of</p>
Page 23	Page 24
<p>1 late, as I understand, but there was a fair</p> <p>2 bit of improvement to the overall system made</p> <p>3 when Hydro Quebec were trying to meet the</p> <p>4 goals, if you will, of their whole grid, and</p> <p>5 it would require CF(L)Co. cooperation, and</p> <p>6 they paid for that, and they paid a fair cost.</p> <p>7 Q. And when you say a fair cost, do you mean</p> <p>8 market rates and how do you determine if these</p> <p>9 are market rates?</p> <p>10 A. I wouldn't necessarily say market rates. It</p> <p>11 was based on cost plus appropriate markups.</p> <p>12 Q. So you'd believe that Newfoundland and</p> <p>13 Labrador Hydro was getting a fair return for</p> <p>14 the work being provided?</p> <p>15 A. A considerable amount of that was not done by</p> <p>16 Newfoundland -</p> <p>17 Q. Pardon? Can you slow down a little bit?</p> <p>18 A. I'm sorry. A considerable portion of that</p> <p>19 work is not done by Newfoundland Hydro, it's</p> <p>20 done by CF(L)Co's resources. But in the work</p> <p>21 that Newfoundland Hydro carried out for</p> <p>22 CF(L)Co., who in turn did some for Hydro</p> <p>23 Quebec, they were fairly compensated. Hydro</p> <p>24 was fairly compensated, in my view.</p> <p>25 Q. Your resume also indicates that you are a</p>	<p>1 member of the Institute of Electrical and</p> <p>2 Electronic Engineers, and that you've served</p> <p>3 as a member of the Generation Council of the</p> <p>4 Canadian Electricity Association. What does</p> <p>5 that involve?</p> <p>6 A. A member of IEEE, it's just a professional</p> <p>7 society where you can subscribe to different</p> <p>8 interest groups, generally in your work area.</p> <p>9 I subscribe to Power Systems Engineering Group</p> <p>10 and Electric Installation Group, the two</p> <p>11 specific sub-societies. The Generation</p> <p>12 Council of CEA basically is a group of</p> <p>13 utilities, Canadian utilities at the moment,</p> <p>14 on the Generation Council, who get together to</p> <p>15 discuss items of common interest and some of</p> <p>16 which are related to government regulation,</p> <p>17 particularly Department of Fisheries</p> <p>18 regulations with respect to hydro plants and</p> <p>19 thermal plants, Kyoto and many other items.</p> <p>20 Q. How often do you meet in that capacity?</p> <p>21 A. There are meetings, approximately four per</p> <p>22 year. I would not suggest that I get to every</p> <p>23 one, but sometimes just sit in by telephone</p> <p>24 and it's most cost effective obviously</p> <p>25 sometimes.</p>

Page 25	Page 26
<p>1 BROWNE, Q.C.:</p> <p>2 Q. Now pertaining to your evidence, can we go to</p> <p>3 page one of your evidence and in line 23, you</p> <p>4 indicate that the system planning department</p> <p>5 is responsible for planning all new</p> <p>6 generation. Can you explain what that</p> <p>7 involves?</p> <p>8 A. Basically, the system planning department,</p> <p>9 which comprised generation, transmission and</p> <p>10 distribution planning, along with economic</p> <p>11 analysis department, look at and review the</p> <p>12 load forecast to see if transmission line</p> <p>13 loading is capable of carrying the load that</p> <p>14 we anticipate. So they will actually do</p> <p>15 technical studies, what's called Load Flow</p> <p>16 studies to look at transmission line loadings,</p> <p>17 transformer loadings and to identify capital</p> <p>18 budget improvements that are required. They</p> <p>19 also review particularly in the generation</p> <p>20 area, the Island load forecast and they, for</p> <p>21 instance as I mentioned in my opening, they</p> <p>22 look at the timing of the next generation</p> <p>23 source that is required to serve the energy</p> <p>24 and power needs of the Province.</p> <p>25 Q. Now you mentioned in your opening that the</p>	<p>1 next new generation appears to be wind</p> <p>2 generation. Is that correct?</p> <p>3 A. That is under discussion at the present time,</p> <p>4 with the proponent, yes.</p> <p>5 Q. And who is the proponent?</p> <p>6 A. It's a company or a group of companies called</p> <p>7 Newind.</p> <p>8 Q. And they're in private enterprise?</p> <p>9 A. I think they are a group of companies, local</p> <p>10 companies and mainland companies, that have</p> <p>11 got together to a consortium, if you will, to</p> <p>12 promote this particular project.</p> <p>13 Q. I'll ask you some more about that later. But</p> <p>14 aside from them, what new generation is</p> <p>15 currently being planned?</p> <p>16 A. There are no specific plans on the</p> <p>17 Interconnected System for generation beyond</p> <p>18 what's currently in place, the Granite Canal</p> <p>19 and the two NUGS, along with the possible wind</p> <p>20 project.</p> <p>21 Q. So that's it?</p> <p>22 A. That's it from the Interconnected System, yes.</p> <p>23 Our next source is, you know, 2010/2011 and</p> <p>24 there's adequate time. Every year, we review</p> <p>25 the timing of that. Any, you know,</p>
Page 27	Page 28
<p>1 significant changes in the load or the</p> <p>2 situation on the Island Interconnected System</p> <p>3 and we will adjust our timing and ensure that</p> <p>4 the appropriate studies are done in time that</p> <p>5 we can build a source or buy a source or</p> <p>6 whatever to meet those future requirements.</p> <p>7 Q. So 2010 and 2011 are not that far off. What</p> <p>8 are you planning for 2010 and 2011, in terms</p> <p>9 of new generation?</p> <p>10 A. We have no specific conclusive project that we</p> <p>11 would do at that particular time. The process</p> <p>12 would normally be that--we have some, we have</p> <p>13 Island Pond, which was mentioned in the</p> <p>14 evidence, as a 36-megawatt potential hydro</p> <p>15 plant in the Bay D'Espoir water shed area. We</p> <p>16 would likely go and review costing for--</p> <p>17 depending on the amount of load required in</p> <p>18 2010/2011, we may prepare cost estimates for</p> <p>19 gas turbines. We may go to an RFP process</p> <p>20 where we would seek proposals from private</p> <p>21 companies and then we would evaluate the whole</p> <p>22 and at the end of the day, we would propose</p> <p>23 what's most economic and in the long-term best</p> <p>24 interest to the consumers, to the Public</p> <p>25 Utilities Board for approval.</p>	<p>1 Q. So after Island Pond and the wind generation,</p> <p>2 that's about it. Otherwise you're looking--</p> <p>3 are you straining at that point to find new</p> <p>4 generation?</p> <p>5 A. Hydro doesn't have any--other than Island Pond</p> <p>6 is the only, you know, significant resource</p> <p>7 that we have in our portfolio, if you will,</p> <p>8 other than, you know, building a gas turbine</p> <p>9 plant or a combined cycle plant at Holyrood or</p> <p>10 elsewhere. There are other small hydro</p> <p>11 projects on the island that other people have</p> <p>12 rights to, which we would likely solicit bids</p> <p>13 for and evaluate what is the most appropriate</p> <p>14 next source. In the very long term, once all</p> <p>15 these small hydros are used, basically we do</p> <p>16 see a thermal future, unless we get a Labrador</p> <p>17 in feed, of course.</p> <p>18 Q. Now you say there, in your first sentence,</p> <p>19 that the system planning department is</p> <p>20 responsible for planning all new generation.</p> <p>21 How many people are working there in the</p> <p>22 system planning department?</p> <p>23 A. I think there are approximately--I shouldn't</p> <p>24 guess, I guess.</p> <p>25 Q. You can ballpark it, if you like.</p>

Page 29	Page 30
<p>1 MR. HAYNES:</p> <p>2 A. I think it's ten actually that are there, and</p> <p>3 that's distribution planning. That's</p> <p>4 distribution planning, generation planning and</p> <p>5 transmission planning. They also do--there's</p> <p>6 a lot of ongoing, you know, yearly or annual</p> <p>7 activities. There are 12 actually. There's a</p> <p>8 lot of annual activities with respect to</p> <p>9 operational support, doing load flows,</p> <p>10 stability analysis, reviewing diesel plant.</p> <p>11 All the isolated diesel areas have to have a</p> <p>12 review of the load forecast and whether</p> <p>13 there's new diesel generation required or</p> <p>14 change outs required.</p> <p>15 Q. Yes, but you just informed that the next plan,</p> <p>16 save for the wind generation, is Island Pond</p> <p>17 and that won't be until 2010 or 2011. Is that</p> <p>18 what you're telling us?</p> <p>19 A. I didn't say the next one would be Island</p> <p>20 Pond. Island Pond is one of a--Island Pond is</p> <p>21 one that we have. We would have to evaluate</p> <p>22 Island Pond against the economics of any other</p> <p>23 proposal and evaluate--it may not be Island</p> <p>24 Pond. It may well be, but we don't know that</p> <p>25 at this point in time.</p>	<p>1 Q. Now when you were completing Granite Canal,</p> <p>2 you must have had a fair complement of people</p> <p>3 involved in working on that, did you?</p> <p>4 A. From within Hydro?</p> <p>5 Q. Yes.</p> <p>6 A. There were five or six people engaged in that</p> <p>7 pretty well full time.</p> <p>8 Q. Well, what are they doing now, those five or</p> <p>9 six people, now that Granite Canal is</p> <p>10 completed?</p> <p>11 A. Granite Canal is online and producing. It's</p> <p>12 not exactly finished. There's still work</p> <p>13 ongoing, which we expect to take us to the end</p> <p>14 of the year, cleaning up deficiencies and a</p> <p>15 few things like that. But for most of the</p> <p>16 people, if not all the people who were</p> <p>17 assigned to that particular project, we had</p> <p>18 backfilled with temporary and term employees,</p> <p>19 and basically they would be--most of those</p> <p>20 would be finished their work with Hydro</p> <p>21 towards the end of the year, unless there's</p> <p>22 other work that comes in to take its place.</p> <p>23 Q. So those people will be--their work is</p> <p>24 complete?</p> <p>25 A. Yes, and it has slowed down in the last number</p>
Page 31	Page 32
<p>1 of months, but I mean, there were a fair--the</p> <p>2 Granite Canal team, if you will, were four or</p> <p>3 five people who were dedicated full time and</p> <p>4 we basically backfilled those positions with</p> <p>5 temporary or term engineers or spread it</p> <p>6 around amongst other areas or, in some cases,</p> <p>7 some work could be delayed until a later date.</p> <p>8 Q. Now in planning new generation, the ten people</p> <p>9 you got there in the planning department, it</p> <p>10 seems to me, would they be overly busy right</p> <p>11 now, if nothing is coming on in the</p> <p>12 foreseeable future?</p> <p>13 A. As I mentioned, in the generation and planning</p> <p>14 side, there are only a couple who are</p> <p>15 dedicated--who are allocated primarily to</p> <p>16 generation expansion for, you know, the major</p> <p>17 generation, and yes, they are very busy with</p> <p>18 lots of other things. They're involved in</p> <p>19 other committee work, reviewing--they are</p> <p>20 involved in the abatement technologies for</p> <p>21 Holyrood plant on the economic side and also</p> <p>22 several areas along those lines.</p> <p>23 Q. Now you've been very general in describing--</p> <p>24 you were specific in describing Island Pond</p> <p>25 and the wind generation, but you're been very</p>	<p>1 general in describing what you're looking for</p> <p>2 after that. Can you be a little more specific</p> <p>3 as to telling the Public Utilities Board as to</p> <p>4 what the plan is? If you don't choose Island</p> <p>5 Pond, where is electricity headed in this</p> <p>6 province, in terms of where is the plan?</p> <p>7 A. I have been less than specific because we do</p> <p>8 not know what the next source will be. It's a</p> <p>9 matter of what the options are available at</p> <p>10 the time, the cost of fuel, if natural gas is</p> <p>11 available, and so on. It will be--that will</p> <p>12 be the subject of an evaluation which will</p> <p>13 start in three or four years. What we will do</p> <p>14 is we will--Hydro will ensure that there are</p> <p>15 appropriate cost estimates in place or we go</p> <p>16 to an RFP and then we will evaluate the next</p> <p>17 source. It will be premature to say what that</p> <p>18 particular source will be until we actually do</p> <p>19 a full economic evaluation, which we would not</p> <p>20 undertake at this particular time. But the</p> <p>21 competition would be Island Pond, gas</p> <p>22 turbines, a combined cycle plant, or you know,</p> <p>23 or a fourth machine at Holyrood for instance,</p> <p>24 or you know, several, two or three or four or</p> <p>25 whatever is required of all the other small</p>



Page 33	Page 34
<p>1 MR. HAYNES:</p> <p>2 hydro that may be developed by others. It</p> <p>3 will be the subject to an economic and</p> <p>4 technical evaluation.</p> <p>5 Q. And is there a time line for this as to where</p> <p>6 you're headed?</p> <p>7 A. In 2005, we need to be--2005, 2006 at the</p> <p>8 latest, we would need to be kind of landing on</p> <p>9 a solution to propose to the Public Utilities</p> <p>10 Board, but we don't have that done at this</p> <p>11 point in time. The load forecast does not</p> <p>12 require that we have a definitive solution for</p> <p>13 2010 or 2011.</p> <p>14 Q. You indicate, on line 27 of your evidence,</p> <p>15 that the department prepares load forecasts.</p> <p>16 Can you give us a description of how that is</p> <p>17 done?</p> <p>18 A. Well, there are multiple load forecasts.</p> <p>19 There are isolated system load forecasts, but</p> <p>20 I guess, I'm assuming the one that you're most</p> <p>21 interested in is the one that dictates the</p> <p>22 next source. Basically, we do an econo-metric</p> <p>23 forecast and we do have the provincial</p> <p>24 government do some economic forecast and that</p> <p>25 basically drives a model which determines the</p>	<p>1 loading capacity requirements. There's a</p> <p>2 iterative process. A load forecast is done</p> <p>3 which considers the gross domestic--the GDP of</p> <p>4 the province, the housing starts and a whole</p> <p>5 raft of other things, and there was an RFI, I</p> <p>6 believe, submitted which kind of lists those</p> <p>7 things. So that is looked at. It churns out</p> <p>8 a bunch of numbers, if you will, on the energy</p> <p>9 and power requirements of the Interconnected</p> <p>10 System. We go through and we do a rate</p> <p>11 exercise and there's an iterative process, you</p> <p>12 know, that you go around until you come down</p> <p>13 to a--until you arrive at a load forecast</p> <p>14 whereby things are more or less balanced if</p> <p>15 you will. You do look at, you know,</p> <p>16 elasticity to a point of view. If you had--</p> <p>17 submitting a rate increase, there may be some</p> <p>18 dulling of the load forecast, so you have to</p> <p>19 do two or three iterations to arrive at a</p> <p>20 point that says this is the load forecast, and</p> <p>21 it's revised every year.</p> <p>22 Q. And that's the long-term load forecast?</p> <p>23 A. That's the long-term load forecast.</p> <p>24 Q. Okay. What about the short-term load forecast</p> <p>25 year over year? How is that completed?</p>
Page 35	Page 36
<p>1 A. The short-term load forecast takes information</p> <p>2 from the Industrial Customers, Newfoundland</p> <p>3 Power and our own forecast for Rural, and we</p> <p>4 generate these. These are used basically for</p> <p>5 budgetary purposes, for revenue requirements</p> <p>6 in the test year, for instance. But we</p> <p>7 basically take the information from the</p> <p>8 customers and we review it. We question it if</p> <p>9 we feel it's a little bit odd or it doesn't</p> <p>10 kind of fit our expectations, and we build the</p> <p>11 forecast for the system from there. That</p> <p>12 then, in turn, will go and do the hydrothermal</p> <p>13 split, which we'll consider the water</p> <p>14 resources we have available and generates</p> <p>15 everything from that, from a cost point of</p> <p>16 view.</p> <p>17 Q. Now in terms of when your customers provide</p> <p>18 you with their forecast, at what time of year</p> <p>19 is that normally done?</p> <p>20 A. That's usually done around this time of the</p> <p>21 year, in the fall.</p> <p>22 Q. And it's for what period?</p> <p>23 A. It's usually one to five year horizon.</p> <p>24 Q. And during the course of a year, is there any</p> <p>25 update given in the forecast that has been</p>	<p>1 provided?</p> <p>2 A. The forecast from the customers may or may not</p> <p>3 be updated. We usually go back for a reality</p> <p>4 check, if you will, and if there is any</p> <p>5 significant change in the forecast, we will</p> <p>6 basically do a revision and we will revise our</p> <p>7 estimates, our production estimates, our fuel</p> <p>8 estimates, based on the energy that we</p> <p>9 anticipate needing by the end of the year.</p> <p>10 Q. And since you've been in charge of this</p> <p>11 particular department, have you been required</p> <p>12 to do any updating pursuant to the forecasts</p> <p>13 that were given to you?</p> <p>14 A. Yes, that's quite common to revise the</p> <p>15 forecast. I mean, the weather obviously</p> <p>16 drives a lot of it. If it's a mild winter, we</p> <p>17 usually decrease our fuel use. If it's a</p> <p>18 harsh winter, and depending on the water</p> <p>19 situation, we will increase the usage, and</p> <p>20 this has been revised, is being revised now,</p> <p>21 for the filing that we will undertake towards</p> <p>22 the end of October, early November. That will</p> <p>23 all be revised for -</p> <p>24 Q. In which direction would it be revised?</p> <p>25 A. The forecast, the overall forecast, there's a</p>

Page 37	Page 38
<p>1 MR. HAYNES:</p> <p>2 little bit more fuel required because our</p> <p>3 inflows have basically continued in a downward</p> <p>4 trend. We're still below average on our</p> <p>5 inflow situation this year. So there is a</p> <p>6 requirement for more volume of fuel, somewhat</p> <p>7 balanced by the exchange rate, so there is a</p> <p>8 change, but -</p> <p>9 Q. So if there's more rain in the forecast coming</p> <p>10 up, will that be of assistance?</p> <p>11 A. Yes, certainly, it would be, yes. We have to</p> <p>12 maintain the--we have guidelines around the</p> <p>13 reservoir operation to maintain a guide curve</p> <p>14 and we occasionally dip below that, but it's</p> <p>15 not a comfortable place to be and we are,</p> <p>16 right now, just a little bit above it or on</p> <p>17 the line. If we get more rain, it'll help us.</p> <p>18 If we get less rain, it'll obviously require</p> <p>19 more fuel consumption at Holyrood.</p> <p>20 Q. Now when you were mentioning previously the</p> <p>21 new capacity that you're looking to and the</p> <p>22 various expansion, you didn't mention</p> <p>23 conservation. How is conservation factored</p> <p>24 into the timing for additional capacity? Have</p> <p>25 you looked at that as a possibility and a way</p>	<p>1 of avoiding new capacity coming on?</p> <p>2 A. If we look at conservation or DSM in the</p> <p>3 Isolated Diesel areas, specifically when new</p> <p>4 capacity is required and when the load</p> <p>5 forecast indicate that a requirement is, for a</p> <p>6 new diesel plant is required, we do do an</p> <p>7 exercise to the economic analysis to determine</p> <p>8 whether there are any costs--any economic</p> <p>9 merit into actually initiating some demand</p> <p>10 side management, you know, through compact</p> <p>11 florescent lighting and whatever. On the</p> <p>12 provincial grid, we had not undertaken</p> <p>13 anything other than our HYDROWISE Program to</p> <p>14 attempt to educate the general public that</p> <p>15 conservation is important, but we have not</p> <p>16 undertaken any "initiatives" in that</p> <p>17 particular area. I mean, submitting a thing</p> <p>18 that can be done, from my point of view, is</p> <p>19 through rates, to encourage people to conserve</p> <p>20 or to be--make wise choices regarding the use</p> <p>21 of electricity.</p> <p>22 Q. What do you mean through rates?</p> <p>23 A. Well if the rates--if people do not appreciate</p> <p>24 the cost effectiveness, overall cost</p> <p>25 effectiveness of electricity versus, for</p>
Page 39	Page 40
<p>1 instance, oil fired heat, or whatever, then</p> <p>2 they will naturally make a decision which they</p> <p>3 think is most cost effective. The capital</p> <p>4 cost, obviously, of oil-fired system is a bit</p> <p>5 higher than electric heat, as Mr. Wells</p> <p>6 mentioned the other day, and people tend to go</p> <p>7 with their, I guess, their initial short-term</p> <p>8 cost, as opposed to the long term, but, you</p> <p>9 know, we do not have a "Demand Side Management</p> <p>10 Program" per se. We do have the HYDROWISE</p> <p>11 Program which is basically an education tool.</p> <p>12 Q. How do you measure the HYDROWISE Program to</p> <p>13 determine if it is being effective?</p> <p>14 A. Well it was only implemented this year and</p> <p>15 that was implemented by our customer services</p> <p>16 department. I'm reluctant to comment on how</p> <p>17 it would measure. I suspect that Sam Banfield</p> <p>18 may be more appropriate to answer that</p> <p>19 particular question.</p> <p>20 Q. But there's no one in the new generation</p> <p>21 department that is responsible for finding,</p> <p>22 avoiding expanding the system through finding</p> <p>23 better ways to conserve and to urge people to</p> <p>24 conserve?</p> <p>25 A. Not specifically--not specific to any</p>	<p>1 particular individual's job requirements to be</p> <p>2 solely responsible for that particular aspect,</p> <p>3 no.</p> <p>4 Q. And in your meetings nationally with the</p> <p>5 Canadian Energy Council and the particular</p> <p>6 sub-group you're involved with, is there much</p> <p>7 discussion of conservation?</p> <p>8 A. Some, yes, there is some. It's not a major</p> <p>9 focus of the CEA, I mean, they do advocate, as</p> <p>10 we do, the wise use of energy, but it's</p> <p>11 really--the most gains will be made from</p> <p>12 education of general public and consumers of</p> <p>13 what their options are. But typically, people</p> <p>14 do not--if they're willing to pay, they don't</p> <p>15 think twice before they turn the thermostat up</p> <p>16 or buy more appliances. I mean, we had less</p> <p>17 growth recently than we had before when there</p> <p>18 was a lot of electrification going on, never</p> <p>19 slowed a bit, but still, is the primary choice</p> <p>20 of new home builders is electric heat.</p> <p>21 Q. How does that help you in your planning of the</p> <p>22 system, the fact that people out there still</p> <p>23 choose electric heat?</p> <p>24 A. It doesn't help or hinder us from the point of</p> <p>25 view of system planning. Basically the</p>

Page 41	Page 42
<p>1 MR. HAYNES:</p> <p>2 manifestation is through the load forecast.</p> <p>3 We look at the housing starts and a function</p> <p>4 done of how many new housing starts are all</p> <p>5 electric and that's all factored into the</p> <p>6 equation to come up with the load forecast.</p> <p>7 And then we basically strive for the least</p> <p>8 cost way to meet that particular demand. We</p> <p>9 have not made major efforts into trying to</p> <p>10 influence what the total energy requirements</p> <p>11 of the Province are.</p> <p>12 Q. In terms of the conservation theme, what</p> <p>13 efforts have been made and what plan have you</p> <p>14 in place to reduce the amount of fuel that's</p> <p>15 required at the Holyrood Generating Station?</p> <p>16 A. What we have been striving to do at Holyrood</p> <p>17 is to make sure that for every barrel that we</p> <p>18 do burn, that we squeeze as many kilowatt</p> <p>19 hours as we can out of it through, you know,</p> <p>20 through our efforts in the plant and through</p> <p>21 system dispatch. We have--most new sources, I</p> <p>22 would suggest that all new sources basically</p> <p>23 have some difficulty competing with the</p> <p>24 marginal cost of Holyrood. Granite Canal was</p> <p>25 close, but most sources are more expensive</p>	<p>1 than Holyrood. Holyrood is still a cost-</p> <p>2 effective source of energy for the Province.</p> <p>3 Q. And you mention that people are still putting</p> <p>4 electric heat and baseboard electrical</p> <p>5 radiation into their homes. If in account of-</p> <p>6 -have you done any analysis to find out how</p> <p>7 much that is really costing, in terms of the</p> <p>8 fuel requirements for Holyrood?</p> <p>9 A. You mean on a household basis?</p> <p>10 Q. Yes, just generally, you know, is this really</p> <p>11 costing you--costing Hydro a lot financially</p> <p>12 to provide this service?</p> <p>13 A. Well, it cost the home owner, I guess,</p> <p>14 electricity or it cost them capital cost and</p> <p>15 fuel cost if he buys from whichever oil</p> <p>16 company. I don't think we have gone down</p> <p>17 through and, from a corporate point of view,</p> <p>18 and specifically looked at what that is. I</p> <p>19 mean, I know that our economist has looked at</p> <p>20 the overall, the overall efficiency or</p> <p>21 effectiveness of, say, oil-fired home heat</p> <p>22 versus Holyrood, and I mean, that's the high</p> <p>23 level or the bird's eye view is that we are</p> <p>24 burning oil at a 35 to 40 percent efficient</p> <p>25 process and a homeowner could put in a furnace</p>
Page 43	Page 44
<p>1 and burn it at 80 percent efficient process.</p> <p>2 Q. But why aren't homeowners told that?</p> <p>3 A. I'm sure they would be by the oil companies.</p> <p>4 Q. But why isn't Hydro taking the lead in telling</p> <p>5 people that there will be a more efficient</p> <p>6 process by putting in your own furnace, rather</p> <p>7 than having Hydro burning bunker C fuel at the</p> <p>8 Holyrood generating station?</p> <p>9 A. We have not targeted the customers of</p> <p>10 Newfoundland Power from the point of view that</p> <p>11 they're in a diesel system, it looks after</p> <p>12 itself because the rate structure is, you</p> <p>13 know, the more you use, the more you pay. We</p> <p>14 have not targeted Newfoundland Power customers</p> <p>15 from that particular aspect?</p> <p>16 Q. Why haven't you?</p> <p>17 A. We did not feel it was our role to actually</p> <p>18 persuade or to discourage use by another</p> <p>19 company's customers.</p> <p>20 Q. Well, whose role would it be? Whose</p> <p>21 responsibility would it be to inform people</p> <p>22 concerning the efficiencies that could be</p> <p>23 gained by if they put a furnace in their home</p> <p>24 as opposed to the lack of efficiency you have</p> <p>25 in Holyrood by burning oil there?</p>	<p>1 A. I guess it's really a consumer education</p> <p>2 process and it's a consumer education thing.</p> <p>3 I think the HYDROWISE Program does assist in</p> <p>4 that there. I think the--I would think that</p> <p>5 the various entities can have some</p> <p>6 responsibility, whether it's the PUB or the</p> <p>7 Government through NRCAN (phonetic), Federal</p> <p>8 Government Programs, but Hydro has not taken</p> <p>9 that upon itself to speak directly to the</p> <p>10 customers of Newfoundland Power.</p> <p>11 Q. But Hydro generally has no program attempting</p> <p>12 to persuade consumers to use less energy as a</p> <p>13 technically acceptable alternative to new</p> <p>14 generation?</p> <p>15 A. No, although Hydro does encourage the wise use</p> <p>16 of energy, but we have no, we have not</p> <p>17 instituted programs on a customer-by-customer</p> <p>18 basis, whereby we could actually show them or</p> <p>19 encourage them not to put in electric heat.</p> <p>20 Q. Have you undertaken any studies, has Hydro</p> <p>21 undertaken any studies to show that</p> <p>22 conservation, a massive conservation would be</p> <p>23 a technically acceptable alternative to new</p> <p>24 generation?</p> <p>25 A. Not specifically. Not recently, not that I'm</p>

Page 45	Page 46
<p>1 MR. HAYNES: 2 aware. 3 Q. And why wouldn't you look to that as a 4 possibility? 5 A. Look to actually going on a massive campaign 6 for conservation? 7 Q. Yes, to examine conservation as opposed to 8 putting in alternative new energy? 9 A. I think from a--I think on a go-forward basis 10 that there may be gains to be made by 11 influencing or encouraging people to put in 12 oil-fired electric heat. I think maybe some 13 of the environmental programs with the Federal 14 Government may be of some assistance because 15 it is more environmentally appropriate as 16 well, you know, to get 80 percent efficiency 17 out of a home furnace than it is 37 percent 18 efficiency out of Holyrood. But for people to 19 go back and retrofit their homes to be, you 20 know, a hot-air furnace or a hot-water furnace 21 or whatever would be prohibitive and I think 22 the only in-roads you may make is on new 23 construction and that will be education over 24 time. We have not undertaken any specific 25 target program to curtail power or energy use.</p>	<p>1 Q. And in terms of new construction, even if you 2 undertook that as a project to point out the 3 fact that you just pointed out to us, that 4 people would be more efficient in putting a 5 furnace into their home, than having you burn 6 the oil at Holyrood. Have you considered that 7 as a possibility of lessening the strain on 8 the system? 9 A. Not as a major impact into the next source, we 10 have not considered that at this point in 11 time. 12 Q. Have you done an analysis to determine where 13 that would get you? 14 A. Not to my knowledge. 15 Q. In terms of system planning and system 16 operation, on page 2, lines 8 and 9, you make 17 reference to the Energy Control System and the 18 co-ordination with Newfoundland Power and the 19 non-utility generators and the Industrial 20 Customers. The non-utility generators, they 21 provide back-up service of sorts. How do they 22 get into this equation? 23 (10:00 a.m.) 24 A. No, all the non-utility generators provide 25 power energy to Hydro on a kind of a take or</p>
Page 47	Page 48
<p>1 pay basis and basically when they generate, we 2 take it and basically we displace primarily 3 Holyrood fuel. Maybe not in the immediate-- 4 you know, in the middle of the summer, 5 obviously, we wouldn't be displacing Holyrood 6 fuel directly, but we would generate less of 7 our hydraulic and the fuel would be displaced 8 at a later point in time. There would be some 9 time lag on that particular activity. 10 Q. And Newfoundland Power has its own generation 11 sources too. 12 A. Yes, but they are behind Newfoundland Power 13 delivery points and most of the NUGS actually 14 deliver into the system and then it's 15 accounted for Newfoundland Power, that's taken 16 off their load forecast and then accounted for 17 in their load forecast. 18 Q. How do you determine how much energy you 19 require from the NUGS at any given day? 20 A. It's based--primarily we take as they 21 generate. We don't--most of the NUGS do not 22 have a lot of storage capability. They're not 23 necessarily run of the river, all run of a 24 river, but basically when they generate, we 25 take the power or take the energy, I should</p>	<p>1 say. So there's no appreciable effort from 2 the point of view of dispatching those NUGS 3 and with respect to the amount of NUG power 4 that we have right now, which is approximately 5 66 megawatts, I believe, that's not a major 6 issue for Hydro. We can easily absorb that 7 into our system and we will work our 8 facilities around those. We have more storage 9 capability. 10 Q. So in terms of the NUGS, they can produce as 11 much, according to capacity as they can, and 12 you will take it into the system, is that the 13 way it works basically? 14 A. That's correct. 15 Q. Now, the NUGS, is that an expensive form of 16 power for you to purchase? 17 A. Well most of them are new plants and all the 18 new plants typically are obviously more 19 expensive than the, you know, Bay D'Espoirs 20 and the Upper Salmons and so on, it's a bit 21 more expensive than--it's more expensive than 22 Holyrood, it's a bit more expensive than 23 Granite Canal, but it's probably on par with 24 Island Pond or not too far from that. 25 Q. So the power you're buying from the NUGS is</p>

Page 49	Page 50
<p>1 BROWNE, Q.C.:</p> <p>2 more expensive than the power you could</p> <p>3 produce with fuel at Holyrood?</p> <p>4 A. On a marginal basis, yes. Holyrood fuel</p> <p>5 basically if you consider the O &amp; M and so on</p> <p>6 at Holyrood, you wouldn't be much more than</p> <p>7 \$60.00 per megawatt hour and the Granite Canal</p> <p>8 is about 53, 54 and the NUGS are higher again.</p> <p>9 Q. Well from a business perspective, is that the</p> <p>10 wisest course, to be purchasing from the NUGS?</p> <p>11 A. That depends, when you go down through and</p> <p>12 look at your load forecast, we have to do</p> <p>13 something. We have to meet the load. We plan</p> <p>14 a system for loss of load expectation or loss</p> <p>15 of load hours of 2 point hours and we plan the</p> <p>16 system to meet the hydraulic firm, so when we</p> <p>17 get to that particular point, we have to do</p> <p>18 something. As I mentioned, when we go</p> <p>19 through, for instance our next source, we will</p> <p>20 evaluate all those options and we will propose</p> <p>21 to the Public Utilities Board what is the most</p> <p>22 cost-effective way to meet that load at that</p> <p>23 time. Now that may be NUGS, it may be Island</p> <p>24 Pond, it may be Holyrood 4, it may be</p> <p>25 whatever. It will be the lowest evaluated</p>	<p>1 cost over the term to meet the needs of the</p> <p>2 system.</p> <p>3 Q. Okay, so you're buying as much from the NUGS</p> <p>4 as they can produce. What about Newfoundland</p> <p>5 Power's generation, how does that work in your</p> <p>6 control system?</p> <p>7 A. Basically we don't control any of Newfoundland</p> <p>8 Power's generation, nor do we actually control</p> <p>9 the NUGS. Newfoundland Power's generation,</p> <p>10 Newfoundland Power can generate approximately,</p> <p>11 in Schedule 2, on an average capability of</p> <p>12 about 424 gigawatt hours and basically they do</p> <p>13 that and it's absorbed in their system.</p> <p>14 Obviously they don't buy it from us, it's not</p> <p>15 purchased and blended in, if you will, it's</p> <p>16 totally behind their delivery points, our</p> <p>17 delivery points from Newfoundland Power.</p> <p>18 Q. So it directly affects their own customers and</p> <p>19 not you?</p> <p>20 A. Yes, if they weren't there, if they never had</p> <p>21 those Hydroplants, I would presume that they</p> <p>22 would be looking to buy another, you know,</p> <p>23 point four, 424 gigawatt hours on average from</p> <p>24 Newfoundland and Labrador Hydro.</p> <p>25 Q. Has there ever been a study undertaken at</p>
Page 51	Page 52
<p>1 Hydro involving Newfoundland Power and their</p> <p>2 generation capacity to see if Hydro should be</p> <p>3 taking over the generation from them or it</p> <p>4 could purchase the generation from them?</p> <p>5 A. Not to my knowledge. Most of their plants</p> <p>6 are, except for Rose Blanche, I guess, have</p> <p>7 been there for quite a number of years and I</p> <p>8 would suggest that their capital cost is long</p> <p>9 since written off and they're probably very,</p> <p>10 very cost effective for Newfoundland Power</p> <p>11 just to absorb that into their system and sell</p> <p>12 it as they do. And there are a lot of small</p> <p>13 plants, most of Hydro plants--not all, most of</p> <p>14 them are larger plants.</p> <p>15 Q. When you call upon Newfoundland Power to</p> <p>16 generate, yourselves, have you had occasion to</p> <p>17 call upon them to supplement your system?</p> <p>18 A. We don't normally call upon them to generate</p> <p>19 on their hydro plants. They usually try to</p> <p>20 ensure that those plants are available in the</p> <p>21 winter during peak. We do call upon them on</p> <p>22 some of their thermal generation if we have a</p> <p>23 situation whereby we need power, and I think</p> <p>24 that's set out in one of the exhibits, what</p> <p>25 the pecking order is, if you will, of when we</p>	<p>1 would call for that particular load. And I</p> <p>2 think in some of our RFT's it was actually</p> <p>3 indicated the times when we actually called</p> <p>4 upon them to generate thermal. On any</p> <p>5 particular day, if we find ourselves in a</p> <p>6 situation where because of outages or</p> <p>7 unscheduled outages that we found ourselves a</p> <p>8 little bit tight on generation, we wouldn't</p> <p>9 hesitate to call Newfoundland Power to make</p> <p>10 sure that all their Hydro is on or even call</p> <p>11 Industrial Customers to see if they can, you</p> <p>12 know, could be of assistance.</p> <p>13 Q. Now about a month ago or it might have been a</p> <p>14 little longer, it might have been six weeks or</p> <p>15 so, the electricity went off on at least most</p> <p>16 of the Island, at least the Avalon, due to a</p> <p>17 failure where, in Bay D'Espoir, was it?</p> <p>18 A. Bay D'Espoir station service.</p> <p>19 Q. Okay. How were the services that Newfoundland</p> <p>20 Power, and others, had to offer incorporated</p> <p>21 to assist you there?</p> <p>22 A. I think at that particular time we, I'm not</p> <p>23 sure if we actually asked for--I think we may</p> <p>24 have actually initiated a request for</p> <p>25 Newfoundland Power to start their gas</p>

Page 53	Page 54
<p>1 MR. HAYNES:</p> <p>2 turbines, but I think by the time that that</p> <p>3 was ready to go, I think we may have had the</p> <p>4 situation looked after with other generations.</p> <p>5 I think we actually had some generation, our</p> <p>6 GNP turned on the diesels and so on, until we</p> <p>7 got that problem resolved at Bay D'Espoir,</p> <p>8 which has been since resolved, by the way.</p> <p>9 Q. So you initiated the request to them to help</p> <p>10 out with the deficit, but by the time you</p> <p>11 ready, you didn't require it? How long does</p> <p>12 it take them to get going?</p> <p>13 A. That's in our RFI as well, I think it's</p> <p>14 probably about a half an hour, you know,</p> <p>15 assuming that the gas turbine is operational.</p> <p>16 Sometimes the gas turbines are--our gas</p> <p>17 turbines and Newfoundland Power's gas turbines</p> <p>18 don't necessarily have a stellar record of</p> <p>19 starting when you want them to start. They're</p> <p>20 pretty good, but occasionally they don't do as</p> <p>21 they're requested, as they're supposed to do,</p> <p>22 but I think it's about a half an hour or an</p> <p>23 hour.</p> <p>24 Q. Now where would the sources of Newfoundland</p> <p>25 Power's gas turbines be that would assist you</p>	<p>1 in feeding to the system when you have a</p> <p>2 deficit situation, such as that?</p> <p>3 A. Our largest gas turbine is on the Burin</p> <p>4 Peninsula.</p> <p>5 Q. Okay, so it's on the Burin Peninsula,</p> <p>6 whereabouts on the Burin is it?</p> <p>7 A. I think Green Hill is--my geography, I don't</p> <p>8 remember exactly from my planning days exactly</p> <p>9 where it is, but it's near the foot of the</p> <p>10 Burin Peninsula where the gas turbine is</p> <p>11 located.</p> <p>12 Q. Okay, so if you require additional power</p> <p>13 because of outages and you're requiring their</p> <p>14 thermal power, they will begin generating down</p> <p>15 at the foot of the Burin Peninsula?</p> <p>16 A. If we get down to that hierarchy of requests</p> <p>17 for generation, we obviously will start our</p> <p>18 own Hardwood in Stephenville, whatever is</p> <p>19 required, but if they get down there, they</p> <p>20 would be one of the ones that they could put</p> <p>21 on fairly quickly and I would assume that they</p> <p>22 would have all their hydro plants, as much as</p> <p>23 they can as well.</p> <p>24 Q. And from the foot of the Burin Peninsula, from</p> <p>25 the boot, they would be generating electricity</p>
Page 55	Page 56
<p>1 for the entire grid, is that correct?</p> <p>2 A. Oh yes, it all goes into the grid, it will</p> <p>3 displace, you know, it will reduce</p> <p>4 transmission from the--from Sunnyside down and</p> <p>5 allow power to be used somewhere else. I</p> <p>6 mean, the electrons go wherever electrons go,</p> <p>7 but it's an assistance--all the generation, as</p> <p>8 we are suggesting in our review, is used and</p> <p>9 useful to the overall system.</p> <p>10 Q. And where else would Newfoundland Power be</p> <p>11 able to generate thermally from, what other</p> <p>12 points on the Island?</p> <p>13 A. I think they have--a diesel generator is</p> <p>14 located in--they have diesel generators, two</p> <p>15 and a half megawatts in St. John's; they have</p> <p>16 a half of megawatt in Port Union; two and a</p> <p>17 half megawatts in Port aux Basques; and they</p> <p>18 also have one point seven megawatts of</p> <p>19 portable diesel generators; and they have the</p> <p>20 gas turbines at the Green Hill; and there's</p> <p>21 also the 15 megawatt gas turbines that they're</p> <p>22 moving to the Bonavista Peninsula. All of</p> <p>23 those generation are used and useful when we</p> <p>24 need it.</p> <p>25 Q. And all these could assist in feeding the</p>	<p>1 entire system?</p> <p>2 A. Yes, as would the generators and the GNP or,</p> <p>3 you know, anywhere else.</p> <p>4 Q. What would be the source of the generation on</p> <p>5 the Great Northern Peninsula?</p> <p>6 A. Basically there are three diesel plants on the</p> <p>7 Great Northern Peninsula owned by Hydro, one</p> <p>8 at St. Anthony, Hawke's Bay and Roddickton and</p> <p>9 there are a total of--I think at Hawke's Bay</p> <p>10 there are two two and a half megawatt units;</p> <p>11 at St. Anthony there are four one megawatt</p> <p>12 units and two two and a half megawatt units;</p> <p>13 and at Roddickton there are two units at 850</p> <p>14 kilowatts, but they're all used and useful</p> <p>15 when we're in a pinch.</p> <p>16 Q. Now were you in a pinch six weeks ago when the</p> <p>17 system went down?</p> <p>18 A. Yes, we had initiated a request to</p> <p>19 Newfoundland Power, we had also started</p> <p>20 generation that we had available because</p> <p>21 basically Bay D'Espoir plant was basically</p> <p>22 completely flat.</p> <p>23 Q. And the generation you had available from the</p> <p>24 Northern Peninsula, was that used to feed the</p> <p>25 entire system?</p>

Page 57	Page 58
<p>1 MR. HAYNES:</p> <p>2 A. It fed into the system, so it would have</p> <p>3 allowed generation at Holyrood or wherever to</p> <p>4 be used, you know, when a generator generates,</p> <p>5 it doesn't go in any particular place, it just</p> <p>6 goes into the grid, and it contributes to the</p> <p>7 overall grid. There's no accounting of where</p> <p>8 the electrons go, if you will, so it feeds, it</p> <p>9 displaces, the load flow will just rearrange</p> <p>10 itself automatically to meet the load.</p> <p>11 Q. Now you mention in your evidence concerning</p> <p>12 information systems and telecommunication</p> <p>13 systems that you have. I just want you to</p> <p>14 take us through those on page 3, at line 30,</p> <p>15 you mention the local area networks, LANS.</p> <p>16 What kind of system is that and how does it</p> <p>17 operate?</p> <p>18 A. I'm not sure of the actual manufacturer, if</p> <p>19 that's what you mean, but basically -</p> <p>20 Q. No, I'm not asking you that.</p> <p>21 A. Okay, basically it's all these things that you</p> <p>22 see around here in this room so that we can</p> <p>23 tie all these computers together, so we have</p> <p>24 email, have access to Internet if required,</p> <p>25 that we exchange data, it's all done</p>	<p>1 electronically. It's a connection--and all</p> <p>2 our main systems are connected, St. John's,</p> <p>3 Head Office is connected to Bishop Falls and a</p> <p>4 lot of the systems that they run in Bishop</p> <p>5 Falls actually run on computers in here,</p> <p>6 particularly the JD Edwards System and so on.</p> <p>7 It's all done through the LAN/WAN.</p> <p>8 Q. So it's an electronic connection?</p> <p>9 A. Oh yes, it uses the Microwave System and so</p> <p>10 on.</p> <p>11 Q. And you mention the wide area network, WANS,</p> <p>12 what's that?</p> <p>13 A. The LAN is, for instance, in Hydro Place</p> <p>14 there's a LAN, it's a local area network, so</p> <p>15 all the desks and all the computers are all</p> <p>16 wired and connected up to servers within the</p> <p>17 building and so on. The wide area, that</p> <p>18 basically extends its reach so that we have</p> <p>19 connections to Bishop Falls' office and Port</p> <p>20 Saunders' office and Goose Bay, et cetera, and</p> <p>21 to Bay D'Espoir and Holyrood, that is the</p> <p>22 thing that connects all those communication</p> <p>23 facilities to our integrated system is the</p> <p>24 WAN.</p> <p>25 Q. And the wide area network in the LAN and the -</p>
Page 59	Page 60
<p>1 A. Same sort of data goes over it, but it would</p> <p>2 typically involve other communication systems</p> <p>3 such as Microwave System, for instance. In</p> <p>4 the building of Hydro, there may be, you know,</p> <p>5 it's basically hard wired and then as you get</p> <p>6 into the WAN area, you would actually, you</p> <p>7 know, use fibre optic links, possibly to</p> <p>8 Newfoundland Tel or through our own or the</p> <p>9 Microwave System. It just extends the reach</p> <p>10 to--but it usually involves another</p> <p>11 intermediate area communication system, such</p> <p>12 as microwave or fibre or whatever.</p> <p>13 (10:15 a.m.)</p> <p>14 Q. And the Microwave System, how does that work?</p> <p>15 Life if there was an outage, I gather your</p> <p>16 local area network would be down as well at</p> <p>17 Hydro Place, would it not?</p> <p>18 A. Some, not necessarily all, there are some</p> <p>19 things that are powered on, you know, on a--</p> <p>20 the Energy Management System will not go down</p> <p>21 normally during an outage and there are, I</p> <p>22 think probably the AS400 probably stays</p> <p>23 ongoing, some of the peripherals may drop, but</p> <p>24 I think the main computer would actually</p> <p>25 continue to function.</p>	<p>1 Q. And would it continue to function and pick up</p> <p>2 information in other areas of the Province?</p> <p>3 A. The Microwave System is basically separate</p> <p>4 from the rest and it has its own emergency</p> <p>5 power sources that will run with everything</p> <p>6 else flat, for awhile. All the Microwave</p> <p>7 sites are--have some redundant power supply,</p> <p>8 obviously we'd prefer to hook it up to the</p> <p>9 grid, but there is usually a diesel or some</p> <p>10 other power supply on site, batteries and so</p> <p>11 on, to keep it going so that we can recover;</p> <p>12 otherwise, if we lose communications, we are</p> <p>13 obviously handicapped in returning the system</p> <p>14 to service.</p> <p>15 Q. And you mention here, internal phone systems,</p> <p>16 that's just LAN lines, is it?</p> <p>17 A. In the office phones we had a number of years</p> <p>18 ago, I guess, like most people, at one point</p> <p>19 in time, we would always require that from a</p> <p>20 Newfoundland Tel or T&amp;T or whoever at the</p> <p>21 time, I guess over the years we have basically</p> <p>22 purchased these switches and put them in our</p> <p>23 buildings and saw significant savings in cost</p> <p>24 and operating cost as well by owning the</p> <p>25 switch. So, most of the, not necessarily all,</p>

Page 61	Page 62
<p>1 MR. HAYNES:</p> <p>2 but most of the significant switches that we</p> <p>3 have now are owned by Hydro as opposed to</p> <p>4 being leased from Newfoundland Telephone and</p> <p>5 being administered by them, we do it</p> <p>6 ourselves.</p> <p>7 Q. Have you have a situation where the LANS</p> <p>8 network went down and the WANS went down and</p> <p>9 the Microwave went down and the internal phone</p> <p>10 system went down at the same time?</p> <p>11 A. I don't think that we had an event where we</p> <p>12 lost all of those things the same time, no.</p> <p>13 We have, obviously, you know, depending on</p> <p>14 what happened here and there, we may have had</p> <p>15 certain failures in the system. We've lost</p> <p>16 the Energy Management System on two occasions</p> <p>17 which would handicap our return to service,</p> <p>18 but that's under--that's presently being a</p> <p>19 spec for replacement to enhance that. But we</p> <p>20 haven't lost everything at one time. We have</p> <p>21 contingency plans in place if we lose the</p> <p>22 Energy Management System, whereby we go back</p> <p>23 on VHF radio and whatever is available, but,</p> <p>24 you know, we have contingency plans for losing</p> <p>25 these things, but we have not experienced a</p>	<p>1 total absolute failure of everything.</p> <p>2 Q. In terms of the VHF radio system, you have</p> <p>3 made application to this Board in the last</p> <p>4 number of applications for your capital works</p> <p>5 to put in a new VHF radio system. Why do you</p> <p>6 need that where you have so many alternatives</p> <p>7 that you can use?</p> <p>8 A. A lot of that was discussed, I guess, in the</p> <p>9 last two Capital hearings, and in our view,</p> <p>10 the VHF system is the most reliable, it's the</p> <p>11 backbone, it's the back stop to the failure of</p> <p>12 anything else that we have, and it reaches</p> <p>13 people in the field who have no access to cell</p> <p>14 phone sites or other communication systems to</p> <p>15 facilitate the return to--for instance, if you</p> <p>16 were restoring a transmission line and it's</p> <p>17 out in the middle of the wilderness area, VHF</p> <p>18 radio is the only means of communication with</p> <p>19 the crew, from a safety point of view, from a</p> <p>20 material's point of view and just to expedite</p> <p>21 the return to service of those pieces of</p> <p>22 equipment.</p> <p>23 Q. Have you ongoing discussions with Newfoundland</p> <p>24 Power re their VHF radio system and any</p> <p>25 discussions in reference to having one</p>
Page 63	Page 64
<p>1 provider and two users for that, yourself and</p> <p>2 -</p> <p>3 A. We have had various discussions over the years</p> <p>4 with Newfoundland Power on that aspect and I</p> <p>5 guess, you know, we do coexist right now with</p> <p>6 Works Services &amp; Transportation which</p> <p>7 basically is effectively paying for half the</p> <p>8 cost. With respect to the last order from our</p> <p>9 2003 Capital hearing, we have initiated</p> <p>10 meetings with Newfoundland Power to address if</p> <p>11 there are ways and means that we can integrate</p> <p>12 or that we can use the same system in the</p> <p>13 future. Those meetings have just started, but</p> <p>14 we are preparing--we are still endeavouring to</p> <p>15 somewhere along the way come back with another</p> <p>16 Capital Budget proposal to the Board for</p> <p>17 consideration to move on. We strongly feel</p> <p>18 that we have to replace the VHF radio system</p> <p>19 and recognize--we recognize the Board Order</p> <p>20 and we are trying to accommodate all of those</p> <p>21 requests.</p> <p>22 Q. So that's ongoing now?</p> <p>23 A. That's ongoing, yes.</p> <p>24 Q. I asked you previously about Granite Canal and</p> <p>25 now that Granite Canal is completed, will</p>	<p>1 there be reductions in staffing as a result of</p> <p>2 the completion of Granite Canal?</p> <p>3 A. As I mentioned, I think there are some term</p> <p>4 engineers, particularly, and so on that will</p> <p>5 be reduced and some have been reduced in</p> <p>6 respect to cluing up the conclusion of Granite</p> <p>7 Canal, but there are no permanent staff</p> <p>8 reductions planned because of Granite Canal;</p> <p>9 in fact, from the point of view of, you know,</p> <p>10 taking on Granite Canal, we have no increased</p> <p>11 the operating maintenance staff because of</p> <p>12 that. We are basically going to incorporate</p> <p>13 Granite Canal operating and maintenance into</p> <p>14 the Bay D'Espoir system as it is today, with</p> <p>15 no increase in staff.</p> <p>16 Q. So the answer is no?</p> <p>17 A. Well there are some temporary--term engineers</p> <p>18 that will be reduced as towards the end of the</p> <p>19 year, but there are no--there is no</p> <p>20 anticipation that it would actually reduce our</p> <p>21 original complement, solely due to Granite</p> <p>22 Canal.</p> <p>23 Q. And how many term engineers will be gone at</p> <p>24 the end of the year as a result?</p> <p>25 A. There were, in production division, there were</p>



Page 65	Page 66
<p>1 MR. HAYNES:</p> <p>2 four hired initially, two are gone and there</p> <p>3 are two to go.</p> <p>4 Q. And that's already accounted for in the</p> <p>5 evidence, the fact that these four positions</p> <p>6 are eliminated?</p> <p>7 A. That's all--all of that is all in the 2004</p> <p>8 Cost of Service forecast.</p> <p>9 Q. How come a project, such as Granite Canal, you</p> <p>10 would only see fit at the end of the project</p> <p>11 to let four people go? It seems to me the</p> <p>12 magnitude of the project would have had a lot</p> <p>13 more people working there, would it not?</p> <p>14 A. Well there were in excess of 300 people</p> <p>15 working on the project, but basically what we</p> <p>16 did was through our generation and engineer</p> <p>17 department and there were other departments</p> <p>18 involved as well, you know, transmission,</p> <p>19 obviously, had to be built and Microwave</p> <p>20 Systems and Communications Systems were done.</p> <p>21 But basically most of the work was all done</p> <p>22 through contractors to the joint venture and</p> <p>23 we only had really five, five to six people</p> <p>24 who were allocated pretty well fulltime to the</p> <p>25 Granite Canal project. So there was not--</p>	<p>1 there was no major, you know, these were</p> <p>2 basically senior engineers and technical</p> <p>3 people who brought their background and skills</p> <p>4 and experience and Churchill Falls,</p> <p>5 Newfoundland Hydro, to that particular</p> <p>6 project.</p> <p>7 Q. So it's all contracted out and you only had</p> <p>8 five people working there?</p> <p>9 A. I think five people were allocated fulltime to</p> <p>10 the project, yes.</p> <p>11 Q. From the entire Hydro complement there was</p> <p>12 only five people?</p> <p>13 A. There was a lot of other people involved at</p> <p>14 different time for different stages, but they</p> <p>15 would not have been a fulltime commitment, you</p> <p>16 know, obviously we would have had time</p> <p>17 involved from the Bay D'Espoir operations</p> <p>18 people, the maintenance people, to review a</p> <p>19 drawing or to review an operating philosophy</p> <p>20 to say whether they agreed or whether they</p> <p>21 could add anything to it, but those were, you</p> <p>22 know, I won't say spurious, but they were, on</p> <p>23 the design stage, there were a lot of things</p> <p>24 done, decided and we moved on. But there was</p> <p>25 not a, you know, five people for a turn-key</p>
Page 67	Page 68
<p>1 project would be adequate. And they were</p> <p>2 seasoned experienced people who were allocated</p> <p>3 to the project.</p> <p>4 Q. On page 7 of your evidence, lines 16 and 17,</p> <p>5 you make reference to the Labrador</p> <p>6 Interconnected System and the 38.3 megawatt</p> <p>7 gas turbine and diesel plant capacity there,</p> <p>8 used for backup and limited peaking capacity,</p> <p>9 how often have these units been utilized?</p> <p>10 A. From a generation point of view, primarily</p> <p>11 used when there is a problem with a single--</p> <p>12 there's a single 138 kV line from Churchill</p> <p>13 Falls to Goose Bay and Churchill Falls</p> <p>14 actually maintained that particular line and</p> <p>15 while they do do a lot of live line</p> <p>16 maintenance, there are occasions when the line</p> <p>17 has to be out of service. And when the line</p> <p>18 is out of service, the gas turbines and</p> <p>19 possibly a diesel plant would be utilized.</p> <p>20 Q. From your own experience there, has that been</p> <p>21 once a year or twice a year or every ten years</p> <p>22 or -</p> <p>23 A. I would say a couple of times a year it's</p> <p>24 probably used, but I'm really guessing.</p> <p>25 Certainly it is used on occasion and I'm aware</p>	<p>1 of several that it has been used. It's also,</p> <p>2 for instance, a couple of years ago, we were</p> <p>3 into this insulator problem and we replaced a</p> <p>4 lot of the insulators, so it was used</p> <p>5 considerably during the Insulator Replacement</p> <p>6 Program for the 138 kV line because it was</p> <p>7 more cost effective to take the line out of</p> <p>8 service. That would be a horrendous job to do</p> <p>9 hot, so basically it was de-energized and just</p> <p>10 get in and get out and it would be used at</p> <p>11 that particular time. I would add too, that</p> <p>12 the gas turbine in Goose Bay also functions as</p> <p>13 a synchronous condenser, which provides</p> <p>14 voltage support at the end of the line and</p> <p>15 also allows a transfer of more megawatts to</p> <p>16 the Goose Bay area.</p> <p>17 Q. So they're absolutely essential for that</p> <p>18 system there in your opinion?</p> <p>19 A. Yes, in my opinion.</p> <p>20 Q. On page 13 of your evidence, can we go there</p> <p>21 please? And lines 18 to 29, you indicate that</p> <p>22 the ECC utilizes the Energy Management System</p> <p>23 to optimize the use of hydro and thermal</p> <p>24 resources, optimizing the mix and minimize</p> <p>25 water spillage. How is that done? How is the</p>

Page 69	Page 70
<p>1 BROWNE, Q.C.:  2 water spillage minimized?  3 A. There's a fairly complex--there are a lot of  4 factors that come into that because of the  5 number of reservoirs that we have, the number  6 of potential spillage sites that we have. So  7 in the day-to-day running of the hydraulic  8 system, the system operation and operation's  9 people look at, on a weekly basis, the  10 reservoirs, how much water is there, how much  11 room to, you know, we have to go to full  12 supply. They have to look at the load  13 forecast for the next week to determine how  14 much generation is required from each of the  15 hydraulic facilities and they have to plan the  16 discharge of water so the water is there in  17 time for the hydro plants to generate. If  18 they miss the boat, if they release too much  19 water from the upcountry structures, the water  20 is en route and basically they have to make  21 sure that the generation, the load is there to  22 take the load, otherwise, depending upon the  23 difference between where a reservoir is and  24 full supply level, if they exceed full supply,  25 they would have to spill. So there's a fair--</p>	<p>1 it's more of a hydraulic management. They  2 have to look at the load forecast, you have to  3 look at the actual--they would take into  4 consideration the actual weather forecast, if  5 they anticipate a lot of rain, they may back  6 off a little bit because they anticipate a  7 fair bit of rain, because some of the  8 reservoirs respond fairly quickly to a  9 significant rain store. So basically it's a  10 hydraulic planning. They have to plan the  11 water to be at the intake of the hydraulic  12 structure for when the hydraulic structure  13 needs to generate. It's a fairly complicated  14 process.  15 Q. Is there any planning with Newfoundland Power  16 and the Industrial Customers as part of this  17 optimization process?  18 A. Not significant planning. If the optimization  19 process for most of our plants is because we  20 have significant storage. As you have hydro  21 plants that have a lot less storage  22 capability, your ability to optimize is  23 significantly reduced. The Bay D'Espoir, the  24 big hydro plants would be the most appropriate  25 for that particular approach, particularly the</p>
Page 71	Page 72
<p>1 run of the river plants because we have Bay  2 D'Espoir, we have Upper Salmon, we have  3 Granite Canal all on the same reservoir  4 system, so there's a -  5 Q. What about the NUGS, are they part of this  6 optimization at all?  7 A. No, they basically, as they generate, we buy.  8 And most of those have very limited storage  9 capability.  10 Q. Newfoundland Power has indicated that if the  11 wholesale power rate is changed to a demand  12 energy rate from the current energy only rate,  13 there's a danger that its hydro generating  14 facilities would be operated at less than  15 optimum with the possibility of spillages.  16 What's your thoughts on that?  17 A. But they did say that they would operate under  18 the Act, which basically was the most  19 efficient resources, I mean, I think what they  20 said was there may be an incentive to-an  21 incentive to stray from that mantra. But I  22 don't think there's any doubt that  23 Newfoundland Light &amp; Power, Newfoundland Hydro  24 will operate all the facilities in the best  25 interest of the rate payers. I think on a</p>	<p>1 demand energy rate, I think that that is a  2 long-term--I don't think the pay back of a  3 demand energy rate are not short term, they're  4 longer term when it comes down to the things  5 you discussed before with respect to the next  6 generation source and maybe having some  7 control or influence over the long-term load  8 growth, that that may assist in that. But  9 it's not a short-term thing, it's something  10 that, you know, the demand energy rate should,  11 over time, it may over time, depending on the  12 way the rates are implemented by Newfoundland  13 Power, have some influence on the future  14 choices of consumers.  15 Q. And you indicate your Energy Management System  16 optimizes the use of hydro and thermal  17 resources to optimize the mix and minimize  18 water spillage. Did they have a lesser  19 vehicle than you have to minimize their water  20 spillage?  21 A. I think in the case of Newfoundland Power was  22 similar to the NUGS. I don't think, you know,  23 I'm not suggesting they don't have spill, when  24 you undertake to construct a hydro plant, you  25 look at a whole raft of things. You look at</p>

Page 73	Page 74
<p>1 MR. HAYNES:</p> <p>2 particularly the hydraulic regime and you look</p> <p>3 at as much information as you can. You would</p> <p>4 never build a hydro plant and design a hydro</p> <p>5 plant that never spills because the economics</p> <p>6 would not be there. So there's always a</p> <p>7 built-in acceptance of some spills from each</p> <p>8 and every plant you build. Depending on the</p> <p>9 economics at the time of some of the older</p> <p>10 plants, Newfoundland Power may spill in some</p> <p>11 areas more often because of the plant. The</p> <p>12 other thing I would suggest with Newfoundland</p> <p>13 Power was that because Newfoundland and</p> <p>14 Labrador Hydro basically back stops the</p> <p>15 generation of basically everybody on the</p> <p>16 Island, that they can generate--they can, I</p> <p>17 would suggest in 99.9 percent of the cases, as</p> <p>18 long as they have the equipment available,</p> <p>19 that they can generate whatever they want.</p> <p>20 Q. Who is "they"?</p> <p>21 A. Newfoundland Power. They can generate</p> <p>22 whatever--I don't think they would be forced</p> <p>23 to spill because of, you know, load</p> <p>24 conditions. They can generate and basically</p> <p>25 Newfoundland and Labrador Hydro would look</p>	<p>1 after it in their reservoir system. And we</p> <p>2 have much, you know, we have more reservoir</p> <p>3 storage ability than Newfoundland Power or any</p> <p>4 of the NUGS to do that.</p> <p>5 Q. So you don't agree then with what they're</p> <p>6 stating that if there is a demand energy rate</p> <p>7 from the current energy only rate, that there</p> <p>8 is a--that that danger of spillage, as they</p> <p>9 are professing, is in fact there?</p> <p>10 A. I think the context of their statement was</p> <p>11 that if they were to use their hydro</p> <p>12 generation or their generation to reduce the</p> <p>13 peak, that what they would do is they would</p> <p>14 impound, possibly impound more water going</p> <p>15 into the winter than they would normally do</p> <p>16 and there would be a risk of spillage because</p> <p>17 if you have a full reservoir and you can</p> <p>18 discharge "X" thousand of cubic feet a full</p> <p>19 load and the inflows are "X" thousand cubic</p> <p>20 feet, plus 10 percent, then 10 percent of the</p> <p>21 water will have to be spilled. So I think</p> <p>22 it's more of a matter of the way they plan the</p> <p>23 winter generation.</p> <p>24 Q. So if you had to plan that and were moving to</p> <p>25 a demand energy rate, what would you do?</p>
Page 75	Page 76
<p>1 A. We would plan the whole, but it would be a</p> <p>2 little bit prohibitive to plan the whole for,</p> <p>3 I don't know how many plants Newfoundland</p> <p>4 Power has, but there are numerous number of</p> <p>5 small hydro plants. It would be a lot more</p> <p>6 difficult to do with a lot of small plants, as</p> <p>7 opposed to several significant storage areas,</p> <p>8 you know, the Bay D'Espoirs, for instance, and</p> <p>9 the Upper Salmons.</p> <p>10 Q. But if you were given a job, if Newfoundland</p> <p>11 Power has come to seek your advice as to ways</p> <p>12 to minimize water spillage in a demand energy</p> <p>13 rate system. What would your advice to them</p> <p>14 be?</p> <p>15 A. I'm not sure what my advice would be, I would</p> <p>16 suggest that if we were to go with a demand</p> <p>17 energy rate, that Newfoundland Power would</p> <p>18 probably have to seek to minimize that risk to</p> <p>19 rate design, as opposed to--and to ensure that</p> <p>20 even if, you know, that they would not have a</p> <p>21 major financial incentive to risk spill, that</p> <p>22 maybe rate design would look after that in a</p> <p>23 sense that the rates would, to the end</p> <p>24 consumer, would be somehow--provide them a</p> <p>25 negative to increase their demand in the</p>	<p>1 wintertime to avoid that.</p> <p>2 Q. Can you expand upon that a little, just give</p> <p>3 us your views on the demand and energy rate</p> <p>4 and how that would work, ultimately?</p> <p>5 A. I'm not--I wouldn't profess to know a lot</p> <p>6 about the demand and energy rate, but I guess</p> <p>7 what we were proposing to Newfoundland Power,</p> <p>8 I guess, or what we're now proposing is to go</p> <p>9 with the demand energy rate. The benefits, as</p> <p>10 I said, are long term, that over a period of</p> <p>11 time that you would encourage the end</p> <p>12 consumers to be--they would get a better price</p> <p>13 feed back with respect to, for instance,</p> <p>14 winter usage. With respect to Newfoundland</p> <p>15 Power's hydro plants, I mean, there's no doubt</p> <p>16 that when they look at the whole of the demand</p> <p>17 charge and they look at the possibility of</p> <p>18 having their hydro plants one hundred percent</p> <p>19 capable, that they could shave their peak</p> <p>20 during the winter. That may be cost effective</p> <p>21 for them. They may be able to put in a rate</p> <p>22 structure which would kind of reduce that</p> <p>23 probability less than what it is today.</p> <p>24 Today, with an energy only rate, you know,</p> <p>25 Newfoundland Hydro picks up any shortfall in</p>

Page 77	Page 78
<p>1 MR. HAYNES:</p> <p>2 energy--in the capacity requirements and it's</p> <p>3 not something they have to worry about. It's</p> <p>4 definitely a consideration for Newfoundland</p> <p>5 Power, you know, it's something that they</p> <p>6 would have to think about, but it would be a</p> <p>7 business risk to them which they would have to</p> <p>8 address and resolve possibly through the rate</p> <p>9 structure.</p> <p>10 Q. But you're here before this Board, Hydro is</p> <p>11 here advocating the demand energy rate be</p> <p>12 implemented from the current energy only rate?</p> <p>13 A. Yes.</p> <p>14 Q. What benefits do you see in that to Hydro?</p> <p>15 A. I think as I have said, it's a longer term--</p> <p>16 it's in the longer term we see--we may see</p> <p>17 some impact on the load forecast, expansion of</p> <p>18 electric use, depending on the rate structure</p> <p>19 that's ultimately employed by Newfoundland</p> <p>20 Power. But Newfoundland Power right now do</p> <p>21 not have any--there is no strong factor to</p> <p>22 curtail demand in Newfoundland Power with an</p> <p>23 energy only rate. Obviously demand and energy</p> <p>24 rate would treat them the same as the</p> <p>25 Industrial Customers who do have some, you</p>	<p>1 know, repercussions if they exceed the power</p> <p>2 on order, for instance.</p> <p>3 Q. And in reference to what we began this</p> <p>4 discussion, to minimize water spillage, you</p> <p>5 have your Energy Management System in place</p> <p>6 for that purpose and they could have something</p> <p>7 similar, is that correct?</p> <p>8 A. I'm not sure what they have, but I presume</p> <p>9 they look at all their hydro plants to some</p> <p>10 degree of optimize--at least right now,</p> <p>11 optimizing the water usage.</p> <p>12 Q. In terms of the system that's there to</p> <p>13 minimize water spillage as you refer to it in</p> <p>14 your evidence and optimize the mix, how</p> <p>15 exactly is that done? Is that some kind of</p> <p>16 computerized projection?</p> <p>17 A. The hydro thermal mix?</p> <p>18 Q. Yes.</p> <p>19 A. As I mentioned, that whole process which was</p> <p>20 done on system operations, looks at the</p> <p>21 availability of the machines, what machines</p> <p>22 are available, it looks at reservoir and</p> <p>23 storage levels, it looks at load forecast.</p> <p>24 Q. So it's all computerized, is it?</p> <p>25 A. A lot of computer programs to assist us and</p>
Page 79	Page 80
<p>1 there's obviously some judgment invoked by Mr.</p> <p>2 Henderson and his group, but there's a fair</p> <p>3 bit of assistance by computerized models to do</p> <p>4 that and then it comes back and optimizes and</p> <p>5 reduce our risk of spillage. We also attempt</p> <p>6 in a control arena to, as came up on the</p> <p>7 screen when I started, we put in the curve for</p> <p>8 the relationship between the barrels of oil</p> <p>9 consumed versus generation. There is--the</p> <p>10 Energy Control Centre has a fair influence on</p> <p>11 the actual average load of Holyrood. The</p> <p>12 higher the average load, usually the higher</p> <p>13 the conversion rate, so there's a whole raft</p> <p>14 of factors that come into it. They try to</p> <p>15 keep that up, they minimize reduce of spill</p> <p>16 and at the end of the day, they're trying to</p> <p>17 weigh a whole raft of different options to do</p> <p>18 the best job, to have the least cost to</p> <p>19 maintain the service.</p> <p>20 Q. And does the computer, put it in vulgar terms,</p> <p>21 does a computer tell you exactly what the mix</p> <p>22 is and what you have to do and then you</p> <p>23 exercise your judgment based upon what the</p> <p>24 computer is telling you?</p> <p>25 A. I'm not exactly sure, I think there's--at the</p>	<p>1 end of the day there's judgment involved, but</p> <p>2 I think the modelling, the several programs</p> <p>3 that they do actually run, do come out and</p> <p>4 give a suggested course. Then they have to</p> <p>5 consider the weather and they have to consider</p> <p>6 if there's a machine that's scheduled out next</p> <p>7 week or a transmission line scheduled out next</p> <p>8 week, so there's a whole other bunch of</p> <p>9 factors that come into play.</p> <p>10 Q. And are these software programs that your</p> <p>11 purchase for hydro production?</p> <p>12 A. Some are purchased, yes, some are stand-alone</p> <p>13 systems that look at the load forecasting, you</p> <p>14 know, the load forecast for next week, which</p> <p>15 is driven by the weather forecast, so there</p> <p>16 are several different tools used.</p> <p>17 Q. And the software programs are out there, that</p> <p>18 are subject to purchase, I guess, by anyone</p> <p>19 who wishes to buy them or are they developed</p> <p>20 for each particular utility out there?</p> <p>21 A. I think--there's a core of programs that you</p> <p>22 buy, but there's always changes that suit your</p> <p>23 particular system and situation. But there's</p> <p>24 no one program that's going to be the "be all</p> <p>25 and end all" that does it all. There's still</p>

Page 81	Page 82
<p>1 MR. HAYNES:  2 a lot of, you know -  3 Q. It's human judgment as well.  4 A. Human judgment, experience of the operators  5 and the fellows in the control centre applied  6 to that.  7 Q. So, in terms of Newfoundland Power, they're  8 using as the excuse for not wanting to move to  9 a demand energy rate that the possibility of  10 spillage, there are programs out there can be  11 adapted to assist with that. Would you  12 believe that that would be the case?  13 A. I'm reluctant to agree to Newfoundland Power's  14 specific situation.  15 Q. You haven't studied their system.  16 A. I'm really not sure of the -  17 Q. But you do know that there are computerized  18 programs out there for Hydro production.  19 A. Yes, but one is a financial issue and one is  20 a--one may be a financial issue versus, you  21 know, squeezing every kilowatt hour out of  22 every gallon of water. They don't always come  23 together, unfortunately.  24 Q. In terms of the Energy Management System  25 generally, are there plans to increase the</p>	<p>1 amount of remote control of hydro plants in  2 the province?  3 A. We have looked at--we don't have remote  4 control over two of our small hydro plants,  5 Snook's Arm and Venam's Bight and we have not  6 looked at any particular thing in the short  7 term to provide any remote control. We are  8 looking at increasing remote control of some  9 of our structures, hydraulic control  10 structures. Right now, some of our hydraulic  11 control structures are manned most of the time  12 and we are looking, we are reviewing that. We  13 have no conclusions yet, but--and if the  14 conclusions are that it's an economic thing to  15 do, it'll eventually come forward as capital  16 budget proposal. But all of our primary  17 plants are remote controlled. And the diesel  18 plants, most of them are remote controlled;  19 the gas turbines are all remote controlled.  20 Q. What plants out there are not remote  21 controlled?  22 A. Snook's Arm and Venam's Bight, but they's two  23 very small old plants up on the Baie Verte  24 Peninsula.  25 Q. So, it's only two we're talking?</p>
Page 83	Page 84
<p>1 A. Only two and Roddickton Hydro, I think, is  2 also--Roddickton mini hydro which is looked  3 after by TRO is not remote controlled from a  4 control centre.  5 Q. How many employees would be involved in these  6 areas where they're not remote controlled?  7 A. In Snook's Arm and Venam's Bight there are no,  8 I don't think there are any employees. I  9 think we have a, kind of, basically starts and  10 stops as the water is available. It's a very  11 small run of the river sort of plant. The  12 maintenance is done -  13 Q. And what about in Roddickton?  14 A. Roddickton, I'm not--that's in TRO. I don't  15 think there's anybody specifically assigned  16 solely to looking after that plant. I think  17 it's more of--it's kind of on automatic, if  18 there's water, it runs; if there's not, it  19 doesn't, but I'm not 100 percent certain on  20 the Roddickton mini hydro.  21 Q. It's your evidence that they haven't done any  22 study of Newfoundland Power's generating  23 stations to see if they're savings which could  24 be found by putting them under your Energy  25 Management System, generally.</p>	<p>1 A. No, we have not looked at that, no.  2 Q. Would you have a view on that, an opinion?  3 A. I haven't really thought about it, but you  4 know, it depends on the size of the plant. If  5 you--in our control centre right now, we  6 basically have, on shift, we have one operator  7 and basically one supervisor who's obviously  8 doing a fair bit of, in some respects, some of  9 the operating things along with the operator.  10 And we're looking after nine plants and all  11 the transmission systems and so on. If you  12 were to inundate that control centre with  13 looking after another 20 or 30 small hydro  14 plants, I think you have a staffing issue off  15 the bat. I don't think that could be done in  16 a simple way, we have not looked it. The  17 small plants are of questionable value on any  18 control centre because there's very little  19 storage capability. The value of doing all  20 this generation planning and so on or dispatch  21 planning, is usually when there's a submitting  22 of reservoir storage where you have some  23 flexibility to move load around and dispatch  24 at different times of the day and do an  25 overhaul. On the small run of the river plants,</p>

Page 85	Page 86
<p>1 MR. HAYNES:</p> <p>2 basically you use turbine water when it's</p> <p>3 available as the NUGS are doing right now.</p> <p>4 Q. Now, in your opinion, does Hydro expertise lie</p> <p>5 in generation in this province?</p> <p>6 A. I think Hydro's expertise lies in generation</p> <p>7 and in the bulk transmission grid as we also</p> <p>8 maintain quite a diesel expertise because we</p> <p>9 operate so many isolated diesel systems and</p> <p>10 the distribution that goes with it, but</p> <p>11 primarily generation and the bulk grid</p> <p>12 transmission are two of the big areas that we</p> <p>13 serve. And there's also a significant,</p> <p>14 obviously, involvement in the</p> <p>15 distribution/isolated diesel areas. But</p> <p>16 generation is an area that we take a fair bit</p> <p>17 of pride in as is the transmission and</p> <p>18 distribution. I think we do it all</p> <p>19 appropriately.</p> <p>20 Q. I mean, there's talk out there in the</p> <p>21 community generally about Hydro taking over</p> <p>22 Newfoundland Power's generation. You must</p> <p>23 have heard those discussions from time to time</p> <p>24 within Hydro.</p> <p>25 A. Awhile ago. The current thing is</p>	<p>1 Newfoundland Hydro taking over all of</p> <p>2 Newfoundland Power; I don't think there was</p> <p>3 any discussion -</p> <p>4 Q. That's not a bad idea either, but -</p> <p>5 A. We'll leave that to others.</p> <p>6 Q. We don't get that far. In terms of to manage</p> <p>7 Newfoundland Power's generation or to take</p> <p>8 over Newfoundland Power's generation,</p> <p>9 discussions within Hydro in reference to that,</p> <p>10 have you been party to any of those</p> <p>11 discussions?</p> <p>12 A. No.</p> <p>13 Q. Do you think it would be practical for Hydro</p> <p>14 to take over Newfoundland Power's generation?</p> <p>15 A. I really haven't thought about it, so I really</p> <p>16 have no opinion. It would be the subject of a</p> <p>17 fair study looking at the number of plants,</p> <p>18 the physical location, the fact that we do not</p> <p>19 have human resources out in many of these</p> <p>20 areas. That's a big question; it would be--</p> <p>21 I'm not -</p> <p>22 (10:45 a.m.)</p> <p>23 Q. Newfoundland Power has some problems moving to</p> <p>24 the demand energy rate because they fear</p> <p>25 spillage in the areas which they generate.</p>
Page 87	Page 88
<p>1 Hydro could be there to give them some advice</p> <p>2 as to how to go about that, I guess, would</p> <p>3 they?</p> <p>4 A. We will help in any way we can.</p> <p>5 Q. If we go to page 18, line 7 to 9. 2002 is</p> <p>6 referenced on that page and some troubles that</p> <p>7 you had during that year at various events,</p> <p>8 one initiated by a customer event that caused</p> <p>9 some difficulties. What was that? Who was</p> <p>10 the customers and can you expand upon that?</p> <p>11 A. I think the specifics in that particular</p> <p>12 situation was that when we do have a bust up</p> <p>13 or whatever, we co-ordinate with all our</p> <p>14 customers from the point of view of picking up</p> <p>15 load. And that particular event, I think they</p> <p>16 picked up load a little bit too fast. As you</p> <p>17 pick up load, obviously the governors have to</p> <p>18 react and wicket gates have to open or</p> <p>19 whatever the case is to allow more water to</p> <p>20 keep, you know, the generation match to the</p> <p>21 demands. And that particular time, it was</p> <p>22 Newfoundland Power actually, I think, picked</p> <p>23 up a larger chunk of load, if you will, than</p> <p>24 the system could take. So, it actually caused</p> <p>25 the frequency to go down and initiate another</p>	<p>1 event. It happens on occasions.</p> <p>2 Q. Was 2002 an exceptional year for these so</p> <p>3 called events?</p> <p>4 A. It was an exceptionally bad year from our</p> <p>5 point of view, yes, we had 17 under frequency</p> <p>6 events and for various reasons. They weren't</p> <p>7 all in generation, transmission, terminal</p> <p>8 stations, the energy control centre, there</p> <p>9 were several various reasons. So far this</p> <p>10 year, to the end of the September, we had</p> <p>11 eight events this year so far. We started off</p> <p>12 very well, but we had a few events happen.</p> <p>13 Q. And the 17 events in 2002, when you look back</p> <p>14 at it, could you have done things that would</p> <p>15 have avoided -</p> <p>16 A. Well, there were some things, you know,</p> <p>17 picking up a load too fast and occasionally</p> <p>18 there's a human error that creeps in there one</p> <p>19 way or another that happens; those things are</p> <p>20 done. Often times when I looks at the thermal</p> <p>21 plant, I guess we have 9 events related to</p> <p>22 Holyrood in 2002. Holyrood in a fairly</p> <p>23 complex creature and it doesn't, you know,</p> <p>24 there are numerous things out there that can</p> <p>25 cause a system to, cause a unit to trip and</p>

Page 89	Page 90
<p>1 MR. HAYNES:</p> <p>2 with 175 megawatts on units one and two, it</p> <p>3 will absolutely force under frequency load</p> <p>4 change (phonetic) to be initiated when it does</p> <p>5 trip. But we have undertaken several things</p> <p>6 in Holyrood and elsewhere to look at this.</p> <p>7 You know, we're undertaking review of our</p> <p>8 tripping logic to see if everything that</p> <p>9 initiates a trip right now, maybe it can be an</p> <p>10 alarm. It was designed based on the, you</p> <p>11 know, the standard industry design, if you</p> <p>12 will, but we are looking at those things and</p> <p>13 we have actually retained a consultant to look</p> <p>14 at some aspects of the key systems that can</p> <p>15 cause under frequency tripping in Holyrood.</p> <p>16 Q. So, you feel you have this under control?</p> <p>17 A. We are striving to improve it. I hope it's</p> <p>18 under control; I'm sure it is. The action</p> <p>19 that we've taken, you know, we've gone and</p> <p>20 we've actually met with the Public Utilities</p> <p>21 Board on occasion to review this, but we are</p> <p>22 reviewing all on line testing that we do. In</p> <p>23 Holyrood because of the steam plant, there's</p> <p>24 hundreds and hundreds and hundreds of daily or</p> <p>25 monthly tests that are done on line. So,</p>	<p>1 we're reviewing all those things to see if</p> <p>2 things could be delayed or if we actually need</p> <p>3 to alert the control centre to run back on</p> <p>4 load while we do it because it increased</p> <p>5 risks. So, a lot of those things had been</p> <p>6 done and there are some things that are</p> <p>7 presently in progress to improve our</p> <p>8 performance.</p> <p>9 Q. On page 28 of your evidence, line 11 to 13,</p> <p>10 you indicate the forecast hydraulic production</p> <p>11 for 2004 is based on the 30 year average for</p> <p>12 the existing plants where Granite Canal, the</p> <p>13 estimate was obtained from a power and energy</p> <p>14 analysis. What's that, a power and energy</p> <p>15 analysis?</p> <p>16 A. When you propose or go into design process for</p> <p>17 hydro plant, you basically look at the</p> <p>18 hydrology of the flows that you anticipate.</p> <p>19 And Granite Canal is a part of the Bay</p> <p>20 D'Espoir system, so we know how much water was</p> <p>21 turbined at Bay D'Espoir and Upper Salmon.</p> <p>22 So, you can assume how much water actually is</p> <p>23 available to the Granite Canal. So, that was-</p> <p>24 -to determine how much water was available and</p> <p>25 therefore, how much energy it could produce.</p>
Page 91	Page 92
<p>1 Q. And that's the analysis?</p> <p>2 A. Yes, but we obviously don't have a 30 year</p> <p>3 operating record for Granite Canal because</p> <p>4 basically it was just a pond back in the Bay</p> <p>5 D'Espoir reservoir and we had gauging in</p> <p>6 certain places, but we were not measuring</p> <p>7 specifically the Granite Canal lake discharge.</p> <p>8 We determined what that discharge is by</p> <p>9 looking at the whole hydraulic study, the</p> <p>10 power energy study analysis and came up with a</p> <p>11 224 gigawatt hours average which we</p> <p>12 anticipate.</p> <p>13 Q. Now, you mention in your evidence concerning</p> <p>14 the Holyrood generating station, that you've</p> <p>15 moved to a new type fuel that has less sulphur</p> <p>16 content, I guess, over the past year or so.</p> <p>17 A. No, not yet. We used to buy, I think if you</p> <p>18 go back quite a number of years, we used to</p> <p>19 buy 2.8 percent sulphur was our specification.</p> <p>20 In our specification right now, we've actually</p> <p>21 specified 2.2 percent sulphur which allows us</p> <p>22 to meet the 25,000 tonne per year cap. And in</p> <p>23 our contract we have the provisions to move to</p> <p>24 a lower sulphur content fuel and one of the</p> <p>25 primary reasons is that there is pending</p>	<p>1 legislation or legislation that may be</p> <p>2 inactive which may force us to go to a maximum</p> <p>3 of 2 percent sulphur fuel.</p> <p>4 Q. Is that federal legislation?</p> <p>5 A. Provincial legislation, Provincial Draft Air</p> <p>6 Quality Regulations are basically calling for,</p> <p>7 I think they started off at one point in time</p> <p>8 at 1.8 percent as the maximum that we could</p> <p>9 import into the province. And I guess,</p> <p>10 between the various dialogues, I guess between</p> <p>11 all the users, obviously the Industrial</p> <p>12 Customers are some is now changed to 2</p> <p>13 percent. But that has not been enacted as of</p> <p>14 yet, or not been whatever the legal term is to</p> <p>15 promulgate it or whatever, but we are in a</p> <p>16 position to obviously to adjust our contract</p> <p>17 to that, if and when it does happen.</p> <p>18 Q. But if you do adjust your contract, that will</p> <p>19 be more expensive fuel, would it not?</p> <p>20 A. About two to three percent more expensive to</p> <p>21 go from 2.2 percent to 2 percent, yes. And</p> <p>22 our forecast is based on 2.2 percent, what's</p> <p>23 in our filing. Any impact in the interim</p> <p>24 would actually fall to the RSP anyway, you</p> <p>25 know, if it happens after the hearing.</p>

Page 93	Page 94
<p>1 BROWNE, Q.C.:</p> <p>2 Q. I'm sure that will be the case. In terms of</p> <p>3 the emissions that are coming from that plant,</p> <p>4 and the content of the fuel, are you looking</p> <p>5 to the climate control plan for Canada, the</p> <p>6 so-called Kyoto implementation program to</p> <p>7 assist Hydro in any way in reducing emissions</p> <p>8 there?</p> <p>9 A. With respect to the emissions at Holyrood,</p> <p>10 Kyoto basically is greenhouse gas. And</p> <p>11 greenhouse gas, I mean, the two big components</p> <p>12 of greenhouse gas from Holyrood are the CO<sub>2</sub></p> <p>13 and nitrous oxide. There are some things that</p> <p>14 we can do from a capital point of view to</p> <p>15 reduce the nitrous oxide levels. There's</p> <p>16 really nothing that we can do with respect to</p> <p>17 carbon dioxide levels because you burn carbon</p> <p>18 and it's a part of the process. And with</p> <p>19 respect to Kyoto, I guess, there's still a lot</p> <p>20 of uncertainty, how that's going to manifest</p> <p>21 itself and in Holyrood, barring natural gas</p> <p>22 which would have a, I think, probably 30</p> <p>23 percent or so, 25 to 35 percent reduction in</p> <p>24 CO<sub>2</sub>, we are stuck with number 6 oil. We may</p> <p>25 be, when Kyoto gets finally implemented or</p>	<p>1 when all the dust settles on how it's going to</p> <p>2 happen, we may be forced to buy emission</p> <p>3 credits or use our own credits from the</p> <p>4 Granite Canal et cetera to meet those</p> <p>5 obligations. It may not be an actual</p> <p>6 reduction in the CO<sub>2</sub>, it may be through</p> <p>7 emission credits.</p> <p>8 Q. It's my understanding right now that the</p> <p>9 federal government has put money on the table</p> <p>10 for use by the provinces and consumers in this</p> <p>11 budgetary year for implementation of some of</p> <p>12 the climate control plan. What is Hydro doing</p> <p>13 to try to incorporate that into their plan, to</p> <p>14 make use of available dollars?</p> <p>15 A. The only thing that we have applied to from</p> <p>16 the federal government at this point is time</p> <p>17 is a subsidy with respect to the wind power</p> <p>18 generation thing called GPPI.</p> <p>19 Q. Is that part of the climate control plan for</p> <p>20 Canada?</p> <p>21 A. That is a part of the whole package deal to go</p> <p>22 with renewables and so on, but we have not</p> <p>23 sought any particular funding for other things</p> <p>24 and I think that planning has that</p> <p>25 information. I mean, there's nothing, to my</p>
Page 95	Page 96
<p>1 mind, to my knowledge, has come to date, as</p> <p>2 being an opportunity at this point in time.</p> <p>3 Q. Who is the point person there at Hydro? We</p> <p>4 have this new federal program with millions of</p> <p>5 dollars available in the name of Kyoto, who is</p> <p>6 the point person at Hydro looking at that to</p> <p>7 see what can be availed of in the short term</p> <p>8 and the long term?</p> <p>9 A. Primarily it would be our planning department,</p> <p>10 but the environment department are, I mean,</p> <p>11 there is a few people that look at -</p> <p>12 Q. These are departments, is there a point</p> <p>13 person--is there one person there looking at</p> <p>14 Kyoto and the climate control plan for Canada</p> <p>15 and the announcements that came out of the</p> <p>16 federal government the Spring of hundreds of</p> <p>17 millions of dollars available? Is there a</p> <p>18 person there looking at that to see what Hydro</p> <p>19 could get for itself, for consumers, for the</p> <p>20 province generally?</p> <p>21 A. I would put that basically on the Director of</p> <p>22 Assistant Planning, would be the one that I</p> <p>23 would hold accountable to see if there's</p> <p>24 anything that's available. But as I said, the</p> <p>25 only thing that we've applied for, to date, is</p>	<p>1 the wind subsidy from the federal government</p> <p>2 under Green Power Procurement Program.</p> <p>3 Q. So, you know of no one person responsible in</p> <p>4 the organization -</p> <p>5 A. The Director of Assistant Planning would be -</p> <p>6 Q. Who would that be?</p> <p>7 A. Hubert Budgell would be the primary to look at</p> <p>8 if there are options to reduce our costs by</p> <p>9 ultimate sources or fast tracking other</p> <p>10 potential generation, but as I mentioned</p> <p>11 before, other than Island Pond and some small</p> <p>12 hydros out there by third parties, our future,</p> <p>13 barring the Labrador in-feed is thermal,</p> <p>14 there's not much else out there in large scale</p> <p>15 renewable that we do have and obviously wind,</p> <p>16 wind has a future, but we're not there yet.</p> <p>17 Q. In terms of the future and wind, surely wind</p> <p>18 is used in a number of provinces in Canada,</p> <p>19 isn't it, as a source of generation?</p> <p>20 A. Yes, it is and in most jurisdictions it's</p> <p>21 because there is legislative minimum wind</p> <p>22 renewals or there are federal and provincial</p> <p>23 programs to encourage it. From a point of</p> <p>24 view of a straight economic basis, it's not</p> <p>25 necessarily the--I think it will compete with,</p>



Page 97	Page 98
<p>1 MR. HAYNES:</p> <p>2 you now, I think in 2010 or whenever we go for</p> <p>3 a new source, it will likely be a contender</p> <p>4 for future generation sources. In today, the</p> <p>5 federal government have programs to encourage</p> <p>6 that technology, to encourage the construction</p> <p>7 and most of them are being facilitated because</p> <p>8 there are, you know, Green Power Procurement</p> <p>9 Initiatives by the federal government. They</p> <p>10 are willing to pay an extra two or three cents</p> <p>11 a kilowatt hour for wind energy. Without</p> <p>12 those things, most of them are of questionable</p> <p>13 economics, unless you're in a jurisdiction</p> <p>14 where their next source is extremely</p> <p>15 expensive, but it would not compete with</p> <p>16 Granite Canal, for instance, but it may</p> <p>17 compete with NUGS.</p> <p>18 Q. How would they compete with NUGS?</p> <p>19 A. I think they're, you know, nip and tuck,</p> <p>20 they're pretty close to NUGS as we see them</p> <p>21 right now.</p> <p>22 Q. So this project that's now under way, I guess,</p> <p>23 is it, down the Burin Peninsula, you don't</p> <p>24 hold up much hope for that in terms of an</p> <p>25 economic use of--in terms of the economics of</p>	<p>1 it.</p> <p>2 A. I wouldn't put it that way. It's not under</p> <p>3 way, we are negotiating with the vendor and we</p> <p>4 are also negotiating with the federal</p> <p>5 government for the most attractive terms that</p> <p>6 we can get for that. And I think, over time,</p> <p>7 it would likely be a viable source. Today,</p> <p>8 without the federal government funding and so</p> <p>9 on, it would be a bit more hard to justify,</p> <p>10 but I think there's a lot of merit in having a</p> <p>11 demonstration project, you know, within the</p> <p>12 system to see how it works. It is, you know,</p> <p>13 the St. Lawrence area, the first class wind</p> <p>14 resource, you know, the studies that were done</p> <p>15 by the proponent indicate that it is a very,</p> <p>16 very high potential site and we are working</p> <p>17 with the vendor and our contract negotiations</p> <p>18 with the federal government to keep the cost,</p> <p>19 the overall cost as low as possible.</p> <p>20 Q. It's 11:00 a.m., do you want to break now.</p> <p>21 CHAIRMAN:</p> <p>22 Q. Thank you. We'll reconvene at 11:30.</p> <p>23 (BREAK - 11:00 a.m.)</p> <p>24 (11:30 - RESUME)</p> <p>25 CHAIRMAN:</p>
Page 99	Page 100
<p>1 A. Ready, Mr. Haynes? When you're ready, Mr.</p> <p>2 Browne.</p> <p>3 BROWNE, Q.C.:</p> <p>4 Q. Mr. Haynes, page 31 of your evidence at lines</p> <p>5 15 to 16, you indicate that the long term load</p> <p>6 forecast for the province is a 20-year</p> <p>7 forecast of annual peak and energy</p> <p>8 consumption. How can you forecast out that</p> <p>9 far, 20 years?</p> <p>10 A. The forecasting, as I mentioned, is done</p> <p>11 through an econo-metric model which looks at</p> <p>12 the expected housing starts which are</p> <p>13 basically provided to Hydro by the provincial</p> <p>14 government, the gross domestic product, a</p> <p>15 whole bunch of other factors which actually go</p> <p>16 into that exercise. I wouldn't be capable of</p> <p>17 explaining the intricacies of the econo-metric</p> <p>18 model, but there's quite a number of inputs</p> <p>19 which look at load growth, housing starts,</p> <p>20 gross domestic product, et cetera, population,</p> <p>21 they all go into this particular model. It's</p> <p>22 not based on where we are today and</p> <p>23 expectations of a specific short-term forecast</p> <p>24 for the customers, it's kind of more of a</p> <p>25 broader high level approach.</p>	<p>1 Q. Because for the years 11 though 20, I wouldn't</p> <p>2 think that would be of any great value, would</p> <p>3 it?</p> <p>4 A. The most important thing obviously is the</p> <p>5 timing for the next source and after that--we</p> <p>6 do this every year, we do a long-term</p> <p>7 forecast, but the most critical time period is</p> <p>8 the next, to identify the timing for the next</p> <p>9 source.</p> <p>10 Q. On page 32, lines 26 to 28, you indicate that</p> <p>11 high growth is expected on the isolated rural</p> <p>12 systems, 2.8 percent in 2003 and 3.8 percent</p> <p>13 in 2004. Is this of concern to Hydro, given</p> <p>14 the size of the rural deficit?</p> <p>15 A. Yes, it is of concern. And from the point of</p> <p>16 view of the rate structures that are there</p> <p>17 right now, the rate structures do encourage</p> <p>18 some--the rate structures themselves that are</p> <p>19 in the isolated areas do discourage the</p> <p>20 proliferation of electric heat, but the</p> <p>21 populations, particularly in Labrador, are</p> <p>22 growing and most of that load growth is in</p> <p>23 Labrador on the isolated systems.</p> <p>24 Q. So, what action are you taking to help the</p> <p>25 reduce the size of the rural deficit given</p>

Page 101	Page 102
<p>1 BROWNE, Q.C.:</p> <p>2 this anticipated load growth? What's the</p> <p>3 plan?</p> <p>4 A. There were--with respect to the HYDROWISE</p> <p>5 program, that targets, you know, efforts in</p> <p>6 those areas and others. With respect to</p> <p>7 demand side management, when there is an</p> <p>8 identified need for generation expansion in</p> <p>9 the rural areas, there is a an exercise</p> <p>10 carried out by the Economics Department of</p> <p>11 System Planning to look at whether it's cost</p> <p>12 effective to initiate some demand side</p> <p>13 management programs, but other than HYDROWISE</p> <p>14 and the rate structure that's already in the</p> <p>15 pediment to further electrification, that's</p> <p>16 not much else there to be done. The rate</p> <p>17 structure is punitive when you get above the</p> <p>18 life line block and that would be the biggest</p> <p>19 factor. It's not a lot of electric heat</p> <p>20 growth; it's other growth, population</p> <p>21 increase, particularly in Labrador and we have</p> <p>22 not got into--we have not discouraged</p> <p>23 population, if will, in the isolated areas.</p> <p>24 There not much we can do.</p> <p>25 Q. So, despite everything we hear about out</p>	<p>1 migration and so on, that is not a factor in</p> <p>2 the isolated areas of Labrador?</p> <p>3 A. I think the out migration, I think on the</p> <p>4 island system there has been some decrease in</p> <p>5 the isolate areas, obviously Great Harbour</p> <p>6 Deep is gone and Petites is going. Most of</p> <p>7 the other communities are fairly stagnant in</p> <p>8 their population growth. And even with the</p> <p>9 population staggering, if you will, in</p> <p>10 Newfoundland, the demand for electricity is</p> <p>11 growing. In Labrador, in the Labrador isolate</p> <p>12 areas, there is an increase and has been</p> <p>13 demonstrated increase in the energy growth. I</p> <p>14 think that population is one. I presume that</p> <p>15 disposable income also drives--is another</p> <p>16 factor that drives the growth or the load</p> <p>17 increase. People are buying more things, if</p> <p>18 you will.</p> <p>19 Q. So, basically other than the HYDROWISE</p> <p>20 program, we can expect a--and that works in</p> <p>21 favour of conservation--we can expect the</p> <p>22 rural deficit to grow?</p> <p>23 A. Possibly. There were other initiatives, I</p> <p>24 think the TRO area, which Mr. Martin could</p> <p>25 speak to about initiatives undertaken in the</p>
Page 103	Page 104
<p>1 isolated areas which he basically looks after</p> <p>2 to do that. The only thing I could reinforce,</p> <p>3 I guess, is the fact that when generation is</p> <p>4 required, we do undertake a DSM, demand side</p> <p>5 management review to review the economics to</p> <p>6 see if there is any economic viability into</p> <p>7 instituting some particular program.</p> <p>8 Q. When you institute a program such as</p> <p>9 HYDROWISE, is that the rural areas and the</p> <p>10 isolated system, is that a targeted area for</p> <p>11 the HYDROWISE program?</p> <p>12 A. I think the HYDROWISE is probably a bit</p> <p>13 broader than that. It's basically to</p> <p>14 everybody, but primarily those are our direct</p> <p>15 customers, but the HYDROWISE program is</p> <p>16 applicable to all.</p> <p>17 Q. I don't know if you can answer this, but in a</p> <p>18 previous hearing we heard where Hydro went</p> <p>19 into the isolated areas of Labrador with a</p> <p>20 conservation program and taught people how to</p> <p>21 insulate boilers and to wrap pipes and to do</p> <p>22 other various conservation methods. Has there</p> <p>23 been any follow-up done in reference to these</p> <p>24 programs that have been previously put in</p> <p>25 place, to your knowledge or are you the best</p>	<p>1 person to answer that?</p> <p>2 A. I'm not the best person to answer. Mr.</p> <p>3 Banfield of customer services would be the</p> <p>4 best, most appropriate to answer.</p> <p>5 Q. Okay, well we can put Mr. Banfield on notice,</p> <p>6 we'll want to know all about that. On page 33</p> <p>7 of your evidence, line 7 to 10, you indicate</p> <p>8 that the long-term loan forecast includes the</p> <p>9 hydro metallurgical industrial facility</p> <p>10 associated with Voisey's Bay on the Island in</p> <p>11 2012. In reference to that, what is expected</p> <p>12 to be the size of the load there and what</p> <p>13 plans are being considered to supply that</p> <p>14 load?</p> <p>15 A. Just give me a second here. That was answered</p> <p>16 actually in a RFI which seems to allude me. I</p> <p>17 think it's 50 megawatts is the demand and I</p> <p>18 think the energy was in the order of about 400</p> <p>19 megawatt hours, but -</p> <p>20 Q. How does that compare -</p> <p>21 A. I'm sorry, I have it here now, I apologize.</p> <p>22 Q. Okay.</p> <p>23 A. Yeah, basically we're looking at approximately</p> <p>24 400, as I said, gigawatt hours and 50</p> <p>25 megawatts.</p>

Page 105	Page 106
<p>1 BROWNE, Q.C.:</p> <p>2 Q. Where is coming from? Where are you going to</p> <p>3 get that?</p> <p>4 A. That would be--well, it'll come from the grid</p> <p>5 obviously, to do it, the actual next source</p> <p>6 will be, as I mentioned, as we discussed</p> <p>7 before, it'll be possibly Island Pond or</p> <p>8 whatever the most economic source is at the</p> <p>9 particular time when we review in, say,</p> <p>10 2005/2006 in time to build.</p> <p>11 Q. And what's the potential for Island Pond in</p> <p>12 terms of output?</p> <p>13 A. Island Pond is 36 megawatts and 196 gigawatt</p> <p>14 hours. It would not, in itself, look after</p> <p>15 Voisey's Bay Nickel. There would be possibly</p> <p>16 other things required.</p> <p>17 Q. What other things, therefore, are you</p> <p>18 planning?</p> <p>19 A. We don't have any specific plan. As I</p> <p>20 mentioned, we will, in time to facilitate the</p> <p>21 construction time for that load growing, that</p> <p>22 we will enter an RFP to look at other sources,</p> <p>23 we'll evaluate the cost of gas turbines,</p> <p>24 Holyrood four and we will review and recommend</p> <p>25 a generation expansion scenario which would</p>	<p>1 meet the needs of not only Voisey's Bay, but</p> <p>2 the other intended growth in the system.</p> <p>3 Q. Is it conceivable that Hydro wouldn't have the</p> <p>4 ability to deal with that facility in</p> <p>5 Argentia, that you might want to inform them</p> <p>6 to find an alternative source?</p> <p>7 A. That's not our mandate; our mandate under the</p> <p>8 Act is to serve the load forecast need of the</p> <p>9 Province and we would endeavour to do that.</p> <p>10 You know, it may be our own sources we</p> <p>11 purchase as we did with the NUGS recently, it</p> <p>12 will be whatever the most economic way to meet</p> <p>13 the load is will be recommended by Hydro to</p> <p>14 the Public Utilities Board, but it's premature</p> <p>15 to conclude what those results are at this</p> <p>16 point in time.</p> <p>17 Q. Why do you say that, it's premature?</p> <p>18 A. Because we have not done the evaluations of an</p> <p>19 "X" source, we have not gone for a recent RFP</p> <p>20 to get the prices of what other proponents may</p> <p>21 have out there. So, until we do that and do</p> <p>22 the economic evaluation, it would be a bit--we</p> <p>23 would not be able to indicate today what that</p> <p>24 next source would be.</p> <p>25 Q. Have you any idea of what the cost would be to</p>
Page 107	Page 108
<p>1 develop Island Pond, a ball park?</p> <p>2 A. I don't recall offhand, it would be a little</p> <p>3 bit more than Granite Canal, I suspect.</p> <p>4 Q. More than 134 million?</p> <p>5 A. I suspect, yet.</p> <p>6 Q. So, even though you develop it at 134 million,</p> <p>7 that entire project wouldn't be sufficient to</p> <p>8 energize that hydro metallurgical industrial</p> <p>9 facility?</p> <p>10 A. Based on the current load forecast</p> <p>11 requirements, that in itself would not be, no.</p> <p>12 You know, there may be--but when you expand a</p> <p>13 system, you always build a reserve, it will</p> <p>14 take you a number of years to work yourself</p> <p>15 down to that particular load as to where you</p> <p>16 actually generate the next source. Then, I</p> <p>17 guess, our expectations right now is answer to</p> <p>18 one of the RFIs, that we anticipate that we</p> <p>19 would need probably about 80 to 90 megawatts</p> <p>20 in that time frame to meet Voisey's Bay needs</p> <p>21 and other load growth in the province.</p> <p>22 Q. Have you had any discussions with Voisey's Bay</p> <p>23 in reference to energizing the project in</p> <p>24 Argentia?</p> <p>25 A. We have a liaison with Voisey's Bay through</p>	<p>1 our System Planning Department to look at the</p> <p>2 load. There's been not a lot of discussions</p> <p>3 to date. They're still in a preliminary stage</p> <p>4 as well. I think they are making progress,</p> <p>5 but we do not have the definitive. We have a</p> <p>6 forecast number of 50 megawatts and 394</p> <p>7 gigawatt hours. I guess, as their plans</p> <p>8 solidify over time and they actually refine</p> <p>9 the process and what they're going to do, that</p> <p>10 would be firmed up.</p> <p>11 Q. So, given the fact that you have little by way</p> <p>12 of Hydro development left, say, for Island</p> <p>13 Pond, isn't it of concern to Hydro that if you</p> <p>14 were to take the entire Island Pond</p> <p>15 development and dump it into Voisey's Bay,</p> <p>16 that what's remaining for the development of</p> <p>17 the rest of the province, is precious little.</p> <p>18 (11:45 a.m.)</p> <p>19 A. I think there are other non-Hydro owned</p> <p>20 hydraulic resources that can come into play.</p> <p>21 We can build thermal plants. I don't think</p> <p>22 we'll see natural gas necessarily within 10 or</p> <p>23 12 years, but that may be something that's on</p> <p>24 the horizon. But when you go back to</p> <p>25 Newfoundland and Labrador Hydro's mandate,</p>

Page 109	Page 110
<p>1 MR. HAYNES:</p> <p>2 basically our mandate is to serve the growing</p> <p>3 energy and power needs of the province. And I</p> <p>4 don't think that we would, at least, I could</p> <p>5 not foresee that Newfoundland Hydro would</p> <p>6 actually go back and curtail industrial</p> <p>7 development, for instance, because the</p> <p>8 resources aren't readily available. We can</p> <p>9 build something or have it built to meet those</p> <p>10 needs and we'll evaluate those economics,</p> <p>11 we'll evaluate the load forecast and we'll</p> <p>12 recommend to the Board for their approval and</p> <p>13 consideration of the most economic future</p> <p>14 source. I would suggest in a 2005/2006 time</p> <p>15 frame, that we would be very engaged in that</p> <p>16 process.</p> <p>17 Q. I would imagine an Industrial Customer such as</p> <p>18 Voisey's Bay would have a tremendous impact on</p> <p>19 the rate stabilization plan, would it not?</p> <p>20 A. That depends on the source of the next supply</p> <p>21 and depends on our forecast of what fuel is</p> <p>22 and the structure and design of the rate</p> <p>23 stabilization plan. It would be a--if it's a</p> <p>24 thermal source that primarily provides, there</p> <p>25 will be an increase fuel usage, yes, but it</p>	<p>1 may be Hydro or it may be a combined cycle or</p> <p>2 conversion of Holyrood to combined cycle, all</p> <p>3 of which have varying economic history, basis.</p> <p>4 Q. You've made reference to a construction of a</p> <p>5 thermal generation facility. When was the</p> <p>6 last time Hydro constructed such a facility?</p> <p>7 A. I guess the last, other than diesel, the last</p> <p>8 gas turbine we installed would have been in</p> <p>9 Happy Valley/Goose Bay and the last steam</p> <p>10 plant would have been in 1979/1980 at</p> <p>11 Holyrood, unit number 3.</p> <p>12 Q. And did Goose Bay predate Holyrood?</p> <p>13 A. No, Goose Bay was after that.</p> <p>14 Q. What year was Goose Bay, roughly?</p> <p>15 A. I would suggest the mid to late '80s, I don't</p> <p>16 know the date off hand.</p> <p>17 Q. So, your experience in thermal plant</p> <p>18 construction is limited a bit?</p> <p>19 A. Recent construction experience is limited, but</p> <p>20 I suppose we could also say the same thing for</p> <p>21 Granite Canal since the last hydro plant we</p> <p>22 built was in 1989. So, I'm not concerned</p> <p>23 about that, we operate and maintain, we're</p> <p>24 doing continuous improvement. We know the</p> <p>25 creature and when you undertake an exercise</p>
Page 111	Page 112
<p>1 like that, you usually get a contract or, you</p> <p>2 know, you will hire a consultant who's</p> <p>3 experienced in that particular area.</p> <p>4 Q. Schedule 11 of your pre-filed evidence, can we</p> <p>5 go to that for a moment, please? We'll look</p> <p>6 at 2002 that shows high megawatt losses and</p> <p>7 low gigawatt losses in 2002 relative to</p> <p>8 forecast for 2002/2003/2004. Why is that?</p> <p>9 You say in footnote 3 that total sales on bulk</p> <p>10 deliveries and transmission losses are</p> <p>11 coincident with system peak and actual losses</p> <p>12 in 2002 include stations -</p> <p>13 A. Yes.</p> <p>14 Q. - or is that the explanation or-</p> <p>15 A. It may well be, I know that the station</p> <p>16 service, I believe in Holyrood is actually</p> <p>17 measured that way, it's kind of part of the</p> <p>18 system losses, but the actual specific</p> <p>19 transmission losses are highly dependent upon</p> <p>20 the generation dispatch and how much Holyrood</p> <p>21 has used and so on. So, the number is an</p> <p>22 estimate and it varies depending on the</p> <p>23 ultimate generation dispatch that's prevalent</p> <p>24 through the year.</p> <p>25 Q. It sets losses--what can be done in reference</p>	<p>1 to these, what are you looking at?</p> <p>2 A. On the station service losses, I'll just speak</p> <p>3 on that a little bit because they're kind of</p> <p>4 beared in 2002. and station service losses</p> <p>5 for Holyrood, in the plant's efforts to</p> <p>6 squeeze every kilowatt hour per barrel from a</p> <p>7 barrel of oil, they are looking at constantly</p> <p>8 the internal usage of power, be it electrical</p> <p>9 power or steam, particularly steam. There are</p> <p>10 lots--steam is bled from the process to heat</p> <p>11 air to do this, to do that and they are</p> <p>12 constantly looking at that. With respect to</p> <p>13 transmission losses, really there is not a</p> <p>14 tremendous amount you can do. You keep your</p> <p>15 voltages high in the system through use of</p> <p>16 synchronise condensers and capacitors. But</p> <p>17 basically when power is generated at Bay</p> <p>18 D'Espoir and is transmitted to St. John's, it</p> <p>19 has to obey the law of physics and losses are</p> <p>20 unavoidable. You know, you could re-conduct</p> <p>21 the transmission lines to reduce the losses,</p> <p>22 but that is--you would very rarely actually do</p> <p>23 that because it would not be economic, it's</p> <p>24 usually cheaper to just continue to swallow</p> <p>25 the losses as opposed to entering a major</p>

<p style="text-align: right;">Page 113</p> <p>1 MR. HAYNES:</p> <p>2 project to reconductor. Now, we have</p> <p>3 reconducted some lines, but more from the</p> <p>4 point of view of transfer capability as</p> <p>5 opposed to specifically targeted to reduce</p> <p>6 losses.</p> <p>7 Q. Now, when you're with the Canadian Energy</p> <p>8 Council and the subcommittee that you're part</p> <p>9 of there, are transmission losses subject to</p> <p>10 discussion there and what to do in reference</p> <p>11 to them or any new technology out there that</p> <p>12 we have to look forward to?</p> <p>13 A. Not in the short term. If they ever</p> <p>14 futuristically come up with a low temperature</p> <p>15 superconducting wire, that would be a great</p> <p>16 plus for losses, but other than that, it's</p> <p>17 basically I squared R, it's the laws of</p> <p>18 physics. And if we can't change the</p> <p>19 resistance of the conductors, then basically</p> <p>20 the losses are going to be what they are</p> <p>21 within a certain range, but we do endeavour to</p> <p>22 keep the system voltages high as reasonable to</p> <p>23 reduce the losses to allow the transmission of</p> <p>24 more power, you know, with less current. As</p> <p>25 you increase the current, the losses go up,</p>	<p style="text-align: right;">Page 114</p> <p>1 there's little we can do about that.</p> <p>2 Q. And that's not peculiar to our system; that's</p> <p>3 peculiar to electricity generally?</p> <p>4 A. Yes. You know, there's the synchronise</p> <p>5 condensers that we have on a system help keep</p> <p>6 the voltage up and maintain and they</p> <p>7 contribute some reduction and they use some as</p> <p>8 well.</p> <p>9 Q. Although we live in hope, I think there was a</p> <p>10 news story this morning of someone saying that</p> <p>11 they can produce electricity out in Alberta</p> <p>12 somewhere by other than traditional means.</p> <p>13 A. I heard that, yes.</p> <p>14 Q. Did you make a phone call?</p> <p>15 A. I think they were proposing, as being a power</p> <p>16 supply for cell phones, so I didn't trigger my</p> <p>17 interest right off the bat (Laughter). I was</p> <p>18 looking for a bit more.</p> <p>19 Q. Now, there are a few questions that were</p> <p>20 passed on to you when Mr. Roberts was on the</p> <p>21 stand, so, if I can make reference to these.</p> <p>22 One question dealt with CA-150, can we go</p> <p>23 there, please. That had to do with Goose Bay</p> <p>24 and where a number of the Armed Forces that</p> <p>25 are in Goose Bay are leaving there. Have you</p>
<p style="text-align: right;">Page 115</p> <p>1 been notified as to any change in the</p> <p>2 requirements for Goose Bay and the result?</p> <p>3 A. The contract, the Memorandum of Understanding</p> <p>4 with the NATO allies or the Department of</p> <p>5 National Defence expires actually in 2006, and</p> <p>6 our forecasting and we have not made any</p> <p>7 appreciable change in our forecast for that.</p> <p>8 I guess as you can see from the CA-150, we</p> <p>9 have dropped down from 107 to 77 million</p> <p>10 kilowatt hours over that time frame. And the</p> <p>11 forecast for 2003/2004 are--they're not</p> <p>12 significantly different and we don't</p> <p>13 anticipate--you know, there are some activity</p> <p>14 in the area with respect to Voisey's Bay</p> <p>15 Nickel and will be some countering of those, I</p> <p>16 guess, but we don't anticipate any significant</p> <p>17 change in the secondary sales to DND, in the</p> <p>18 foreseeable future.</p> <p>19 Q. In terms of Voisey's Bay Nickel, what is</p> <p>20 Hydro's commitment there in Labrador?</p> <p>21 A. We have no commitment at the Voisey's Bay</p> <p>22 Nickel site. It's basically, I guess, our--</p> <p>23 what we are keeping an eye to and what we are</p> <p>24 forecasting is the appropriate increases in</p> <p>25 energy and demand that we would see in Goose</p>	<p style="text-align: right;">Page 116</p> <p>1 Bay as being a stationing area for some</p> <p>2 portions of the Voisey's Bay activity.</p> <p>3 Q. Another question I asked previously had to do</p> <p>4 with computers. And I asked in reference to</p> <p>5 CA-138, Mr. O'Reilly. And it was indicated in</p> <p>6 the response that you plan to get more life</p> <p>7 out of your computers, from three years to</p> <p>8 four and five years which would be a blessing</p> <p>9 for consumers. How is that being</p> <p>10 accomplished?</p> <p>11 A. I guess what we had proposed in our last</p> <p>12 capital budget proposal, that we would start</p> <p>13 moving to thin clients which basically is a</p> <p>14 slightly different technology than a PC on</p> <p>15 someone's desk. Most of the applications will</p> <p>16 run from a server and their life is</p> <p>17 anticipated to be five years. I would suggest</p> <p>18 as well, at least, I hope for, as you</p> <p>19 mentioned for all consumers that the changing</p> <p>20 the computer of capabilities and so on has</p> <p>21 slowed a little bit, I mean, they're still</p> <p>22 getting bigger and powerful, but they don't</p> <p>23 necessarily need all that to do our day-to-day</p> <p>24 work. As long as the operating systems settle</p> <p>25 a little bit and so on, we won't be forced</p>

Page 117	Page 118
<p>1 MR. HAYNES:</p> <p>2 there. So, we anticipate five years as being</p> <p>3 a reasonable time frame, on average, for our</p> <p>4 PCs in the future.</p> <p>5 Q. In terms of customer service and computers,</p> <p>6 have you ever done any measurement to request</p> <p>7 the response from consumers if they're willing</p> <p>8 to pay more for having a call answered in 30</p> <p>9 second as opposed to 45 seconds?</p> <p>10 A. I'm not aware, but from a customer point of</p> <p>11 view, that would probably be a better directed</p> <p>12 question to Mr. Banfield who looks after the</p> <p>13 customer service area. I know we measure a</p> <p>14 lot of these things.</p> <p>15 Q. The other question I asked of Mr. Roberts</p> <p>16 which he put forward to you and you probably</p> <p>17 know the answer to this, it's in reference to</p> <p>18 travel cost for 2001 and 2002. And I was</p> <p>19 referring to CA-139, I believe. And I think</p> <p>20 actually I think it might have been a line in</p> <p>21 Mr. Roberts evidence where the travel costs</p> <p>22 were seventeen thousand and fifteen thousand</p> <p>23 for Generation Engineering 2001 and 2002 and we</p> <p>24 saw them increasing for 2003 and 2004.</p> <p>25 A. That particular -</p>	<p>1 Q. Generation Engineering, yes, there it goes.</p> <p>2 A. That particular grouping of things, also</p> <p>3 covers conferences as well and there was an</p> <p>4 amount of money there for travel and</p> <p>5 conferences. Travel was actually thirty nine</p> <p>6 thousand which is indicated NP-259 and travel</p> <p>7 was seventeen. And the conferences and travel</p> <p>8 and put in there as our best guess, basically.</p> <p>9 And if we need it; it's there. And if we--you</p> <p>10 know, the generation people provide support</p> <p>11 services to the Hydro Generation which is Cat</p> <p>12 Arm and Hynes Lake, so there is travel</p> <p>13 required. We did not experience those levels</p> <p>14 in 2002.</p> <p>15 Q. Yes, but I would imagine you always needed to</p> <p>16 travel to these particular locations, that</p> <p>17 hasn't changed. But what has changed in the</p> <p>18 production division, the generating</p> <p>19 engineering travel costs have gone up from</p> <p>20 fifteen thousand in 2002 to sixty four and</p> <p>21 fifty six thousand which seem to be all time</p> <p>22 highs since 1996.</p> <p>23 A. Well, you would be primarily travelled to the</p> <p>24 areas for operating projects, but in 1996, I</p> <p>25 think the anomaly is more 2001/2002 where</p>
Page 119	Page 120
<p>1 they're lower and there is some--when they</p> <p>2 travel out to these areas, they do try to put</p> <p>3 two of three operating projects, they try to</p> <p>4 go out and cover off two or three jobs at one</p> <p>5 time as opposed to going out this week to look</p> <p>6 at one project and going out two weeks later</p> <p>7 to look at another particular project,</p> <p>8 they'll try to marry those up and economize</p> <p>9 on that basis and maybe some capital as well.</p> <p>10 Q. In terms of travel cost in 2001 and 2002, you</p> <p>11 would be doing the Granite Canal during that</p> <p>12 time and I see that under Generation</p> <p>13 Operations for 2001 they're thirteen thousand</p> <p>14 and twenty thousand, yet we see a jump to</p> <p>15 twenty nine and eighteen thousand for the next</p> <p>16 two years. Are we missing something here?</p> <p>17 A. I'm sorry, could you repeat that question.</p> <p>18 I'm sorry.</p> <p>19 Q. Yes, I'm looking at Generation Engineering and</p> <p>20 Generation operations line 19 and 20 in the</p> <p>21 Production division.</p> <p>22 A. Yes.</p> <p>23 Q. And we see for 2001 and 2002, you would be</p> <p>24 doing the Granite Canal at that point,</p> <p>25 wouldn't you?</p>	<p>1 A. We would maintain in Granite Canal, but that</p> <p>2 would be actually in the last entry there,</p> <p>3 Hydro generation at line 24. Line 19 is the</p> <p>4 generation operations is a little bit of a</p> <p>5 misnomer. It's really the operations, the</p> <p>6 control centre, system operations. Hydro</p> <p>7 Generation on line 24 is the actual -</p> <p>8 (12:00 p.m.)</p> <p>9 Q. Okay. So, the budget line 24 would include</p> <p>10 work in reference to the Granite Canal?</p> <p>11 A. Yes, but we have started a couple of</p> <p>12 initiatives in Hydro Generation to try to</p> <p>13 reduce some of that cost by having the</p> <p>14 operators do more work and so on. So, we are</p> <p>15 targeting to hold the line on the travel costs</p> <p>16 associated with Hydro Generation by, you know,</p> <p>17 we've done a couple of things as evidence in</p> <p>18 NP, I believe, 87 with respect to operators of</p> <p>19 Paradise River and remote plant operators to</p> <p>20 try to minimize or to reduce that particular</p> <p>21 travel cost, to have them to do more</p> <p>22 maintenance, therefore, reduce travel costs</p> <p>23 from some employees of Bay D'Espoir.</p> <p>24 Q. All right. Is a lot of this travel</p> <p>25 discretionary, you mentioned conferences?</p>

Page 121	Page 122
<p>1 MR. HAYNES:</p> <p>2 A. Well, conferences maybe, but conferences are a</p> <p>3 valuable way to interact with your peers and</p> <p>4 to find out what other utilities are doing.</p> <p>5 We don't do a lot of that and most of the</p> <p>6 travel within Generation Engineering and hydro</p> <p>7 operations is basically to go to the plants to</p> <p>8 review operating problems, to address issues</p> <p>9 and so on.</p> <p>10 Q. And in line 22, we see under "Information</p> <p>11 Systems and Telecommunications" start at 1997,</p> <p>12 125,000, then it goes right up to 347,000 in</p> <p>13 2001. It's my understanding that's when you</p> <p>14 were into using the JD Edwards programs?</p> <p>15 A. Actually the big bump, if you will, of 347,000</p> <p>16 in 2001 was primarily driven by the fact that,</p> <p>17 you know, we have over 100 of these sites out</p> <p>18 there where we support the LAN and WAN and</p> <p>19 users and we had deployed to the field area</p> <p>20 some temporary employees who were called</p> <p>21 client support assistants, client--they are</p> <p>22 basically people in the field who would</p> <p>23 actually facilitate user knowledge of PCs and</p> <p>24 to fix problems that were ongoing, and</p> <p>25 basically, we have reduced that now and we</p>	<p>1 have one permanent employee out in the field</p> <p>2 who does that. So that was -</p> <p>3 Q. So what are you telling me? There's</p> <p>4 contractual wages there in line 22 under</p> <p>5 travel?</p> <p>6 A. No, on line 22, we had temporary employees</p> <p>7 hired who were called client support</p> <p>8 assistants, who would actually facilitate use</p> <p>9 and deployment of PCs in the field. We have</p> <p>10 reduced that now. Those temporary employees</p> <p>11 are no longer with us. We do have one</p> <p>12 permanent individual located in the field.</p> <p>13 That was the bump there primarily.</p> <p>14 Q. Were the wages for these contractual people,</p> <p>15 are they contained in line 22 there?</p> <p>16 A. If they were temporary salaries, it would have</p> <p>17 been in line 22, yes.</p> <p>18 Q. Why would they be in travel? That seems to be</p> <p>19 -</p> <p>20 A. I'm sorry.</p> <p>21 Q. - an anomaly.</p> <p>22 A. They're not in--not the wages, but their</p> <p>23 travel expense. Their travel expenses would</p> <p>24 be in travel.</p> <p>25 Q. Oh, I see, okay.</p>
Page 123	Page 124
<p>1 A. You know, you have somebody in Port Saunders</p> <p>2 who's looking after, you know, St. Anthony,</p> <p>3 Southern Labrador, maybe Goose Bay on</p> <p>4 occasion, and so on. You have somebody in</p> <p>5 Bishop Falls who is looking after Bay D'Espoir</p> <p>6 and Deer Lake and so on. So they were</p> <p>7 distributed around. So their travel would</p> <p>8 have been up because they were travelling a</p> <p>9 fair bit to do that. And we've undertaken</p> <p>10 several other initiatives there by having some</p> <p>11 of that done now, done through St. John's,</p> <p>12 through electronic means as opposed to having</p> <p>13 somebody actually in the field. But there is</p> <p>14 still some field support personnel.</p> <p>15 Q. What were you doing in 1996 and 1997 in</p> <p>16 reference to travel and information systems,</p> <p>17 101,000, 125,000 as opposed to what you're</p> <p>18 doing in the forecast year, 244 and 256,000?</p> <p>19 What has caused these additional costs in the</p> <p>20 forecast years?</p> <p>21 A. In the future, in the 2002, 2003, 2004, we</p> <p>22 have expanded the WAN and the LAN. We have</p> <p>23 installed new microwave facilities. You know,</p> <p>24 we are seeing some additional maintenance on</p> <p>25 some of the other systems, such as the VHF and</p>	<p>1 those are all projections of what we</p> <p>2 anticipate to spend for travel. The IS&amp;T</p> <p>3 department are maintaining sites all over the</p> <p>4 island and Labrador and we have IS&amp;T people</p> <p>5 deployed in St. John's, Bishop Falls, a few,</p> <p>6 and some in Deer Lake. So there's a fair bit</p> <p>7 of travel to maintain all these particular</p> <p>8 things at all the stations. The people at</p> <p>9 Deer Lake will look after the Deer Lake office</p> <p>10 obviously, Hind's Lake, Granite Canal, all the</p> <p>11 microwave sites that we have, the VHF systems,</p> <p>12 that they need to go to. So there is a fair</p> <p>13 travel by that particular group of</p> <p>14 communications and IT people.</p> <p>15 Q. Why are they travelling so much now as opposed</p> <p>16 to in the past?</p> <p>17 A. In the past, back in the earlier time, we</p> <p>18 would not have done as much for--we would not</p> <p>19 have necessarily had as many PCs deployed out</p> <p>20 there. In 1996, we would not have been as</p> <p>21 reliant on--so much relying on the computers,</p> <p>22 such as JD Edwards, et cetera. So there has</p> <p>23 been an increased need for that support.</p> <p>24 Q. You would think that with a computerized</p> <p>25 system, which they consumers of the Province</p>

Page 125

Page 126

1 BROWNE, Q.C.:  
 2 have paid for, that we would see a benefit in  
 3 reduced travel as opposed to more.  
 4 A. But there are more facilities to maintain.  
 5 There are more users to support. I should--in  
 6 1999, there was also some extra costs there  
 7 with respect to the preparation for the Y2K.  
 8 There was a fair bit of activity along those  
 9 lines as well.  
 10 Q. That would be year 2000, 1999 and 2000?  
 11 A. '99 and 2000, yes, there was a bump, yes.  
 12 Q. And a spike in 2001 was due to what?  
 13 A. Client support assistance, where we had three  
 14 or four people deployed to the field to look  
 15 after--we've had a fair number of issues with  
 16 some of the PCs. Since then, we've gone to a  
 17 standard platform. We've tried to have one  
 18 operating system as opposed to multiple, and  
 19 so we have--you know, we have reduced that  
 20 from the 2001 now to what we think are  
 21 sustainable levels.  
 22 Q. I think those are the questions that I had  
 23 arising from Mr. Roberts. I have some  
 24 questions dealing with the Rate Stabilization  
 25 Plan, but in view of the fact that there is

1 still ongoing discussions in reference to  
 2 that, these may not be necessary at this time,  
 3 so I'm going to pass on those for the time  
 4 being, mercifully so, I guess, and these will  
 5 be all our questions for now. Thank you very  
 6 much, sir.  
 7 CHAIRMAN:  
 8 Q. Thank you, Mr. Browne, Mr. Haynes. We move  
 9 now to Newfoundland Power. Good morning, good  
 10 afternoon, I guess, Mr. Kelly. When you're  
 11 ready, please.  
 12 KELLY, Q.C.:  
 13 Q. Thank you, Chair.  
 14 CHAIRMAN:  
 15 Q. You can begin your cross.  
 16 KELLY, Q.C.:  
 17 Q. Mr. Haynes, I'd like to start by having a look  
 18 at some of the system characteristics and how  
 19 the system works and let's start, if we can,  
 20 by going to your Schedule 1. Now I understand  
 21 that you've been the vice-president of  
 22 production since 2001?  
 23 A. Yes.  
 24 Q. And you have six departments that report to  
 25 you, as shown in your Schedule 1 there?

Page 127

Page 128

1 A. That's correct.  
 2 Q. Okay. And you spoke with Mr. Browne about the  
 3 system planning department and that is  
 4 responsible for the generation, transmission  
 5 and distribution planning as you discussed  
 6 with him?  
 7 A. Yes.  
 8 Q. What I'd like to do is I'd like to go through--  
 9 we won't spend any more time on system  
 10 planning now, because we'll come back to that  
 11 a little bit. Can we go through each of the  
 12 others and just get you to explain what each  
 13 of these departments are made of and what they  
 14 do, and let's start with generation  
 15 engineering.  
 16 A. I guess, in our pre-filed evidence, there is a  
 17 paragraph on page three which describes the  
 18 role of the department. Basically, they  
 19 provide engineering support to primarily to  
 20 the thermal and hydraulic generation  
 21 departments of Hydro. They look after  
 22 operating projects, capital projects, with the  
 23 assistance, obviously, of the people in the  
 24 field and as required, contractors and  
 25 consultants.

1 Q. So that's essentially Hydro's principal  
 2 generation or engineering staff related to  
 3 generation?  
 4 A. The engineering support for generation, that  
 5 expertise. They look after, for instance, the  
 6 contract administration and ultimately, the  
 7 Granite Canal construction.  
 8 Q. Okay. Now next one you got there is  
 9 information systems and telecommunications. I  
 10 think we have some sense of what IT is, but  
 11 could you help us understand why IT is in your  
 12 production department, as opposed to, for  
 13 example, since it deals with PCs and things  
 14 like that, one of the other administrative  
 15 type departments?  
 16 A. I guess, in the late 1990s, before I was VP,  
 17 there was a fair bit of discussion on the role  
 18 of the communications. We used to have a  
 19 department called the telecommunications  
 20 department, and we had a department called  
 21 MIS, management information services. I guess  
 22 through reviews and so on, there was thought  
 23 to be a fair bit of synergy between those  
 24 particular groups and they were merged and  
 25 they were retained under the production VP's



Page 129	Page 130
<p>1 MR. HAYNES:</p> <p>2 position. The MIS prior to that was under the</p> <p>3 Department of Finance, the finance department.</p> <p>4 Q. And MIS is what?</p> <p>5 A. MIS was the management information systems</p> <p>6 department. It used to report to Department</p> <p>7 of Finance. When the departments were rolled</p> <p>8 together, because of the synergies we saw</p> <p>9 between the communications and the MIS</p> <p>10 department, from the point of view of the LAN,</p> <p>11 the WAN, the communications, the dependence</p> <p>12 upon communications as being a key thing, they</p> <p>13 were married together and they were retained</p> <p>14 under the production division.</p> <p>15 Q. Okay. How many people are in that department</p> <p>16 now approximately?</p> <p>17 A. In that department, in total, there are 67,</p> <p>18 but they're not all IT people. I think</p> <p>19 there's probably about more or less 50/50 of</p> <p>20 IT versus--maybe 60/40 of IT versus, you know,</p> <p>21 telecommunications, microwave, VHF radio,</p> <p>22 LAN/WAN people.</p> <p>23 Q. Okay. The next block you got up there is</p> <p>24 system operations, and where does that fit</p> <p>25 into the production department?</p>	<p>1 A. The system operations department basically</p> <p>2 look after the day-to-day, 24-hour-a-day,</p> <p>3 seven-day-a-week operation of the Energy</p> <p>4 Control Centre. They look after basically the</p> <p>5 day-to-day administration for the most part of</p> <p>6 the NUGS purchase contracts. They do the</p> <p>7 switching for transmission lines. They turn</p> <p>8 on and off generation and look after the day-</p> <p>9 to-day ongoing in the control centre.</p> <p>10 Q. So that's the overall control of the</p> <p>11 transmission system?</p> <p>12 A. Transmission and generation system, outage</p> <p>13 coordination and so on.</p> <p>14 Q. Now thermal generation then is Holyrood?</p> <p>15 A. Yes.</p> <p>16 Q. And is it anything other than Holyrood?</p> <p>17 Because you talked a little bit earlier about</p> <p>18 number of gas turbines that you've got and</p> <p>19 diesel units. Where do they fit into the</p> <p>20 structure of Hydro?</p> <p>21 A. Holyrood is--the thermal generation manager,</p> <p>22 under production division, looks after the</p> <p>23 three steam machines at Holyrood, plus one gas</p> <p>24 turbine, which is an 18 or 15-megawatt unit.</p> <p>25 The gas turbines that are at Hardwoods and</p>
Page 131	Page 132
<p>1 Oxen Pond--I'm sorry, at Hardwoods and</p> <p>2 Stephenville and Goose Bay are looked after</p> <p>3 through the TRO division, but engineering</p> <p>4 support is also provided from a generation</p> <p>5 engineering section. But where these gas</p> <p>6 turbines are in the field, it was more</p> <p>7 appropriate and considered to be more cost</p> <p>8 effective that they be maintained by the</p> <p>9 individuals in those areas.</p> <p>10 Q. And the diesel units, you got a number of</p> <p>11 those around the province, they also fall, for</p> <p>12 maintenance purposes, under TRO, correct?</p> <p>13 A. Yes, there are--yes, that's correct.</p> <p>14 Q. Right. But in terms of system engineering and</p> <p>15 system's operation, those units really fall</p> <p>16 under production. Would that be fair?</p> <p>17 A. The diesel generation in the TRO engineering</p> <p>18 department maintain a high level of expertise</p> <p>19 in the diesel areas. They look after all</p> <p>20 aspects of the Isolated Diesel generation.</p> <p>21 There's very little, if any, done by</p> <p>22 generation engineering or production division</p> <p>23 for the diesel Isolated systems.</p> <p>24 Q. And what about systems operation though? If</p> <p>25 the control centre wants one of those diesels</p>	<p>1 on, I take it the control centre has the power</p> <p>2 to call up that diesel unit?</p> <p>3 A. That's for the most part done by remote</p> <p>4 control and they turn those on and off as</p> <p>5 required.</p> <p>6 Q. Through your systems operation in production</p> <p>7 though, is what I'm trying to understand?</p> <p>8 A. Yes. They -</p> <p>9 Q. Right.</p> <p>10 A. - they don't maintain. They actually turn</p> <p>11 them on and them off and look after the fuel</p> <p>12 forecasting and so on, but they don't actually</p> <p>13 maintain.</p> <p>14 Q. And your hydraulic generation is simply all</p> <p>15 your hydro plants scattered around the</p> <p>16 province?</p> <p>17 A. Yes, they basically look after all the hydro</p> <p>18 plants.</p> <p>19 Q. Okay. Now the production department would be</p> <p>20 the biggest department, in terms of the items</p> <p>21 that go into the overall cost of service?</p> <p>22 Because you've got fuel, you've got all your</p> <p>23 salaries and things for the production</p> <p>24 department. Would that be generally correct,</p> <p>25 Mr. Haynes?</p>

Page 133	Page 134
<p>1 MR. HAYNES:</p> <p>2 A. From a dollar point of view?</p> <p>3 Q. Yes.</p> <p>4 A. If you include fuel, yes. I think if you</p> <p>5 exclude fuel, I'm not quite sure if that's the</p> <p>6 case.</p> <p>7 Q. Even excluding fuel, if we went to Mr.</p> <p>8 Roberts' Schedule 2 and just looked at the</p> <p>9 controllable costs, depending on whether you'd</p> <p>10 look at net or gross, you'd be somewhere</p> <p>11 between 90 and 100 million, and if we go to</p> <p>12 your Schedule 6, just on operating alone,</p> <p>13 you're about 35 million dollars or</p> <p>14 approximately a little bit better than a third</p> <p>15 of the total.</p> <p>16 A. I don't have Mr.--the TRO, but I would suggest</p> <p>17 that TRO's is probably pretty darn close, and</p> <p>18 I don't recall the numbers. They would be</p> <p>19 fairly close.</p> <p>20 Q. But then these other things like fuel and</p> <p>21 things would come under your department as</p> <p>22 well?</p> <p>23 A. Yes.</p> <p>24 (12:16 p.m.)</p> <p>25 Q. Okay. So you're responsible for a very large</p>	<p>1 share of the costs that are at issue in this</p> <p>2 proceeding? Would you agree with that?</p> <p>3 A. I guess if you put it that way, yes.</p> <p>4 Q. Okay. Now let's look a little bit at Schedule</p> <p>5 2, so we look at some of the characteristics</p> <p>6 of the system here. Now in this summary, and</p> <p>7 you touched on this with Ms. Greene, you have</p> <p>8 plants which are owned by Hydro in the first</p> <p>9 block there, first couple of blocks. Then we</p> <p>10 have some plants which are owned by the non-</p> <p>11 utility generators and power sold to Hydro,</p> <p>12 and then there are plants which are owned by</p> <p>13 Newfoundland Power and the Industrial</p> <p>14 Customers, primarily for their own generation</p> <p>15 purposes, down in the bottom? We got that</p> <p>16 basically correct?</p> <p>17 A. Yes.</p> <p>18 Q. Okay. And if we look at column 1, we've got</p> <p>19 the source, as to whether it's thermal,</p> <p>20 hydraulic, et cetera, and column 2 provides</p> <p>21 something called the net capacity, and could</p> <p>22 you just explain for us how net capacity is</p> <p>23 determined?</p> <p>24 A. I guess the best explanation, I guess, is by</p> <p>25 way of example. If you were to look at the</p>
Page 135	Page 136
<p>1 Holyrood oil-fired steam, it has a net</p> <p>2 capacity of 466 1/2 megawatts. The nameplate</p> <p>3 capacity is more like 490 megawatts. That</p> <p>4 difference is what's used internally in the</p> <p>5 plant for its own internal usage, and Holyrood</p> <p>6 would be an extreme example. Holyrood</p> <p>7 requires more power to keep it going, if you</p> <p>8 will, than say a hydro plant.</p> <p>9 Q. So net capacity is kind of rated capacity less</p> <p>10 the station service requirement?</p> <p>11 A. More or less, yes.</p> <p>12 Q. And that would be higher for Holyrood than,</p> <p>13 for example, the hydro plant because there are</p> <p>14 many more components that require power in a</p> <p>15 steam plant? Essentially correct?</p> <p>16 A. That's correct. The percentage would be</p> <p>17 higher of station service.</p> <p>18 Q. Okay. Now we get down to the bottom of the--</p> <p>19 if we scroll up to the bottom of the--there we</p> <p>20 are--we have the total Island Interconnected</p> <p>21 System of 1,919 megawatts and out of that, if</p> <p>22 we work through the capacity, about 65 percent</p> <p>23 is from hydro generation, that's including</p> <p>24 hydro, the power from the non-utility</p> <p>25 generators, except the Corner Brook thermal,</p>	<p>1 and Newfoundland Power's -</p> <p>2 A. Actually I had the total capability of Hydro</p> <p>3 and Hydro's contracts is more. I think it was</p> <p>4 about 83 percent of the total actually. 1591</p> <p>5 over 1919.</p> <p>6 Q. Yes, but in that, you probably have the</p> <p>7 thermal number for Holyrood in too, do you?</p> <p>8 A. Yes, I do.</p> <p>9 Q. Okay. But if we look at just how much is</p> <p>10 hydroelectric, I'll suggest to you about 65</p> <p>11 percent is hydroelectric? Sound about right?</p> <p>12 A. I'll trust your math, yes.</p> <p>13 Q. Okay. And then obviously the balance is</p> <p>14 thermal. Now column 3, if we go back to the</p> <p>15 top again, we've got something called the</p> <p>16 average annual energy for each source. So if</p> <p>17 we look across, for example, at Bay D'Espoir,</p> <p>18 we've got 2,657 gigawatts and that's based on,</p> <p>19 in terms of the hydroelectric plants, on a 30-</p> <p>20 year average hydraulic production?</p> <p>21 A. Yes, that's correct.</p> <p>22 Q. Okay. And so for the production estimation,</p> <p>23 you use the 30-year average?</p> <p>24 A. That's what we've used in this particular</p> <p>25 filing, yes.</p>

Page 137	Page 138
<p>1 KELLY, Q.C.:</p> <p>2 Q. Okay. And let's just look at the forecast,</p> <p>3 the energy forecast for a second now.</p> <p>4 Newfoundland Power and the paper mills and the</p> <p>5 oil refinery provides their own forecast for</p> <p>6 annual energy requirements or for energy</p> <p>7 generation rather?</p> <p>8 A. Well, it's netted out of their forecast what</p> <p>9 they would need to buy from us.</p> <p>10 Q. Right, but in terms of how much they are going</p> <p>11 to produce, are capable of producing, that</p> <p>12 information comes from the power company and</p> <p>13 from the various industrial customers that</p> <p>14 have their own generation?</p> <p>15 A. By and large, that should be correct.</p> <p>16 Q. Okay. And how did you determine the non-</p> <p>17 utility generation estimates? How is that</p> <p>18 determined?</p> <p>19 A. The non-utility estimates for Star Lake and</p> <p>20 Rattle Brook were revised in this application</p> <p>21 to reflect the operating experience that we</p> <p>22 have to date. Star Lake has basically</p> <p>23 generated a bit more than they anticipated</p> <p>24 when they actually built the plant, and I'm</p> <p>25 not sure, I think Rattle Brook was maybe a</p>	<p>1 much lesser number, but we basically used the</p> <p>2 same philosophy. On the Corner Brook Pulp and</p> <p>3 Paper and Exploits River, these numbers were</p> <p>4 basically arrived at doing engineering studies</p> <p>5 and were accepted by Hydro. Obviously, as we</p> <p>6 go on in time, we will find out whether they</p> <p>7 do better or worse than that, but the</p> <p>8 contracts basically do call for a specific</p> <p>9 number, which are as the firms (phonetic).</p> <p>10 Q. Sorry. How do get the average annual energy</p> <p>11 then for Holyrood?</p> <p>12 A. The average annual energy for Holyrood is</p> <p>13 based on 75 percent availability or 25 percent</p> <p>14 incapability factor. It's basically 466</p> <p>15 megawatts times 8760 hours in a year times 75</p> <p>16 percent, and we plan the system and then</p> <p>17 strive to meet that 75 percent availability or</p> <p>18 25 percent incapability.</p> <p>19 Q. Okay. So that 75 percent factor is what</p> <p>20 essentially goes into the mix to determine the</p> <p>21 average annual energy then from Holyrood?</p> <p>22 A. Yes.</p> <p>23 Q. Okay. Now then column 4, the last far right</p> <p>24 column gives us something called firm annual</p> <p>25 energy in gigawatt hours for each of the</p>
Page 139	Page 140
<p>1 generation sources. Can you explain what firm</p> <p>2 annual energy is and how those estimates are</p> <p>3 determined?</p> <p>4 A. The firm number, particularly for hydraulic,</p> <p>5 is based on us being able to manage the</p> <p>6 hydraulic resources to survive the worst dry</p> <p>7 sequence that we had, which is back in the 50s</p> <p>8 or 60s, and basically, we plan--it does not</p> <p>9 drive figures on an annual basis for cost of</p> <p>10 service. It's more of a number that's used</p> <p>11 primarily for next source identification.</p> <p>12 What we try to do is protect the firm</p> <p>13 sequence.</p> <p>14 Q. Okay. Can I just stop you there and get you</p> <p>15 to elaborate on that? But you talked about a</p> <p>16 sequence of driest years. How many years is</p> <p>17 that made up of and what's the driest year</p> <p>18 sequence that's used for this purpose?</p> <p>19 A. My recollection is that it's a three-year</p> <p>20 sequence and I don't remember the particular</p> <p>21 time, but it's back the 50s or 60s, 50 to 60,</p> <p>22 in 1950, I think it was the mid to late 50s,</p> <p>23 the actual sequence occurred. So that's the</p> <p>24 worst sequence on record that we have, and</p> <p>25 it's the one that we've designed the system to</p>	<p>1 survive. We plan the system to meet our firm</p> <p>2 energy supply, based on a repeat of that firm</p> <p>3 sequence, and that's pretty standard hydro-</p> <p>4 technical power system sort of stuff.</p> <p>5 Q. So to plan how much firm energy you could get</p> <p>6 out of the system, you postulate a scenario</p> <p>7 that looks at your three driest years in your</p> <p>8 operating history? Is that essentially</p> <p>9 correct?</p> <p>10 A. Not necessarily the operating history, of</p> <p>11 record. Of record.</p> <p>12 Q. Of record?</p> <p>13 A. Yes.</p> <p>14 Q. And this period in the late 50s, early 60s, I</p> <p>15 take it Hydro was operating plants at that</p> <p>16 point in time, were they not?</p> <p>17 A. The late 50s, I don't think so.</p> <p>18 Q. Okay. All right. So that's what you use for</p> <p>19 the Hydro part of it. What about for the</p> <p>20 Holyrood part of it, to get the firm annual</p> <p>21 energy?</p> <p>22 A. In Holyrood, we consider the firm and the</p> <p>23 average to be the same. The average and the</p> <p>24 firm are 2996. We basically plan our</p> <p>25 maintenance program, by and large, to meet the</p>

Page 141

1 MR. HAYNES:

2 2996 target. On an average basis, it's going  
3 to be whatever we can't do hydraulically. We  
4 don't use Holyrood to--we do not--our average  
5 production from Holyrood, from any point in  
6 time to today, would never approach 2996,  
7 because basically whatever hydraulic  
8 production, we will work around. It picks up  
9 the slack, Holyrood does, of whatever energy  
10 we can't get from our hydraulic resources.  
11 But there's no difference in the peak and the  
12 average. We assume the same.

13 Q. Okay. So for your firm energy criteria, in  
14 other words, what you can use to meet the  
15 system, you assume that 75 percent capability  
16 factor?

17 A. Yes.

18 Q. Okay. Now if we just go down that column,  
19 under thermal, after you get past Holyrood,  
20 you've got Hardwoods, Stephenville, Holyrood  
21 gas turbines, and the various diesels, and you  
22 show no firm annual energy for each of those  
23 units. Can you just explain why that is the  
24 case?

25 A. We don't plan to run the gas turbines or the

Page 143

1 stream since then have been through various  
2 hydroelectric plants. Let's just run down  
3 through a couple of those. Cat Arm would have  
4 come after the last unit at Holyrood? Would  
5 you agree with that?

6 A. Yes.

7 Q. And Upper Salmon?

8 A. That's correct.

9 Q. Hind's Lake?

10 A. Yes.

11 Q. Obviously Granite Canal?

12 A. Yes.

13 Q. Paradise River?

14 A. Yes.

15 Q. And all of the non-utility generators which  
16 are Hydro, with the exception of the Corner  
17 Brook Pulp and Paper co-gen project? That  
18 would be true too?

19 A. Yes, there was an upgrade done in Holyrood in  
20 the, I guess, mid to late 1990s, I believe,  
21 where we actually increased the capability of  
22 Holyrood units No. 1 and 2 from 150 to 175  
23 megawatts, but there were no "new" green field  
24 plants constructed.

25 Q. New sources of generation.

Page 142

1 diesels to meet day-to-day production  
2 planning. We use them obviously when we're  
3 required, but we do not have any firm numbers  
4 peaking plant. The cost of operation is in  
5 excess of \$100 per megawatt hour, so they're  
6 not part of our day-to-day plan. They would  
7 just fall off the table on economic priority.

8 Q. So you don't count them for firm energy  
9 requirement in the far column, but they count  
10 for the capacity factor in the first column  
11 over?

12 A. Yes, because they are used a lot less than the  
13 other plants.

14 Q. Okay. Now what do you use the estimate of  
15 firm annual energy for? What's the primary  
16 purpose of that estimate?

17 A. It's primarily for system planning to identify  
18 future generation and condition requirements.

19 Q. Okay. Now you talked with Mr. Browne about  
20 Holyrood and the last unit that was added in  
21 Holyrood, Unit 3, you told us was 1979 to '80?

22 A. Yes.

23 Q. Okay. And out of the hydroelectric plants or  
24 the plants that have come in service since  
25 1980, the bulk of the energy that's come on

Page 144

1 A. No.

2 Q. Okay. So the bulk of those, since 1980, have  
3 been hydroelectric and in terms of Hydro's  
4 stable of potential projects, as you talked  
5 about with Mr. Browne, the next potential one  
6 would be Island Pond again, a hydroelectric  
7 project, correct?

8 A. That is one that we currently have the rights  
9 to and have some preliminary numbers on, yes.

10 Q. Okay. Now I want to go next to page 36 of  
11 your evidence, and look at Section 10, I  
12 believe it is. Okay. Now you've got--well,  
13 first of all, for system planning purposes, to  
14 determine when plant additions are required  
15 starts with the development of a load forecast  
16 for, let's take the Island Interconnected  
17 System, that's the starting point, is it?

18 A. That's the initial requirement, yes.

19 Q. Okay. And then you talk about an energy  
20 criterion, if you look at beginning at line  
21 11, and then after you get to line 16, you  
22 talk about a capacity or demand criterion, and  
23 I'd like you to take us through the energy one  
24 first and just explain what that means.

25 A. The energy criteria is basically what we

Page 145	Page 146
<p>1 MR. HAYNES:</p> <p>2 discussed a few minutes ago, basically it's</p> <p>3 that we plan the Interconnected System so that</p> <p>4 we can survive, if you will, if we have a</p> <p>5 repeat of the firm sequence, which is a fairly</p> <p>6 common practice in the utility business, to</p> <p>7 ensure that you can actually survive that</p> <p>8 particular event. In other words, that we do</p> <p>9 not have to curtail deliveries of energy</p> <p>10 because we just do not have the resources</p> <p>11 available. So that is the energy driver.</p> <p>12 Q. So there we're looking at the energy forecast</p> <p>13 on the firm basis, which is our three driest</p> <p>14 year sequence, plus Holyrood, and weighing</p> <p>15 that against the energy forecast for any</p> <p>16 particular year, is that essentially correct?</p> <p>17 A. To give us an estimate of the timing for the</p> <p>18 next source, yes, that's correct.</p> <p>19 Q. Okay, now let's go on to capacity and your</p> <p>20 LOLH, if you could just explain that loss of</p> <p>21 load hours?</p> <p>22 A. The loss of load hours is, obviously in the</p> <p>23 electrical business you are delivering</p> <p>24 related, but I suppose maybe different</p> <p>25 products in the sense one is energy, i.e.</p>	<p>1 megawatt hours, the other one is capacity of</p> <p>2 megawatts and in the ideal system, it would be</p> <p>3 nice if they were all kind of matched up one</p> <p>4 hundred percent, but it never happens. So on</p> <p>5 the LOLH, we have to plan the firm capacity</p> <p>6 and that is one of the reasons why, as we</p> <p>7 discussed a few minutes ago, we had this</p> <p>8 peaking plant there and the gas turbines and</p> <p>9 so on. So what we do is if you go down to a</p> <p>10 probabilistic approach and we look at the load</p> <p>11 forecast and the forced outage rates of the</p> <p>12 equipment and so on, and we analyze that and</p> <p>13 we come up and basically say that our criteria</p> <p>14 is that we will plan the system so that we</p> <p>15 will always have enough capacity available to</p> <p>16 meet our customers demands, with the exception</p> <p>17 of, on average, 2.8 hours per year where we</p> <p>18 cannot do it because of availability or</p> <p>19 resources.</p> <p>20 Q. Okay, so is that a computer run model, which</p> <p>21 you talked about a probabilistic or</p> <p>22 statistical type approach to it?</p> <p>23 A. It considers the forced outage rates of</p> <p>24 machines, it considers the load factor and the</p> <p>25 load shape and so on, but it does come out of</p>
Page 147	Page 148
<p>1 a computer model and it may change. The LOLH</p> <p>2 number that's generated may change over time</p> <p>3 if the load factor changes or if the load</p> <p>4 shape changes and so on, but it is basically</p> <p>5 an output from a program.</p> <p>6 Q. Okay, and the theory then is to ensure that</p> <p>7 you've got enough capacity so that not more</p> <p>8 than--there's not more than 2.8 hours per year</p> <p>9 of outages due to a lack of capacity on the</p> <p>10 system, is that it in a nutshell?</p> <p>11 A. That's the plan in a nutshell, yes.</p> <p>12 Q. Okay, now, let's go next to Table 8 which I</p> <p>13 think is on page 37. I want to get you to</p> <p>14 walk us through this particular table and</p> <p>15 let's start with--you've got the years,</p> <p>16 obviously, and then we've got the peak. Just</p> <p>17 explain what that column means?</p> <p>18 A. Well the peak is basically the demand forecast</p> <p>19 for the Interconnected System, the number of</p> <p>20 megawatts we would require to fulfil our</p> <p>21 expected demands, our obligations.</p> <p>22 Q. And that's a matter of the peak load on the</p> <p>23 system as to what you forecast for every year?</p> <p>24 A. Yes, there are, you know, there are--yes,</p> <p>25 that's essentially correct.</p>	<p>1 Q. Okay, let's go over to the energy one.</p> <p>2 A. And the energy basically, similarly is the</p> <p>3 amount of energy that we require to fulfil our</p> <p>4 customer needs.</p> <p>5 Q. Okay, and then net capacity comes back from</p> <p>6 your Schedule 2?</p> <p>7 A. That's what we have available today.</p> <p>8 Q. Okay, and you're showing the same numbers all</p> <p>9 the way down through that column, so I take it</p> <p>10 that doesn't yet and we have the same thing on</p> <p>11 firm capability which is the energy side of</p> <p>12 the ledger in the next column over. That's</p> <p>13 the same all the way down through, so that</p> <p>14 wouldn't include yet, for example, anything</p> <p>15 for the Burin Wind Farm?</p> <p>16 A. Well that's correct, if that goes as conceived</p> <p>17 or as perceived, that will add 25 megawatts to</p> <p>18 that particular column.</p> <p>19 Q. Okay, and we come across, you got your firm</p> <p>20 capability, again that comes from what we just</p> <p>21 looked at in Schedule 2, correct?</p> <p>22 A. Yes, if we have a repeat of a dry sequence, we</p> <p>23 would be able to provide 8.7 terawatt hours.</p> <p>24 Q. Okay, and then we have our LOLH, now just to</p> <p>25 help us understand this, just explain then the</p>

Page 149	Page 150
<p>1 KELLY, Q.C.:</p> <p>2 point six hours per year in 2003? That's</p> <p>3 obviously something better than your 2.8 you</p> <p>4 talked about a minute ago?</p> <p>5 A. Yeah, well what we don't have shown on the</p> <p>6 chart would be 2002, which would have</p> <p>7 anticipated--we would have exceeded that</p> <p>8 criteria. I don't know what the number is,</p> <p>9 but it would have been in excess of 2.8 based</p> <p>10 on a forecast when there was generation</p> <p>11 committed. Whenever you build new plant or</p> <p>12 incorporate new megawatt capability into the</p> <p>13 system, you will stagger that number. So in</p> <p>14 2003, we added 40 megawatts for Granite Canal,</p> <p>15 we added 15 megawatts for Corner Brook Pulp</p> <p>16 and Paper and 32, I believe, for the Exploits</p> <p>17 River, so that would actually push that number</p> <p>18 down. So then you, as your load forecast</p> <p>19 continues to grow, you will start eroding on</p> <p>20 that capability by actually increasing that</p> <p>21 number. And if you get down to 2010, we</p> <p>22 actually hit that particular criteria of 2.8</p> <p>23 and 2011 we've exceeded the criteria, and at</p> <p>24 that particular time, that would be the</p> <p>25 message that we really need to address, new</p>	<p>1 peaking--we need more megawatt capability on</p> <p>2 the system.</p> <p>3 Q. Okay, so in 2011 then, your criteria for peak</p> <p>4 capacity is exceeded and you'd need a capacity</p> <p>5 requirement for 2011?</p> <p>6 A. That would be--on face value, that would be</p> <p>7 the indication, yes.</p> <p>8 Q. Okay, now let's look at the energy balance and</p> <p>9 have you just explain that column.</p> <p>10 A. It's done in a similar way except that you're</p> <p>11 looking at the firm sequence and basically by</p> <p>12 adding on the Granite Canals, the Corner Brook</p> <p>13 Pulp and Paper and the Exploits River, we</p> <p>14 basically--we have a reserve, if you will, of</p> <p>15 an energy balance in 2003 of 265 kilowatt</p> <p>16 hours, and as we--as our load forecast</p> <p>17 increases, we will erode to that and 2010 we</p> <p>18 have an energy balance or a deficiency, very</p> <p>19 small but it's there nonetheless. We, in</p> <p>20 theory, would not have enough energy, assuming</p> <p>21 we had a repeat of the firm sequence to meet</p> <p>22 our commitments.</p> <p>23 Q. That negative 10 is in 2009?</p> <p>24 A. That's correct.</p> <p>25 Q. Okay, so at that stage in 2009, then your</p>
Page 151	Page 152
<p>1 energy criteria has been overcome or violated?</p> <p>2 A. Yes, you wouldn't necessarily go and rush out</p> <p>3 and do something based on a deficit of 10.</p> <p>4 You look at the timing between, you know, the</p> <p>5 energy balance deficit and the loss of load</p> <p>6 hours and ideally you would do a project</p> <p>7 somewhere in that time frame of 2009 to 2011</p> <p>8 which would cover off both factors.</p> <p>9 Q. Okay, but the first one that is driving the</p> <p>10 system planning in terms of time frame, would</p> <p>11 be energy, would you agree with that?</p> <p>12 A. Yeah, based on this, yes.</p> <p>13 Q. Right. But if you add--if you build a plant</p> <p>14 which will provide more energy, it will also</p> <p>15 have the effect of providing more capacity,</p> <p>16 isn't that--that's also true?</p> <p>17 A. Yes, it can be varying numbers, but it is</p> <p>18 typically true, yes.</p> <p>19 Q. Right, let's just go to NP-154 for a second</p> <p>20 and have a look at that issue and I'll just</p> <p>21 give you a moment to find that, if you like.</p> <p>22 Do you have that there?</p> <p>23 A. Yes.</p> <p>24 Q. And as you come down through your answer,</p> <p>25 lines 11 and 12, since the next plant addition</p>	<p>1 is required to meet both demand and energy</p> <p>2 requirements, a reduction in peak only with no</p> <p>3 associated energy reduction will not defer the</p> <p>4 next plant addition, although it may have an</p> <p>5 impact on which options would be considered</p> <p>6 least cost at that time and beyond. So that</p> <p>7 the next plant would add both energy and peak</p> <p>8 capacity is what Hydro's thinking is?</p> <p>9 A. Because there's a, you know, there's only</p> <p>10 about two years, one or two years apart in the</p> <p>11 LOLH criteria hit (phonetic) and the energy</p> <p>12 balance, that would be correct.</p> <p>13 Q. So as you build to meet the energy violation</p> <p>14 in 2009, you'll also build for capacity for</p> <p>15 2011 and beyond, correct?</p> <p>16 A. It would be the consideration of the load</p> <p>17 forecast and the operating factor of that</p> <p>18 particular plant, depending on what the</p> <p>19 resource is, but I'll come together to</p> <p>20 determine that.</p> <p>21 Q. Now, I'd like to take you next to exhibit, Mr.</p> <p>22 Brockman's exhibit, LBB No. 3, here we go.</p> <p>23 And Mr. O'Reilly, I don't know if you can put</p> <p>24 that on the screen so we can get both the two</p> <p>25 parts of the table together? Okay. In the</p>

Page 153	Page 154
<p>1 KELLY, Q.C.:</p> <p>2 top part, Mr. Haynes, we have from the 1990</p> <p>3 hearing some information taken from Mr.</p> <p>4 Collett's evidence and then in the bottom, we</p> <p>5 have reproduced your--Mr. Brockman has</p> <p>6 reproduced your Table 8 with the same</p> <p>7 information, some additional information?</p> <p>8 A. Yes.</p> <p>9 Q. And if we compare the two, we see that the</p> <p>10 peak demand in 2012 will have only reached</p> <p>11 1,728 megawatts; and in 1990, that--Hydro had</p> <p>12 been forecasting that that would occur by</p> <p>13 about 1996, approximately?</p> <p>14 A. Correct.</p> <p>15 Q. Okay, and so overall would you agree that the</p> <p>16 overall load growth has decreased dramatically</p> <p>17 since the evidence in the 1990 hearing from</p> <p>18 what was anticipated?</p> <p>19 A. Yes, there's been a fair decrease over that</p> <p>20 period of time for various factors, that's</p> <p>21 correct.</p> <p>22 Q. And that's also true if we look at the energy,</p> <p>23 not quite as striking for the energy, but</p> <p>24 still energy demand--or energy consumption has</p> <p>25 not grown as fast as anticipated?</p>	<p>1 A. That's correct.</p> <p>2 Q. And if we look at the forecast of total Island</p> <p>3 load indicates that the load factor has</p> <p>4 improved since 1990, went from 59 percent to</p> <p>5 roughly about 61 percent?</p> <p>6 A. Yes.</p> <p>7 Q. Just explain that to the Board, what that</p> <p>8 means?</p> <p>9 A. In an ideal world if you had pure energy</p> <p>10 resources that had no constraints of forced</p> <p>11 outage rates and so on and so forth, you'd</p> <p>12 have a hundred percent load factor. Typically</p> <p>13 the higher percentage of load factor means</p> <p>14 that your resources are being used, you know,</p> <p>15 more--are being utilized more to the maximum</p> <p>16 ability. Now that's not really, necessarily</p> <p>17 the case for a Hydro plant where many Hydro</p> <p>18 plants are designed for, you know, 40 to 60</p> <p>19 percent operating factors, so it wouldn't</p> <p>20 necessarily, the most you would get out of a</p> <p>21 Hydro plant maybe, you know, operating factor</p> <p>22 is not the same as load factor, but it</p> <p>23 influences that. But the closer--let me go</p> <p>24 back a little bit, the higher your load</p> <p>25 factor, the flatter your profile; in other</p>
Page 155	Page 156
<p>1 words, you turn on megawatts and in an ideal</p> <p>2 world, maybe we only need 900 or 1000</p> <p>3 megawatts of megawatts continuous to meet all</p> <p>4 the energy requirements of the Island, but the</p> <p>5 higher the load factor, it's usually a plus</p> <p>6 for the system.</p> <p>7 Q. Okay, now I've given the clerk and provided</p> <p>8 you last week with Table 1 from Mr. Collett's</p> <p>9 evidence in 1990. It's a one-page document,</p> <p>10 page 23.</p> <p>11 MS. NEWMAN:</p> <p>12 Q. That would be Information Item No. 12 if it's</p> <p>13 going to be entered as a -</p> <p>14 KELLY, Q.C.:</p> <p>15 Q. Thank you. Now this table, Mr. Haynes, is the</p> <p>16 source of some of the information that is in</p> <p>17 the top block, in terms of LBB-3 that's</p> <p>18 already on the screen, but I want to take you</p> <p>19 over to the middle column, which is LOLE</p> <p>20 index, and as I understand it, that's like our</p> <p>21 loss of load hours, but is a slightly</p> <p>22 different index and perhaps we can start by</p> <p>23 having you explain what that means to the</p> <p>24 Board?</p> <p>25 (12:45 a.m.)</p>	<p>1 A. The loss--the LOLE or loss of load expectation</p> <p>2 is basically the criteria at that particular</p> <p>3 time was .2 days per year, I guess depending</p> <p>4 on which computer models you used for doing</p> <p>5 your generation planning scenario, I mean,</p> <p>6 there are different indices, what we use right</p> <p>7 now is the LOLH which basically you can</p> <p>8 translate it, there is no significant</p> <p>9 difference between .2 days per year and 2. 8</p> <p>10 hours, it's the same equivalent criteria using</p> <p>11 different programs, I guess.</p> <p>12 Q. And I understand you can't mathematically kind</p> <p>13 of get from one to the other, but at the end</p> <p>14 of the whole analysis, the two are pretty much</p> <p>15 essentially the same, have I got that correct?</p> <p>16 A. That's correct.</p> <p>17 Q. Okay, and so if we go down through the column</p> <p>18 under LOLE Index, which equates to your loss</p> <p>19 of load hours currently being used, we see</p> <p>20 that that was expected that capacity would be</p> <p>21 exceeded in 1993?</p> <p>22 A. Yes, that's correct.</p> <p>23 Q. Okay, now if I go back up above, I also see</p> <p>24 that it would have been exceeded in 1991</p> <p>25 because we have a .0268, but if we go over to-</p>

Page 157

Page 158

1 MR. HAYNES:  
 2 A. Sorry, it's .2 days per year, not .02, the  
 3 criteria is .2, so it would not have been  
 4 exceeded until 1993.  
 5 Q. You're correct, thank you for that. So it  
 6 would have gotten exceeded in 1993 on  
 7 capacity?  
 8 A. That's correct.  
 9 Q. Okay, and if we come over to the next couple  
 10 of columns, they're essentially the same as in  
 11 your table 8, and we come over to the energy  
 12 balance column.  
 13 A. Yes.  
 14 Q. The energy requirement was good until 1996 at  
 15 that point in time?  
 16 A. That's correct.  
 17 Q. So back in 1990, we had a capacity constraint  
 18 affecting the system more quickly than the  
 19 energy constraint and we have the opposite  
 20 situation today?  
 21 A. Yes, that's correct.  
 22 Q. Now, so comparing 1990 with where we are  
 23 today, today we have new sources of generation  
 24 being driven more by energy than demand and we  
 25 have the opposite being the case back in 1990?

1 Would you agree with that?  
 2 A. There's not a big difference in the years, but  
 3 in energy is the first criteria that we  
 4 violate as in our forecast that we have today.  
 5 Q. Today, and back in 1990, it was demand being  
 6 exceeded in 1993 versus energy in 1996?  
 7 A. That's correct.  
 8 Q. Okay, now let's move on from there and I'd  
 9 like to go to your Schedule 4 next and I'd  
 10 like you to take us through this graph--this  
 11 series of graphs, and explain to the Board  
 12 what this means?  
 13 A. Schedule 4 is the total system energy storage,  
 14 basically it is hydraulic only and the red  
 15 line at the upper most part of the chart is  
 16 basically how much energy we would anticipate  
 17 having in our storage based on our reservoir  
 18 planning criteria, based not necessarily on  
 19 full supply, but at certain times of the year  
 20 we would not plan all reservoirs to be full.  
 21 But that would be the maximum energy that we  
 22 could have in storage, assuming we had a lot  
 23 more rain than we're having today.  
 24 Q. That line down the bottom is called "maximum  
 25 operating level" and it's got a bump in the

Page 159

Page 160

1 middle kind of running from roughly about  
 2 April through to September. Why is that  
 3 there?  
 4 A. In the months approaching the spring run off,  
 5 we would actually plan the reservoirs down a  
 6 little bit lower so that we would minimize our  
 7 risk or spill. We would try to capture all  
 8 possible water that we can from snow melt and  
 9 so on, so basically we would plan our  
 10 reservoirs to be a little bit lower in the  
 11 spring, so that we can ensure that we catch  
 12 all possible water so that we don't spill  
 13 anything and so on, and that's why it would be  
 14 higher. In June and July, we would try to  
 15 cover off rainfalls, but we would not have to  
 16 worry about snow melt.  
 17 Q. And then why does it drop down again then in  
 18 September from a planning operation's point of  
 19 view?  
 20 A. Usually in September we have a little bit more  
 21 rainfall, but it alludes me as to why it's  
 22 flat after that. I suspect that's just our  
 23 expected utilization and so on. So it's  
 24 basically a minimize of potential risk of  
 25 spill would be the driving factor.

1 Q. Right, because you're going to get rain--more  
 2 likely to get rain in the fall so you have the  
 3 potential to capture a little bit of extra if  
 4 your reservoir is not quite as full?  
 5 A. Typically we catch a few of September, pieces  
 6 of hurricanes as they go by and we get some  
 7 rain there, but once the cold starts, then  
 8 that's really, the temperature obviously comes  
 9 into that picture as well.  
 10 Q. Right, so the red line at the top is your  
 11 perfect world, so to speak?  
 12 A. The ideal world, yes.  
 13 Q. Okay, let's go down through the other lines.  
 14 A. The green line is our minimum storage targets  
 15 and that is, that line is not necessarily a  
 16 static line, at different times when we redo  
 17 the situation as we see it today, there's some  
 18 changes to that, but not major ones. It is  
 19 where we would like to be or where we want to  
 20 be to protect our firm sequence; in other  
 21 words, when you come into January of this  
 22 year, we came into that year at a little over  
 23 1500 kigawatt hours of energy in storage.  
 24 Very little risk of spill, but it's not--we  
 25 would prefer it to be higher and that's the



Page 161	Page 162
<p>1 MR. HAYNES:</p> <p>2 way we would try to run our Holyrood</p> <p>3 production would be to pick that up. It did</p> <p>4 come back up in February when we got an</p> <p>5 initial melt of the inflow. That's the</p> <p>6 purplish line, I'm sorry, or whatever colour</p> <p>7 that is, would be to the date of that</p> <p>8 particular time. The blue line is basically</p> <p>9 how we fared last year. We came in a little</p> <p>10 bit below the minimum and basically stayed, by</p> <p>11 and large, most of it, except for the latter</p> <p>12 part of the year, we were a bit under our</p> <p>13 target, our goals.</p> <p>14 Q. And the green line, if we can just focus on</p> <p>15 that one, is minimum energy storage targets?</p> <p>16 Just explain how that is intended to work?</p> <p>17 A. That is to product our firm capability. The</p> <p>18 intent is that we should be there, if we were</p> <p>19 on the green line with our actual--where we</p> <p>20 are today, that if the firm sequence started</p> <p>21 right now, we would be in reasonable shape to</p> <p>22 survive that without having to curtail energy</p> <p>23 deliveries. And this doesn't include, you</p> <p>24 know, this doesn't include any generation from</p> <p>25 gas turbines and so on, basically it's</p>	<p>1 Holyrood and the Hydro plant.</p> <p>2 Q. This is pure water we're talking about here?</p> <p>3 A. In this particular chart, but it is influenced</p> <p>4 by, you know, the availability of factors and</p> <p>5 the 25 percent incapability factor for</p> <p>6 generating that particular, that green line.</p> <p>7 Q. Right, but I notice the green line drops down</p> <p>8 through January to about April, then rises</p> <p>9 through the summer and then starts to</p> <p>10 hopefully rise back December, just walk us</p> <p>11 through the logic of that?</p> <p>12 A. As you're coming into the spring, the load is</p> <p>13 starting to decrease, you know, and we</p> <p>14 anticipate a certain inflow which is reflected</p> <p>15 when the green line starts to take a rise</p> <p>16 again.</p> <p>17 Q. So that would be your snow melt.</p> <p>18 A. Snow melt, your inflow and then basically it</p> <p>19 kind of levels off and then in the fall then,</p> <p>20 you get snow--you get some rain and you get</p> <p>21 snow accumulation and so on. So it's, you</p> <p>22 know, the sole purpose is to assist the</p> <p>23 hydraulic planning, to minimize the risk of</p> <p>24 spill would be the primary purpose.</p> <p>25 Q. Now I notice you called this schedule "Total</p>
Page 163	Page 164
<p>1 System Energy Storage". All the rest of us</p> <p>2 unsophisticated types would probably look at</p> <p>3 it as water storage.</p> <p>4 A. It is.</p> <p>5 Q. But from your point of view, this is energy</p> <p>6 storage because every gallon of water that's</p> <p>7 stored is essentially--got an energy value to</p> <p>8 it? Have I got that essentially correct?</p> <p>9 A. Yes, and the access on the left-hand side, it</p> <p>10 is actually in gigawatt hours, but I mean, if</p> <p>11 you go down and look at each reservoir, it's</p> <p>12 "X" thousand of cubic feet at Bay D'Espoir,</p> <p>13 this conversion factor, plus "X" thousand of</p> <p>14 cubic feet at Cat Arm and its conversion</p> <p>15 factor and that's the sum result.</p> <p>16 Q. Okay, now I'd like to move next, having looked</p> <p>17 at that, to discuss a little bit about</p> <p>18 marginal costs and if we go to NP-171 is</p> <p>19 probably the starting point and we asked a</p> <p>20 question there, that was confirmed, that the</p> <p>21 cost of providing energy at Holyrood on a</p> <p>22 cents per kilowatt basis is approximately the</p> <p>23 same for all months of the year. And the</p> <p>24 answer was the cost of providing energy from</p> <p>25 Holyrood on a cent per kilowatt basis is</p>	<p>1 approximately the same for all months of the</p> <p>2 year, except for the effect of fuel cost</p> <p>3 changes due to fuel purchases in each month.</p> <p>4 That's just the price of fuel going up or</p> <p>5 down, as I understand it, and assuming equal</p> <p>6 unit output levels, and that's essentially the</p> <p>7 conversion factor for our oil?</p> <p>8 A. Yes.</p> <p>9 Q. So other than those minor changes, the cost of</p> <p>10 producing energy is the same at Holyrood for</p> <p>11 whatever months it's running?</p> <p>12 A. Yes, I mean, obviously in the discussions, I</p> <p>13 guess some of the RFI's with respect to the</p> <p>14 unit loading and Schedule 5, there's some</p> <p>15 variation, but basically it is more or less</p> <p>16 the same.</p> <p>17 Q. Okay.</p> <p>18 A. It's the incremental fuel cost.</p> <p>19 Q. Right. Now, under normal operating conditions</p> <p>20 then, the cost of producing on a kilowatt-hour</p> <p>21 basis is approximately the same incrementally</p> <p>22 over the whole period of the year?</p> <p>23 A. After, as I said, after you consider the</p> <p>24 actual cost of fuel in those months that it</p> <p>25 generates, but by and large.</p>

Page 165	Page 166
<p>1 KELLY, Q.C.:</p> <p>2 Q. Now, if we--just have a look at NP-130 next,</p> <p>3 that cost as we currently have it, as a</p> <p>4 marginal cost of production is 5.13 cents?</p> <p>5 A. Yes, that's based on \$29.20 a barrel.</p> <p>6 Q. Okay, now the language in the answer at line 8</p> <p>7 is the forecast short-run marginal cost of</p> <p>8 production at Holyrood is. Now, let's just</p> <p>9 understand the terminology first. Just</p> <p>10 explain short-run marginal cost?</p> <p>11 A. The short-run marginal cost would be if we</p> <p>12 were to go and look for another, say another</p> <p>13 kilowatt hour today would be basically the</p> <p>14 fuel cost, plus the variable O&amp;M. So if the</p> <p>15 variable O&amp;M is reflection of the additional</p> <p>16 fuel that is required and so on in the plant</p> <p>17 to do that, so it comes out to be 51.051.</p> <p>18 Q. But it's the cost of getting an extra kilowatt</p> <p>19 hour out of the system today?</p> <p>20 A. In the short term, it doesn't consider, you</p> <p>21 know, additional maintenance that's required</p> <p>22 or things like that. It's basically just we</p> <p>23 need a few extra kilowatts today, here they</p> <p>24 are.</p> <p>25 Q. Right, and that would be contrasted with a</p>	<p>1 long-run marginal cost or long-run incremental</p> <p>2 cost for some period well into the future?</p> <p>3 A. Yes, it wouldn't be--a long-run cost would</p> <p>4 incorporate a few other unforeseens out there,</p> <p>5 it would be, you know, the variable O&amp;M or</p> <p>6 there would be another factor added to make</p> <p>7 that a little bit higher to reflect other</p> <p>8 things that would happen on occasions.</p> <p>9 Q. Now, if we--I'd like to talk next about the</p> <p>10 relationship between Holyrood and your</p> <p>11 hydraulic production. If we have Holyrood</p> <p>12 shut down, for example we're in the summer,</p> <p>13 and there's energy at that stage, for example,</p> <p>14 being supplied by Hydro Power, then that water</p> <p>15 then is not available then to produce</p> <p>16 electricity in the winter, would you agree</p> <p>17 with that? In other words, in one sense it's</p> <p>18 what, whereas we looked at your graph, there's</p> <p>19 a certain amount of energy in that hydraulic</p> <p>20 production?</p> <p>21 A. If Holyrood is shut down, then basically most</p> <p>22 of the energy or all the energy, in effect,</p> <p>23 would be from hydro resources or our NUGS, but</p> <p>24 it's typically the most economic way to do it.</p> <p>25 It's not economical to run Holyrood at very,</p>
Page 167	Page 168
<p>1 very low load.</p> <p>2 Q. No, but my point is this, that if you were to</p> <p>3 run, either run Holyrood and burn oil or run</p> <p>4 the hydraulic plants and use up the water that</p> <p>5 we have in storage, those are the two options,</p> <p>6 correct?</p> <p>7 A. Pretty well, yes.</p> <p>8 Q. Yes. So that the cost of energy on the</p> <p>9 system, the marginal cost of energy on the</p> <p>10 system is always the cost of producing out of</p> <p>11 fuel at Holyrood. Would you agree with that?</p> <p>12 A. In the short run. In the long run, you would</p> <p>13 eventually be pushed to a new generating</p> <p>14 source, which would have a higher cost. Once</p> <p>15 you exhaust your capability at Holyrood,</p> <p>16 you'll be forced into new sources of supply,</p> <p>17 which would be higher than that.</p> <p>18 Q. Right. But within the constraints of the</p> <p>19 existing system, and we looked at the forecast</p> <p>20 period for those, the marginal cost of</p> <p>21 producing energy on the system is always the</p> <p>22 Holyrood cost because we're either going to</p> <p>23 use--burn the fuel at Holyrood or use the</p> <p>24 water out of our storage, correct?</p> <p>25 A. In the short term.</p>	<p>1 Q. And in the short term, we're talking about a</p> <p>2 period of a number of years out over our</p> <p>3 planning forecast period?</p> <p>4 A. You will eventually be driven to a new source</p> <p>5 of supply, yes.</p> <p>6 (1:00 p.m.)</p> <p>7 Q. And in fact, at this stage in the planning</p> <p>8 cycle, Hydro has not yet determined which</p> <p>9 would be the next source of supply and how</p> <p>10 that would be done. That's the discussion you</p> <p>11 had with Mr. Browne this morning?</p> <p>12 A. No, we don't know at this point in time, but I</p> <p>13 can be quite confident it will be more than 51</p> <p>14 cents a kilowatt hour or 51 -</p> <p>15 Q. 5.1 -</p> <p>16 A. - 5.1 cents a kilowatt hour will be the</p> <p>17 marginal source.</p> <p>18 Q. Okay. Now can I take you next to the EES</p> <p>19 report, to page 22, and if you come down to</p> <p>20 lines 33 to 35, and you see there's a comment</p> <p>21 there that begins on line 33. The sentence</p> <p>22 reads "above 420 gigawatt hours, NP would be</p> <p>23 charged an energy rate that represents the</p> <p>24 incremental fuel costs of the Holyrood</p> <p>25 generating station, which we understand is</p>

Page 169	Page 170
<p>1 KELLY, Q.C.:</p> <p>2 used as a peaking unit." Is Holyrood used as</p> <p>3 a peaking unit? Would you agree with that</p> <p>4 statement or not?</p> <p>5 A. No, it's not.</p> <p>6 Q. It's not correct?</p> <p>7 A. No.</p> <p>8 Q. Okay. How would you describe Holyrood?</p> <p>9 A. I wouldn't necessarily say it's a "classical"</p> <p>10 base-loaded plant. That plant operates ten to</p> <p>11 eleven months of the year, sometimes twelve</p> <p>12 months a year, there are components of</p> <p>13 operation. It basically--it picks up the</p> <p>14 energy requirements basically that we don't do</p> <p>15 hydraulically. But a peak plant would be your</p> <p>16 gas turbines, which are put on for a few hours</p> <p>17 here, a few hours there, just to get you over</p> <p>18 a short term capacity thing. Holyrood's</p> <p>19 energy requirement, when you look at that</p> <p>20 Schedule 2 which we talked about, Holyrood is</p> <p>21 in there at 2996 gigawatt hours as a firm</p> <p>22 basis. The peak plants are in there at zero</p> <p>23 gigawatt hours.</p> <p>24 Q. Okay. So Holyrood is more of a base load</p> <p>25 plant than a peaking plant?</p>	<p>1 A. Not base load in the sense that we put it on</p> <p>2 for 130 megawatts and leave it there, but</p> <p>3 basically it is required, you know, virtually</p> <p>4 90 percent of the year and it's definitely not</p> <p>5 a peaking plant.</p> <p>6 Q. Right. Let's have a look next at how the</p> <p>7 system operates between thermal and hydraulic</p> <p>8 production, and a good place to go to look at</p> <p>9 this question is let's start with NP-172. Do</p> <p>10 you have that?</p> <p>11 A. Yes.</p> <p>12 Q. Now let's go down through--the question</p> <p>13 postulates what happens if you took 25</p> <p>14 megawatts off of peak and what I want to focus</p> <p>15 on is how do you operate the system to account</p> <p>16 for that load? And at line 6, you begin "the</p> <p>17 reduction in load could result in a reduction</p> <p>18 in either Holyrood's stand-by plant or</p> <p>19 hydraulic plant production. The generating</p> <p>20 plant that has its output reduced is dependent</p> <p>21 on current system operating costs. If stand-</p> <p>22 by plant, such as a gas turbine, is operating</p> <p>23 it would be reduced first." Now if we'd just</p> <p>24 stop there. That's relatively rare in the</p> <p>25 system, isn't it, especially with Granite</p>
Page 171	Page 172
<p>1 Canal and the NUGS in place?</p> <p>2 A. In today's--as we stand today, yes, it would</p> <p>3 be rare, but as you approach requirements for</p> <p>4 next source, it is a possibility, but we</p> <p>5 don't--it doesn't usually run for energy.</p> <p>6 It's usually run to shave peak and it's a</p> <p>7 possibility, but it's -</p> <p>8 Q. And those plants -</p> <p>9 A. - less likely today, since we just built, you</p> <p>10 know, Granite Canal.</p> <p>11 Q. And those plants, as you talked about with Mr.</p> <p>12 Browne, do have a value today. We'll come</p> <p>13 back and look at that in a little bit, a</p> <p>14 little bit later. But let's leave those aside</p> <p>15 for the second. If the reservoir storages are</p> <p>16 high, Holyrood would be reduced before</p> <p>17 hydraulic units. If the reservoir storages</p> <p>18 are low, then hydraulic units would be reduced</p> <p>19 before Holyrood, and during an average daily</p> <p>20 peak, hydraulic units are generally reduced</p> <p>21 before Holyrood because Holyrood is base</p> <p>22 loaded. Now just explain what that means,</p> <p>23 especially the part about reducing the</p> <p>24 hydraulic units before Holyrood and why you do</p> <p>25 that.</p>	<p>1 A. In striving to optimize or to ensure that we</p> <p>2 are the most cost effective--that we are</p> <p>3 taking the most cost effective approach, the</p> <p>4 Energy Control Centre people look at Holyrood</p> <p>5 and they look at it on a week-ahead basis and</p> <p>6 they try to dispatch Holyrood at a number, at</p> <p>7 a high enough load that gives us good</p> <p>8 economies with respect to energy conversion</p> <p>9 factor. If you're going to move the machine</p> <p>10 around, the Holyrood machine around based on</p> <p>11 25 megawatts being gone for a few hours a day</p> <p>12 and then back up, you're going to be moving</p> <p>13 that machine--you know, it's not a cost</p> <p>14 effective way to operate the hydro--I'm sorry,</p> <p>15 the thermal plant. You basically take that</p> <p>16 particular swing on a hydraulic unit, if</p> <p>17 there's no gas turbines going. And at the end</p> <p>18 of the day, what you'll end up with is you'll</p> <p>19 have met your customer demand, you will have</p> <p>20 done it a little bit more economically because</p> <p>21 you retained Holyrood at a higher energy</p> <p>22 conversion factor capability. The more you</p> <p>23 load Holyrood, the most efficient it is, to a</p> <p>24 large extent. And if you're operating at 100</p> <p>25 megawatts and you drop down to 75, it's an</p>

Page 173	Page 174
<p>1 MR. HAYNES:</p> <p>2 inefficient--as indicated in Schedule 5 of my</p> <p>3 evidence, we have that curve of megawatts</p> <p>4 versus efficiency. So you don't--you do that</p> <p>5 on a kind of a look-ahead basis and you may</p> <p>6 shut down a machine at Holyrood if you had a</p> <p>7 sustained change, as opposed to running all</p> <p>8 three machines down at a lower inefficient</p> <p>9 load. You will try to shut one down and keep</p> <p>10 two up at a more economic dispatch.</p> <p>11 Q. So the peak swings are normally handled by</p> <p>12 hydraulic, as opposed to changing the</p> <p>13 operating output of Holyrood, for efficiency</p> <p>14 reasons?</p> <p>15 A. I mean, that's--there's no pat answer, but by</p> <p>16 and large, that's correct.</p> <p>17 Q. That's correct, okay. And if we just go to</p> <p>18 IC-294, we'll have another look at that same</p> <p>19 issue. If we scroll up, there we go. The</p> <p>20 latter part of this answer, it talks about</p> <p>21 reserve capacity. I'll come back to that a</p> <p>22 little bit later on. "When load is increasing</p> <p>23 during peak periods, the power system operator</p> <p>24 must ensure that the operating generating</p> <p>25 units have sufficient operating reserve to</p>	<p>1 supply the increasing load without</p> <p>2 deterioration of the power system frequency</p> <p>3 and have to account for the rate of increasing</p> <p>4 load in their decision when to start</p> <p>5 additional generating units. For that reason,</p> <p>6 they are able to allow the units to go to full</p> <p>7 capacity before going to the next step in the</p> <p>8 loading sequence." Just explain that and</p> <p>9 where that ties in with Holyrood and our</p> <p>10 hydraulic discussion. Sorry, I misread that.</p> <p>11 "Unable to allow the units to go to full</p> <p>12 capacity." Just explain where that fits into</p> <p>13 our discussion.</p> <p>14 A. Just give me one second, just to read the</p> <p>15 paragraph in context.</p> <p>16 Q. Sure.</p> <p>17 A. Okay. So this basically is the day-to-day</p> <p>18 operation of the control centre, and for</p> <p>19 instance, you know, maybe the easiest thing is</p> <p>20 to pick a point in time. Let's say it's today</p> <p>21 and basically we have X amount of machines on,</p> <p>22 and you know, there's 1,000 megawatts of load</p> <p>23 and if you look at the rating of the machines</p> <p>24 or the ability, we may have 100 megawatts</p> <p>25 reserved. You do not go up to 100 megawatts</p>
Page 175	Page 176
<p>1 or run right up to the pins, if you will,</p> <p>2 before you start to initiate another</p> <p>3 generation source. You have to maintain a</p> <p>4 reserve. You have to look at the expected</p> <p>5 load increase. If it's coming up around</p> <p>6 suppertime or in the evening, you know, 4-</p> <p>7 5:00, the load starts to pick up as people go</p> <p>8 home and start to turn on their electrical</p> <p>9 appliances. So the operator has to be kind of</p> <p>10 one step ahead, knowing where it's going to</p> <p>11 be. He also has in the back of his mind if</p> <p>12 there's any work ongoing, if there's any</p> <p>13 potential for losing a machine because of</p> <p>14 something in the system or a customer is</p> <p>15 picking up load. He has to be one step ahead</p> <p>16 of that. You don't wait until you have no</p> <p>17 reserve before you start a machine. If you</p> <p>18 did that, if something happened that there was</p> <p>19 an unanticipated load increase or if you, you</p> <p>20 know, lost a machine or there was some run</p> <p>21 back on load, you may--the machines would not</p> <p>22 have any room to go. Something like operating</p> <p>23 a car, I mean, if you operate your car with</p> <p>24 the gas pedal to the floor, which I don't</p> <p>25 recommend, by the way, but if you operate the</p>	<p>1 car that way and you had some reason to pick</p> <p>2 up speed to avoid something, you got nowhere</p> <p>3 to go. On the system, on a hydro unit and a</p> <p>4 thermal unit, the system has the same thing.</p> <p>5 If it's operating, all the valves are wide</p> <p>6 open, the wicket gates are fully open, there's</p> <p>7 nowhere to go. Somebody comes on with 15</p> <p>8 megawatts of load and your frequency</p> <p>9 deteriorates. So you have to maintain that</p> <p>10 reserve on a day-to-day basis.</p> <p>11 Q. Okay. And that takes us back then to, at some</p> <p>12 stage if we have--let's just assume we have</p> <p>13 one of Holyrood's units running and it's at,</p> <p>14 as we looked at in NP-172, an efficient</p> <p>15 stream, depending on how much energy you're</p> <p>16 going to--how much demand is on the system,</p> <p>17 you may run a hydraulic plant and at some</p> <p>18 stage, you might then bring in a second</p> <p>19 Holyrood unit and shut down a hydraulic plant.</p> <p>20 Is that essentially correct?</p> <p>21 A. You wouldn't bring in a Holyrood unit on a</p> <p>22 short-term thing, because it takes, you know,</p> <p>23 a couple of days to get it to go.</p> <p>24 Q. Fair enough, yes.</p> <p>25 A. But you would--you know, a more apt comparison</p>

Page 177	Page 178
<p>1 MR. HAYNES:</p> <p>2 would be that you may bring on another hydro</p> <p>3 unit to have there running at, you know, at</p> <p>4 some load so it has room to go, to pick up</p> <p>5 load.</p> <p>6 Q. So the short-term peaks over a number of days</p> <p>7 are covered by hydraulic, but then as we get</p> <p>8 into the winter period, at some stage that</p> <p>9 demand is then going to grow and then, do I</p> <p>10 understand you correctly, you'd bring a second</p> <p>11 Holyrood unit online and get it up to maximum</p> <p>12 efficiency then as quickly as possible,</p> <p>13 adjusting your hydraulic production?</p> <p>14 A. You would attempt to put Holyrood on at a very</p> <p>15 high efficiency. It wouldn't necessarily be</p> <p>16 at the 175 megawatts, but you would still need</p> <p>17 a little bit of room to go, but it will be</p> <p>18 close.</p> <p>19 Q. Right.</p> <p>20 A. Because it's more efficient that way.</p> <p>21 Q. Exactly. Okay. And so what you're then doing</p> <p>22 is using your hydraulic resources, turning</p> <p>23 them on and off, to meet the available peaks</p> <p>24 during the whole system year? That fair?</p> <p>25 A. For the most part. I mean, there's a lot of</p>	<p>1 other factors involved in that decision, but</p> <p>2 that is, on a all things being equal basis,</p> <p>3 that's more or less the way we apply it.</p> <p>4 Q. And as you take water out of that system or as</p> <p>5 you talk about it in your graph, as you take</p> <p>6 energy out of that hydraulic system, then</p> <p>7 that's energy that is not available then at</p> <p>8 other times. So we come back to ultimately</p> <p>9 the cost, the marginal cost on the system is</p> <p>10 the cost of producing out of Holyrood? Is</p> <p>11 that correct? Same analysis?</p> <p>12 A. That's my interpretation, yes.</p> <p>13 Q. Okay. All right. Now if I could magically</p> <p>14 move some of my production from one point in</p> <p>15 time to another point in time, I still</p> <p>16 ultimately have that marginal cost at Holyrood</p> <p>17 in the short term, don't I? In other words,</p> <p>18 if I move it from 5:00 in the night to</p> <p>19 midnight, I still have that same marginal cost</p> <p>20 because I'm either going to burn it at</p> <p>21 Holyrood in oil or take energy out of my</p> <p>22 storage, as we've ultimately talked about?</p> <p>23 A. All things being equal, yeah, probably.</p> <p>24 Q. And if I move it from the winter to the</p> <p>25 summer, if I could somehow magically move my</p>
Page 179	Page 180
<p>1 loads from winter to summer, appreciate that's</p> <p>2 not easy to do, but if I could do that, I</p> <p>3 would still have either water or oil out of</p> <p>4 Holyrood and then I'd still be at 5.13 cents,</p> <p>5 essentially correct?</p> <p>6 A. If you assume that the energy requirements do</p> <p>7 not change, but sometimes when you do that</p> <p>8 around, you also change the overall energy</p> <p>9 needs of the customers because there's a</p> <p>10 moving around. It's not always--you don't</p> <p>11 necessarily move a demand and not have some</p> <p>12 impact on the energy, but it may not be large.</p> <p>13 Q. I may move and actually end up with an</p> <p>14 increase in energy, couldn't I?</p> <p>15 A. I'm not sure.</p> <p>16 Q. Well, let me just give you a hypothetical. If</p> <p>17 I moved--if I might try to create a rate</p> <p>18 structure that might, in fact, give me a lower</p> <p>19 price in the summer but I still got to heat</p> <p>20 all of the houses in the winter and I might</p> <p>21 increase an air-conditioning demand in the</p> <p>22 summer, mightn't I? So I could actually try</p> <p>23 to move demand and only increase energy load,</p> <p>24 possibly.</p> <p>25 A. I wouldn't agree with your air-conditioning</p>	<p>1 analogy because, you know--I wouldn't agree</p> <p>2 with that particular analogy of an air-</p> <p>3 conditioner. We don't have a big air-</p> <p>4 conditioning load, and I don't think that</p> <p>5 people would actually would go there because</p> <p>6 of the--well, maybe they would if it was a</p> <p>7 cheaper electricity, but I think by having a</p> <p>8 higher rate in the winter time or something</p> <p>9 like that, you actually discourage--you may</p> <p>10 improve your fact factor further and so on.</p> <p>11 Q. But I may increase the demand, load demand and</p> <p>12 energy demand elsewhere in the system?</p> <p>13 A. It's possible, but I'm not--you know, I'm not</p> <p>14 exactly sure of what the numbers are. You</p> <p>15 would have to do an econo-metric analysis to</p> <p>16 look at and perceive what that would be, but I</p> <p>17 think it would be small.</p> <p>18 Q. Has Hydro done any kind of econo-metric</p> <p>19 analysis like that?</p> <p>20 A. With respect to?</p> <p>21 Q. Moving from one period to the other and the</p> <p>22 effects on demand and energy? In your</p> <p>23 production division, have you done it?</p> <p>24 A. I'm not sure that we've actually done a study</p> <p>25 like that. Our view is that, I guess, by</p>

Page 181	Page 182
<p>1 MR. HAYNES:</p> <p>2 having, you know, a demand energy rate that</p> <p>3 you would actually improve the overall</p> <p>4 efficiency of the system. You may curtail</p> <p>5 some electrical growth expansion in the</p> <p>6 winter, which is a positive, because of our</p> <p>7 marginal costs and delay next sources.</p> <p>8 Q. Yes. But have you done--has anybody in the</p> <p>9 production division that reports to you done</p> <p>10 any kind of these econo-metric type studies?</p> <p>11 A. Not in recent times, to my knowledge, have we</p> <p>12 undertook any extensive review.</p> <p>13 Q. How far back in time?</p> <p>14 A. Well, I can only speak to 2001, that I'm aware</p> <p>15 of. I don't think we've done--I'm not sure of</p> <p>16 prior.</p> <p>17 Q. Not within any knowledge that you have?</p> <p>18 A. No, not that I have.</p> <p>19 Q. Okay. Now I want to go next and pick up a</p> <p>20 point that we touched on a little bit as we</p> <p>21 went through. Let's go back to your Schedule</p> <p>22 2, just to kind of set the stage for this one.</p> <p>23 Schedule--there we go. Now in that schedule,</p> <p>24 for example, near the bottom, we have a total</p> <p>25 net capacity of 1,919 megawatts and it</p>	<p>1 includes Newfoundland Power's production of 93</p> <p>2 in hydroelectric and 54 in thermal. See that?</p> <p>3 A. Yes.</p> <p>4 Q. Okay. And all of the generation, including</p> <p>5 Newfoundland Power's and Hydro's thermal, has</p> <p>6 an impact on the timing of the next generation</p> <p>7 addition for capacity purposes, doesn't it?</p> <p>8 (1:15 p.m.)</p> <p>9 A. It affects the LOLH, yes.</p> <p>10 Q. Affects the LOLH, okay. And let's just kind</p> <p>11 of try to go through this. You have your</p> <p>12 exhibit JRH No. 3, which is the report on the</p> <p>13 cost of service assignments.</p> <p>14 A. Yes.</p> <p>15 Q. And if you go to page 7 of that, you do</p> <p>16 something called a reliability assessment and</p> <p>17 I want to get you to walk us through how this</p> <p>18 works and let's start with what it means.</p> <p>19 What's a reliability assessment?</p> <p>20 A. Just one second please.</p> <p>21 Q. Sure.</p> <p>22 A. I guess what was actually done in that</p> <p>23 particular review is that this report was</p> <p>24 specific to the GNP, Doyles-Port aux Basques</p> <p>25 and the Burin systems. We went down through</p>
Page 183	Page 184
<p>1 and looked at the impact on the LOLH of not</p> <p>2 having that particular generation available,</p> <p>3 if it was not there to serve the overall needs</p> <p>4 of our customers.</p> <p>5 Q. Okay.</p> <p>6 A. And that information was presented in a table</p> <p>7 there further on.</p> <p>8 Q. Okay. And if we go to that table, which is--</p> <p>9 we started with your Table 8, and then we go</p> <p>10 over to your Table 3.3 on page 12.</p> <p>11 A. Yes.</p> <p>12 Q. In fact, perhaps if we just scroll back to</p> <p>13 page 11 first and put up that table. That's</p> <p>14 the same one we looked at at Table 8 in your</p> <p>15 evidence, isn't it?</p> <p>16 A. That's correct.</p> <p>17 Q. With the identical data?</p> <p>18 A. That's correct.</p> <p>19 Q. Okay. Now just take us over to page 12, and</p> <p>20 just explain what you did in this table here</p> <p>21 and what the impact is of these various plants</p> <p>22 on the system planning.</p> <p>23 A. Okay. In the first heading, which is called</p> <p>24 Base Case, that basically is a duplication of</p> <p>25 what is in Schedule 8. That basically assumes</p>	<p>1 that we have basically 1919 megawatts</p> <p>2 available, and in 2011, we have a 3.5 LOLH</p> <p>3 criteria, you know, that's when we would</p> <p>4 actually see having a close look at new</p> <p>5 sources. In the next column, which says less</p> <p>6 the GNP, we have only excluded the GNP</p> <p>7 generation, which is roughly 15.1 megawatts.</p> <p>8 So we actually end up with 1904 megawatts</p> <p>9 available. And it basically moves the LOLE</p> <p>10 two years to 2009. The next case was at</p> <p>11 Doyle's-Port aux Basques. We put back the GNP</p> <p>12 in service and we took out the Doyle's-Port</p> <p>13 aux Basques generation, which was 15.8</p> <p>14 megawatts, leaving 1903 total capability, and</p> <p>15 that basically, slightly difference in the</p> <p>16 numbers there in the decimal places further</p> <p>17 on, but basically, it's still at 2009. When</p> <p>18 we go to the Burin Peninsula system, which has</p> <p>19 a lot more generation, we actually--you know,</p> <p>20 with Doyles, the GNP and Doyle's-Port aux</p> <p>21 Basques back in, the Burin Peninsula system</p> <p>22 has 34.7 megawatts of generation in total on</p> <p>23 that system and when we actually take that</p> <p>24 out, we actually move the capacity issue from</p> <p>25 2011 back to 2007, you know, four-year change</p>

Page 185

Page 186

1 MR. HAYNES:

2 based on that.

3 Q. And that's just the Burin Peninsula, not  
4 Doyles and Great Northern Peninsula?

5 A. No, these three columns in the middle are by  
6 the each, if you will. The GNP only removed,  
7 Doyle's only removed, the Burin Peninsula only  
8 removed. In the last column, and we also did  
9 the energy balance that particular time as  
10 well, but in the last column, we actually took  
11 out the GNP, Doyle's-Port aux Basques and the  
12 Burin systems and the LOLH ended up being  
13 three and a half in 2004, which basically is  
14 just next year. That's a total of 65.6  
15 megawatts removed from that particular  
16 analysis, and the energy was also--it didn't  
17 change the year, but there was a slight change  
18 in the actual number from 10 to 61.

19 Q. So if you didn't have all of those thermal  
20 units, that generation capacity, then you  
21 would have an LOLH problem or a capacity  
22 problem for 2004?

23 A. Yes, that's correct. In fact, it effectively  
24 removes 65 or 66 megawatts from the portfolio  
25 of generation that's available to meet all

1 customers needs.

2 Q. And that's that probabilistic scenario that  
3 you talked about with the computer model about  
4 an hour ago, I guess now, in your evidence?

5 A. Yes, that's correct.

6 Q. Okay. Now just so we get a sense as to what  
7 plants we're talking about here, just scroll  
8 back to page five of your evidence, where you  
9 have a table there, in this report. There we  
10 go. So the ones up on the Great Northern  
11 Peninsula, we have a diesel in Hawke's Bay and  
12 Roddickton, a small hydro plant in Roddickton  
13 and another diesel in St. Anthony?

14 A. Most of these are, you know, two or three  
15 diesels or four diesels in a plant. They're  
16 not one single machine, but the plant itself,  
17 the facility is -

18 Q. The totality of that particular plant.

19 A. The totality. Hawke's Bay has five megawatts  
20 and Roddickton, 1.7.

21 Q. Okay. And if we look at Doyle's, these are  
22 Newfoundland Power generation?

23 A. That's correct.

24 Q. We have a diesel in Port-aux-Basques, a gas  
25 turbine and Rose Blanche hydro for 15.8, and

Page 187

Page 188

1 we come down to the Burin Peninsula, there's  
2 the Green Hill turbine, some hydro at West  
3 Brook, Lawn, Salt Pond, and your facility at  
4 Paradise River?

5 A. Yes, that's correct.

6 Q. For approximately about 35. Now does it  
7 matter for purposes of system capacity where  
8 any of these plants are located?

9 A. As long as the plants are connected to the  
10 grid, and when I say the grid, it does not  
11 have to be connected to the bulk, you know,  
12 the Newfoundland and Labrador Hydro owned  
13 facility. As long as it's connected to the  
14 system anywhere, it will assist in serving  
15 this purpose of meeting our LOLH criteria. It  
16 can be in Port aux Basques. It can be at the  
17 three extreme ends of the system, and it will  
18 be of benefit to the system.

19 Q. So, it would be--whether it's in St. Anthony  
20 or Grand Falls or St. John's, it doesn't  
21 matter in terms of the impact on capacity?

22 A. It has not significant impact on capacity.

23 Q. Now, let's just go back to your Schedule 2 for  
24 a moment, keeping in mind what we've just  
25 looked at on page 5 here. And there are a

1 number of other Newfoundland Hydro systems,  
2 gas turbines in Stephenville, Holyrood, for  
3 example and there are other thermal stations,  
4 Newfoundland Power, small hydro electric  
5 stations as well. Do all of them fulfil the  
6 same type of function? In other words, you  
7 have them in there as part of capacity in this  
8 LOLH?

9 A. Yes.

10 Q. So, it's the same type of analysis, they're  
11 all used and useful for the purpose of meeting  
12 that LOLH planning criteria.

13 A. You wouldn't get into a discussion on the  
14 assignment of plant because they're buried in  
15 your system, an auxiliary point, but they all  
16 factor into the LOLH calculation. They are  
17 available and, you know, through control  
18 centre, to Newfoundland Power, that can be  
19 turned on or whatever. That is the norm.

20 Q. And they go into your calculation for what you  
21 do for overall system planning for the next  
22 generation for capacity purposes?

23 A. Yes, and I think that's in line with, I guess,  
24 our approach or what we've done for years,  
25 that basically we have looked at the overall

Page 189	Page 190
<p>1 MR. HAYNES:</p> <p>2 island energy and capacity needs and basically</p> <p>3 we have, if you will, by and large,</p> <p>4 backstopped those things for demand and</p> <p>5 energy.</p> <p>6 Q. Okay. Now -</p> <p>7 A. It's appropriate that Hydro consider that in</p> <p>8 the LOLH calculation which would be the</p> <p>9 overall system planning.</p> <p>10 Q. Okay. Now, let's just go to page 15 of your</p> <p>11 report again, JRH 3, if we could just go back</p> <p>12 there and this is in the first sentence in</p> <p>13 paragraph 3, there you go. It talks about the</p> <p>14 Industrial--this is in the last GRA--the</p> <p>15 Industrial Customers presented argument to the</p> <p>16 effect that since the Great Northern Peninsula</p> <p>17 generation assets have seldom been operated</p> <p>18 from either generation capacity shortage since</p> <p>19 their introduction in 1996, therefore, they</p> <p>20 did not provide substantial benefit to</p> <p>21 customers outside the Great Northern</p> <p>22 Peninsula. And then in the following</p> <p>23 paragraph, you go on, scroll down a bit, you</p> <p>24 talk about two occasions where the value of</p> <p>25 the reserve capacity was demonstrated. And</p>	<p>1 I'd like you to take us through those and</p> <p>2 explain them to the Board.</p> <p>3 A. Yes, I think there's--in January 2003 we had a</p> <p>4 lightening failure at Oxen Pond which caused</p> <p>5 us a fair bit of system upset and basically in</p> <p>6 restoring the system to service, you know, the</p> <p>7 generation was turned on and any generation</p> <p>8 that's provided in such a situation allows</p> <p>9 more of generation--there's more generation to</p> <p>10 meet everybody's needs, to pick the system up</p> <p>11 again sooner and so on. That would be kind of</p> <p>12 standard operating procedure, to call upon</p> <p>13 those units to help out and do what they're</p> <p>14 designed and intended to do. I wouldn't say,</p> <p>15 shouldn't say designed, some of these units, I</p> <p>16 guess, are a fall over from other times, but</p> <p>17 they are used and useful to do that and I</p> <p>18 would add that they were used twice in 2003</p> <p>19 when we had some issues on the system as</p> <p>20 recently as a little while ago when we had the</p> <p>21 Bay D'Espoir problem that we spoke about a</p> <p>22 while go.</p> <p>23 Q. Okay.</p> <p>24 A. That the generation on the GNP was called in</p> <p>25 to play and so on.</p>
Page 191	Page 192
<p>1 Q. You talk about two in 2003, is that in</p> <p>2 addition to the January 30th incident?</p> <p>3 A. I guess there one's--there's a new one in</p> <p>4 September, in September when we lost the Bay</p> <p>5 D'Espoir, we had difficulties at Bay D'Espoir</p> <p>6 with the station service and lost the plant,</p> <p>7 those--the GNP generation was called into</p> <p>8 play.</p> <p>9 Q. Facilities were called--okay, and that would</p> <p>10 be--that's a good example because that is</p> <p>11 actually after Granite Canal and after the</p> <p>12 NUGS come into existence, correct?</p> <p>13 A. That's correct.</p> <p>14 Q. Okay, can you just touch briefly on the</p> <p>15 January 31st, 2002 example?</p> <p>16 A. Do you mean 2003?</p> <p>17 Q. No, you have two, if--you talk on the--as you</p> <p>18 go down to page 16 there's, I believe,</p> <p>19 another--end of page 15, a year earlier on</p> <p>20 January 31st 2002 the load on the</p> <p>21 interconnected system was at an all-time peak.</p> <p>22 All three units at Holyrood were operating at</p> <p>23 near full capacity and hydraulic production on</p> <p>24 the system was near peak capacity. Could you</p> <p>25 just explain what happened then, what the</p>	<p>1 point is you're making here?</p> <p>2 A. I apologize. Can you just point me to the</p> <p>3 page again there?</p> <p>4 Q. The bottom of 15, last -</p> <p>5 A. Okay, I'm sorry, okay.</p> <p>6 Q. - and a couple of sentences in the top of 16.</p> <p>7 A. Yes, I guess, in 2002, I think that was our</p> <p>8 record peak and basically all our resources</p> <p>9 deployed there and if we had lost one of the</p> <p>10 Holyrood machines which is basically 175</p> <p>11 megawatts which is our biggest single source</p> <p>12 of generation, if anything had happened to</p> <p>13 that particular machine, we had to run back on</p> <p>14 load or tripped or whatever, we would have had</p> <p>15 to call in the gas turbines and any resource</p> <p>16 that we could. It was 175 megawatts which is</p> <p>17 a major component of our generation and we</p> <p>18 would have basically pulled all stops, diesel,</p> <p>19 gas turbines, whatever is required to get that</p> <p>20 load back on.</p> <p>21 Q. Okay. So, these three examples show the value</p> <p>22 of these small generation facilities, whether</p> <p>23 they're yours or Newfoundland Powers and</p> <p>24 whether, for example, on the Northern</p> <p>25 Peninsula or out in Wesleyville?</p>



1 MR. HAYNES:

2 A. Doesn't matter the location.

3 Q. Doesn't matter. Chair, this would be a good  
4 place to break.

5 CHAIRMAN:

6 Q. Thank you, Mr. Kelly, Mr. Haynes. I guess  
7 tomorrow is a fairly important day throughout  
8 the province, being election day, and I think  
9 the only formal requirement that I know of is  
10 that everybody must have four clear hours to  
11 vote. I think that can be established or that  
12 can be accommodated within the schedule we  
13 have. Certainly, I think we'll be just  
14 sitting at the normal hours tomorrow and if my  
15 math serves me correctly, that gives everybody  
16 six and a half hours. So, we should have  
17 ample time. Anyway, we'll see you at 9:00 in  
18 the morning. Thank you.

19 Upon conclusion.

1 CERTIFICATE

2 I, Judy Moss Lauzon, hereby certify that the  
3 foregoing is a true and correct transcript in the  
4 matter of Newfoundland and Labrador Hydro's 2003  
5 General Rate Application for approval of, among  
6 other things, its rates commencing January, 2004,  
7 heard on the 20th day of October, A.D., 2003 before  
8 the Board of Commissioners of Public Utilities,  
9 Prince Charles Building, St. John's, Newfoundland  
10 and Labrador and was transcribed by me to the best  
11 of my ability by means of a sound apparatus.  
12 Dated at St. John's, Newfoundland and Labrador  
13 this 20th day of October, A.D., 2003  
14 Judy Moss Lauzon