

Page 1	Page 2
<p>1 LIST OF UNDERTAKINGS</p> <p>2 1. Undertaking Pg. 138</p> <p>3 2. Undertaking Pg. 154</p> <p>4 3. Undertaking Pg. 169</p>	<p>1 (9:07 a.m.)</p> <p>2 CHAIRMAN:</p> <p>3 Q. Good morning. Thank you. Seems like a pretty</p> <p>4 decent day out there for an election. Could</p> <p>5 prove to be interesting, I'm sure, before it's</p> <p>6 all over. Good morning, Ms. Newman, are there</p> <p>7 any preliminary matters before we begin?</p> <p>8 MS. NEWMAN:</p> <p>9 Q. Good morning, Chair. No, there are no</p> <p>10 preliminary matters I'm aware of.</p> <p>11 CHAIRMAN:</p> <p>12 Q. Thank you. Good morning, Mr. Haynes. Mr.</p> <p>13 Kelly, when you're ready, please.</p> <p>14 KELLY, Q.C.:</p> <p>15 Q. Thank you, good morning, Chair. Mr. Haynes,</p> <p>16 good morning.</p> <p>17 A. Morning.</p> <p>18 Q. When we broke yesterday we had looked at some</p> <p>19 of the system characteristics and how Hydro</p> <p>20 goes about planning for future generation and</p> <p>21 we had also looked at where the various</p> <p>22 thermal units and other small units around the</p> <p>23 island fit into that structure. And I want to</p> <p>24 take you next along that same line to the</p> <p>25 report filed by the Industrial Customers by</p>
Page 3	Page 4
<p>1 Intergroup Consultants, Mr. Bowman and Osler.</p> <p>2 I want to take you to page 10 of that report</p> <p>3 at line 3.</p> <p>4 A. Yes.</p> <p>5 Q. Do you have that?</p> <p>6 A. Yes.</p> <p>7 Q. Beginning at line 3, the authors write, "In</p> <p>8 other words, the current 2004 test year</p> <p>9 generation and transmission complement and the</p> <p>10 2004 test year revenue requirement reflects a</p> <p>11 plant in service that is in excess of what is</p> <p>12 considered by Hydro to be required to properly</p> <p>13 service the 2004 loads." And I'd like to ask</p> <p>14 you, as the Production Vice-President, as to</p> <p>15 whether you agree that the plant in service is</p> <p>16 in excess of what you consider is required to</p> <p>17 service the loads?</p> <p>18 A. No, I don't think what we have in service is</p> <p>19 in excess of what's required to meet the loads</p> <p>20 given our criteria that we operate by.</p> <p>21 Q. And let's take that in a number of pieces now.</p> <p>22 As you add generation capacity to the system,</p> <p>23 take, for example, Granite Canal--that</p> <p>24 usually--well, it always comes in in block</p> <p>25 increments, doesn't it. There isn't some</p>	<p>1 ability to simply magically have it added on a</p> <p>2 straight line every year.</p> <p>3 A. No, that's correct.</p> <p>4 Q. And in fact, Mr. Brockman talked about it in</p> <p>5 his evidence as being lumping. So through the</p> <p>6 entire plan cycle you go through essentially</p> <p>7 cycles of forecasting and energy shortfall or</p> <p>8 capacity shortfall, then figuring out what</p> <p>9 plant is building that plant until then a new</p> <p>10 forecast indicates that a plant is then</p> <p>11 required again in another number of years. So</p> <p>12 you go through these cycles of building?</p> <p>13 A. Yes, that's correct.</p> <p>14 Q. Now, if we look at your table 8 again -</p> <p>15 A. Yes. If we could get Mr. O'Reilly to -</p> <p>16 MR. KENNEDY:</p> <p>17 Q. Page 37, Mr. O'Reilly.</p> <p>18 KELLY, Q.C.:</p> <p>19 Q. If we look at that, even in 2004, as we talked</p> <p>20 about yesterday, you still have a loss of load</p> <p>21 hours on your probabilistic model of 1.1</p> <p>22 hours.</p> <p>23 A. Yes.</p> <p>24 Q. And so these plants that we've talked about</p> <p>25 are not excess because they're required to</p>

Page 5	Page 6
<p>1 KELLY, Q.C.:</p> <p>2 meet that capacity as may be necessary from</p> <p>3 time to time.</p> <p>4 A. That's correct.</p> <p>5 Q. Now, can I take you to page 28 of the Osler</p> <p>6 document at line 7. And at line 7 the authors</p> <p>7 write, "The current situation allows for a</p> <p>8 serious review of the island interconnected</p> <p>9 generating plant in service, what role each</p> <p>10 unit plays in providing the system with</p> <p>11 appropriate levels of reliability and whether</p> <p>12 a portion of the generating complement in fact</p> <p>13 is not required for service to the entire grid</p> <p>14 as opposed to perhaps being simply of local</p> <p>15 benefit to radial loads for the purpose of</p> <p>16 voltage control supply during outages,</p> <p>17 etcetera." Can I get you to comment on the</p> <p>18 desirability or appropriateness of reviewing</p> <p>19 in kind of little time blocks whether a</p> <p>20 particular piece of plant is important or</p> <p>21 whether it's needed to look across a longer</p> <p>22 time frame. Just explain that to the Board.</p> <p>23 A. I guess when you plan new generation, as you</p> <p>24 mentioned, or implied, that you don't actually</p> <p>25 build a megawatt when you need a megawatt.</p>	<p>1 You evaluate the LOLH criteria that we'll</p> <p>2 review. And basically the 2.8 hours per year</p> <p>3 kind of equates--it does equate to</p> <p>4 approximately 16 percent reserve. And when</p> <p>5 you build a new plant, you don't build to meet</p> <p>6 specifically 16 percent reserve, it's the</p> <p>7 function of the economics of the alternatives</p> <p>8 that are available. And in 2004 we're up, you</p> <p>9 know, approximately 20 percent reserve. And</p> <p>10 basically we will, as the load increases over</p> <p>11 time, that will come down to a 16 percent or--</p> <p>12 and the 16 percent may change, that's not a</p> <p>13 concrete number, depending on the load factor</p> <p>14 and so on. And then that will trigger new</p> <p>15 generation sources to be required. So you</p> <p>16 just can't build a plant and then exclude a</p> <p>17 bunch of small generation that is still used</p> <p>18 and useful to the system.</p> <p>19 Q. And that would be true for all the type of the</p> <p>20 plants we talked about yesterday, whether</p> <p>21 Great Northern Peninsula, Burin Peninsula, or</p> <p>22 out in Wesleyville?</p> <p>23 A. Yes, that is correct. And I guess in</p> <p>24 Wesleyville that would be a Newfoundland Power</p> <p>25 plant but it all helps the overall island,</p>
Page 7	Page 8
<p>1 interconnected load, whether it's Newfoundland</p> <p>2 Hydro's generation or load or Newfoundland</p> <p>3 Power's or the Industrial Customers. It's a</p> <p>4 benefit to all customers.</p> <p>5 Q. I'd like to go to a related matter next and</p> <p>6 this is the generation credit for Newfoundland</p> <p>7 Power. I don't want to get bogged down in</p> <p>8 cost-of-service discussion with you but how</p> <p>9 this works in principle. Can I take you to</p> <p>10 NP-215 as a starting point.</p> <p>11 A. Yes.</p> <p>12 Q. And the answer in 215 talks about the purpose</p> <p>13 of the generation credit, to provide a credit</p> <p>14 that represents the capacity value that NP's</p> <p>15 generation brings to the island interconnected</p> <p>16 system with respect to system planning and</p> <p>17 operations from which all customers benefit,</p> <p>18 and is credited as being consistently accepted</p> <p>19 since '77. I'd like to go through with you</p> <p>20 how that works now in practice. As I</p> <p>21 understand it, first of all, Newfoundland</p> <p>22 Power provides Hydro with its forecast peak</p> <p>23 requirements for your planning purposes?</p> <p>24 A. That's correct.</p> <p>25 Q. And that forecast is the full forecast first</p>	<p>1 of all before you take off any generation</p> <p>2 credits. In other words, you get the full</p> <p>3 native load forecast.</p> <p>4 A. For the island planning purposes that would be</p> <p>5 the appropriate number, yes.</p> <p>6 Q. And if we go to Schedule 2 of your evidence</p> <p>7 and we look at the various Newfoundland Power</p> <p>8 generation assets there, we have down towards</p> <p>9 the bottom, we have the hydro electric at 93.2</p> <p>10 and the thermal at 54.2. And those are net</p> <p>11 capacity numbers as we talked about yesterday,</p> <p>12 so before we get to any kind of reserves,</p> <p>13 reserved capacity that you touched on</p> <p>14 yesterday we're going to come back to.</p> <p>15 A. Yes, that's correct.</p> <p>16 Q. In other words that's just the rated capacity</p> <p>17 less the station service.</p> <p>18 A. Yes, the net generating plant capability.</p> <p>19 Q. Exactly, okay. So one possibility is if</p> <p>20 Newfoundland Power wanted to reduce peak, they</p> <p>21 could run all of those plants any time they</p> <p>22 got to a peak situation. But that would be</p> <p>23 inefficient for the system overall, wouldn't</p> <p>24 it?</p> <p>25 A. Not necessarily but I guess over peak it</p>

Page 9	Page 10
<p>1 MR. HAYNES: 2 likely would be, depending on how they planned 3 the system. 4 Q. Let's talk about--take the thermal, for 5 example. If you have water or number six fuel 6 capability at Holyrood available on the 7 system, it wouldn't make sense for the total 8 cost of the system for Newfoundland Power to 9 be running the Wesleyville gas turbine, 10 because it's more expensive power. Agree with 11 that? 12 A. Not if Holyrood has the ability to generate 13 more power. If it's maxed out, then it may be 14 gas turbines or diesels or whatever is 15 required over that particular peak. 16 Q. Right. So that - 17 A. There's not a pat answer, I don't think. 18 Q. No. But in the usual case, leaving aside 19 these peaks where there's no more capability 20 in Hydro's system, it would not make sense, 21 for example, to run Wesleyville as long as you 22 can provide the power from Bay d'Espoir or 23 Granite Canal or Holyrood. We agree on that? 24 A. Given that it's available elsewhere, that's 25 correct.</p>	<p>1 Q. Because we want to have least cost power. So 2 Newfoundland Power only runs those thermal 3 stations in really two situations; number one, 4 if Hydro calls upon it to meet overall system 5 peak, or if we have a problem, for example, 6 with a feeder line out to Wesleyville, a power 7 outage situation. You agree with that? 8 A. Yes. 9 Q. Now, let's look next at this reserve 10 percentage. And if we start--let's go to your 11 JRH No. 3 Exhibit at page 14 where there's a 12 discussion of that. 13 A. Page 14? 14 Q. Yes, page 14. And just explain to the Board, 15 it begins there under "System Operation", it 16 requires approximately 16 percent or 300 17 megawatts of reserved capacity to meet the 18 planning criteria. Can I get you to elaborate 19 on how that--what that means and if you could 20 explain that to the Board and as you come to 21 this you can also look at IC-293 which 22 provides some helpful information. 23 (9:20 a.m.) 24 A. I guess we undertook a review, I guess, of the 25 LOLH to determine what that means with respect</p>
Page 11	Page 12
<p>1 to reserve. And I guess at one point in time 2 we were at 18 percent and I guess--and there 3 are several things that affect that; the load 4 factor, the daily load shape and so on. And 5 that particular review resulted in that the 6 2.8 hours per year basically is approximately 7 16 percent reserve requirements with basically 8 300 megawatts of capacity, most of it, or a 9 lot of it is peaking capacity that's available 10 to help us get over that maximum predicted 11 peak that we would see. 12 Q. Okay. And if we go to IC-293, can we just put 13 that up on the screen? Can you explain there 14 how that 2.8 hours ties into the 16 percent 15 down at lines 13 through 15? 16 A. Yes. 17 Q. Anything else you need to add to that or is 18 that sufficient? 19 A. Well that's is. There is--the report that 20 actually does that is included in IC-158 if 21 there was other clarification required. But 22 the, you know, the actual deliberation or 23 determination of the 16 percent - 24 Q. Now, just go over to IC-294, the next--and we 25 looked at the first part of this yesterday.</p>	<p>1 This talks about where the reserve capacity 2 fits into the operating sequence in effect. 3 If I take you down to lines 19 through 22 - 4 A. Yes. 5 Q. Just explain how that reserve capacity issue 6 bears upon how you bring these units online 7 and how they're operated. 8 A. There was some discussion yesterday regarding 9 the loading of the units. The operator in the 10 control centre has to keep ahead of the load 11 growth, the--not the load growth on a long- 12 term basis, but on a daily load. For 13 instance, units come on in the mornings when 14 people get up and start to increase the 15 demands on electrical energy. They start in 16 the evening as well when people go home. So 17 the operator has to stay ahead of it. He has 18 to turn the units on. As well, we're not 19 interconnected to the mainland grid so there's 20 a frequency regulation component which they 21 have to pay attention to. And you don't turn 22 on a machine and turn it up to the pins, as 23 I'll say. You don't turn it up on the maximum 24 output, it has nowhere to go. If the machine 25 has nowhere to go, in a sense you can't open</p>

Page 13	Page 14
<p>1 MR. HAYNES:</p> <p>2 the wicket gates more, you can't open the</p> <p>3 steam valve more, it cannot contribute to</p> <p>4 frequency regulation when the load goes up.</p> <p>5 It can contribute when the load goes down a</p> <p>6 little bit, but it's not a recommended place</p> <p>7 to be because the governors and so on usually</p> <p>8 need a little bit of latitude for chasing the</p> <p>9 frequency. They all move a little bit, some</p> <p>10 units more than others. So the operator, when</p> <p>11 he is dispatching loads, has to keep his eye</p> <p>12 to that. He has to maintain a reserve to look</p> <p>13 after if we lose a machine, sudden load pick</p> <p>14 up or sudden load loss. So you just don't</p> <p>15 turn the machines on to their maximum</p> <p>16 capability and then when you hit the pins,</p> <p>17 turn on another machine. You cannot operate a</p> <p>18 system that way.</p> <p>19 Q. Okay. Now, and the last part of this answer,</p> <p>20 lines 20 through 22 talk about the fact of</p> <p>21 therefore what you do is you bring Holyrood up</p> <p>22 to full capacity or capacity with some reserve</p> <p>23 left and then control the frequency or the</p> <p>24 reserve with the hydraulic unit?</p> <p>25 A. By and large, yes.</p>	<p>1 Q. Now, we're talking about the generation credit</p> <p>2 for Newfoundland Power and we looked at</p> <p>3 Schedule 2 which gave us the net capacity of</p> <p>4 Newfoundland Power's generation, but that full</p> <p>5 capacity is not used for the purpose in the</p> <p>6 generation credit, you take out this reserve</p> <p>7 component as well, first, don't you?</p> <p>8 A. The 16 percent is adjusted.</p> <p>9 Q. Let's just go to have a look at that at IC-</p> <p>10 306. And if we scroll down to the table at</p> <p>11 the bottom, you can just explain the capacity</p> <p>12 credit and how this works.</p> <p>13 A. Well, I guess on the revision, the</p> <p>14 Newfoundland Power coincident of peak is 1,084</p> <p>15 megawatts. And then it's also included in</p> <p>16 that then to be considered how much generation</p> <p>17 they have online at the time, which is</p> <p>18 considered to be 77-1/2 megawatts. So their</p> <p>19 native load; i.e., the total load that</p> <p>20 Newfoundland Power is serving is 1,161-1/2</p> <p>21 megawatts. And the expectation for</p> <p>22 Newfoundland Hydro is that we would provide in</p> <p>23 a normal situation, 1,084 megawatts. And the</p> <p>24 capacity credit, which is 94.6 megawatts,</p> <p>25 which you would also see in Schedule 2 is</p>
Page 15	Page 16
<p>1 actually divided by the 1.16 to give them the-</p> <p>2 -you know, they're giving credit on the same</p> <p>3 basis of the 16 percent reserve requirements.</p> <p>4 Q. So we get, the credit that we get takes off 16</p> <p>5 percent just like you needed it, across the</p> <p>6 whole system, correct?</p> <p>7 A. That number is used across the system, yes.</p> <p>8 Q. And so the credit for the hydraulic is the</p> <p>9 81,000 kilowatts or 81 megawatts and for the</p> <p>10 others, 37 and 6.</p> <p>11 A. That's correct.</p> <p>12 Q. Correct. Okay. And so the demand use for the</p> <p>13 cost-of-service allocation purposes, if we</p> <p>14 take the Newfoundland Power's forecast native</p> <p>15 demand, the peak demand and then we less the</p> <p>16 generation credit off of that, correct?</p> <p>17 A. Yes.</p> <p>18 Q. Now, as we saw in NP-215, the generation</p> <p>19 credit, that process has been used</p> <p>20 consistently since 1977?</p> <p>21 A. As I said, there were different reserve</p> <p>22 factors done as time changes, as load factor</p> <p>23 changes, but that's correct.</p> <p>24 Q. But the principle has been consistently</p> <p>25 applied.</p>	<p>1 A. The principle has been consistently applied.</p> <p>2 Q. Now I provided a hand-out which is from the</p> <p>3 February '93 Hydro cost-of-service</p> <p>4 methodology. I just want to have a quick look</p> <p>5 at that.</p> <p>6 MS. NEWMAN:</p> <p>7 Q. That will be information item No. 13.</p> <p>8 KELLY, Q.C.:</p> <p>9 Q. 13, thank you. And this question of the</p> <p>10 generation credit was looked at at that point</p> <p>11 in time and page four gives the various expert</p> <p>12 witnesses who testify that and we'll take you</p> <p>13 through that. But if you come over to page</p> <p>14 50, the issue in '93 was whether the mobile</p> <p>15 gas turbine at Port aux Basques was to be</p> <p>16 included for purposes of that generation</p> <p>17 credit, because the issue was it was mobile.</p> <p>18 And the Board concluded that because it is</p> <p>19 essentially tied into the system the bulk of</p> <p>20 the time and available to provide power, that</p> <p>21 it was appropriate to include that as part of</p> <p>22 the generation credit.</p> <p>23 A. Yes.</p> <p>24 Q. And that's one of the plants that we talked</p> <p>25 about that is still in place that still</p>

Page 17	Page 18
<p>1 KELLY, Q.C.:</p> <p>2 provides this assistance to your LOLH planning</p> <p>3 criteria we talked about earlier?</p> <p>4 A. That's correct.</p> <p>5 Q. And the Board reiterated its position on the</p> <p>6 generation credit in the P.U.7 and I won't</p> <p>7 take you back through that in any detail. Can</p> <p>8 I take you to Mr. Osler and Mr. Bowman for a</p> <p>9 moment at Section 6.3 which is on the bottom</p> <p>10 of page 28. And it begins at about line 20--</p> <p>11 we'll start at 24, or 25. "However, given the</p> <p>12 current situation of excess capacity until</p> <p>13 2011, three matters merit review", they</p> <p>14 suggest. One is the allocation of the GNP</p> <p>15 generation, as common. Two is Burin</p> <p>16 Peninsula. Mr. O'Reilly, if could just scroll</p> <p>17 over to the next page. Three is the provision</p> <p>18 to NP of the generation credit. So they tie</p> <p>19 in the generation credit to this question of</p> <p>20 excess capacity. Now, we've agreed, I take</p> <p>21 it, Mr. Haynes, that there is no excess</p> <p>22 capacity in the system in your view?</p> <p>23 A. There is no excess capacity in the system to</p> <p>24 meet our planning criteria of 2.8 hours per</p> <p>25 year.</p>	<p>1 Q. And so would you also agree with me that in</p> <p>2 terms of excess capacity, it is inappropriate</p> <p>3 to review the question of the generation</p> <p>4 credit calculation just as it is, for example,</p> <p>5 inappropriate to review the use of the</p> <p>6 generating facilities on the Great Northern</p> <p>7 Peninsula that belong to Hydro.</p> <p>8 A. I think the approach that's been proposed by</p> <p>9 Hydro is consistent in the application of all</p> <p>10 these generation sources.</p> <p>11 (9:30 a.m.)</p> <p>12 Q. Now let's turn next then to have a look at the</p> <p>13 question of the transmission line assignment.</p> <p>14 And I wanted to talk with you about the Burin</p> <p>15 line, in particular. Let's start by going to</p> <p>16 JRH No. 3 and we'll start with page 6 which</p> <p>17 has got, I believe, a plan. There we go--or a</p> <p>18 map. Can we scroll up a little bit more, Mr.</p> <p>19 O'Reilly, so we can get the Burin Peninsula in</p> <p>20 down there. Can you blow up the Burin part of</p> <p>21 it a bit, because that's what we really need</p> <p>22 to focus on. There we go.</p> <p>23 Now, perhaps we can just have a look,</p> <p>24 first of all, Mr. Haynes, and you can explain</p> <p>25 where these lines are when we look at who is</p>
Page 19	Page 20
<p>1 served with these lines? Can you just walk us</p> <p>2 through that?</p> <p>3 A. I guess the 138 kV line serving the Burin</p> <p>4 Peninsula ultimately terminate on the main</p> <p>5 grid at Sunnyside. TL-212 is from Sunnyside</p> <p>6 to Monkstown and there's a spur line to</p> <p>7 Paradise River which is a Hydro owned</p> <p>8 generating plant of eight megawatts. That</p> <p>9 lines continues on to Linton, eventually to</p> <p>10 Linton Lake and there's also another 138 kV</p> <p>11 line that goes from Sunnyside to Salt Pond.</p> <p>12 And on the foot of the peninsula, it connects</p> <p>13 the Green Hill gas turbine, the three plants</p> <p>14 of Newfoundland and Labrador Hydro and</p> <p>15 assuming that we do conclude on the wind</p> <p>16 contract, we'll include a 25 megawatt wind</p> <p>17 generating site at St. Lawrence, in that area.</p> <p>18 So there's a significant generation on the</p> <p>19 Burin Peninsula.</p> <p>20 Q. And the wind generation site, Lawn is shown</p> <p>21 there and that's approximately about where the</p> <p>22 wind generation site is going, down that Lawn,</p> <p>23 St. Lawrence area?</p> <p>24 A. I gather it's not too far from St. Lawrence,</p> <p>25 yes.</p>	<p>1 Q. Now, the TL-212 line, there are a number of</p> <p>2 Hydro rural customers along that line near</p> <p>3 Paradise River and the Linton Lake area?</p> <p>4 A. Yes, Petit Forte and there's a couple of</p> <p>5 isolated areas which were served by -</p> <p>6 Q. Okay.</p> <p>7 A. (Unintelligible) system.</p> <p>8 Q. And from--these lines, 219 and 212, these</p> <p>9 ultimately tie together with a loop down</p> <p>10 around through Green Hill and the bottom,</p> <p>11 which would be a Newfoundland Power line?</p> <p>12 A. Yes, I believe those lines are 66 kV in the</p> <p>13 loop.</p> <p>14 Q. Right. So, if, for example, we took the TL-</p> <p>15 212 line and that was out of service for some</p> <p>16 reason, either because of a transmission</p> <p>17 outage problem or because the line was out for</p> <p>18 maintenance, you're replacing insulators or</p> <p>19 line or whatever, then the other line services</p> <p>20 the load and vice versa?</p> <p>21 A. That's correct.</p> <p>22 Q. And you talked about the problem that you have</p> <p>23 up in Goose Bay where you have only one line</p> <p>24 so that the two-line system enables one line</p> <p>25 to be taken out for maintenance from time to</p>

Page 21	Page 22
<p>1 KELLY, Q.C.: 2 time? 3 A. That's correct. 4 Q. Have a look at page 18 of your JRH No. 3 for a 5 second. And I'd like to get you to explain to 6 the Board this transmission allocation 7 guideline that you set out there and why 8 you're proposing that as a reasonable 9 guideline. 10 A. I guess there are several different 11 considerations in allocating, or our proposed 12 allocation of transmission cost. You know, 13 we've been serving two customers. I guess the 14 guidelines were, it would be common plant, if 15 it serves generation and transmission--I'm 16 sorry, generation and so on, it's common 17 plant. But there are a lot of considerations, 18 you know, the size, the substantial benefits 19 to more than one customer and so on. So in 20 the whole, we have proposed that the Burin 21 Peninsula, because it serves two customers, 22 because it has significant generation and 23 significant generation I think is the key, 24 that it should be considered common. In the 25 Port aux Basques area, the generation is</p>	<p>1 similar to GNP. It's not as significant or a 2 bigger factor from the point of view of the 3 local transmission, but it's still an aid to 4 the overall system, still benefits all 5 customers in meeting our 2.8 hours per year 6 criteria. 7 Q. And as we looked at the table that's in the 8 report, we don't need to go back to it now, 9 but there is in total, some 34.7 megawatts of 10 generating capability already down on the 11 Burin Peninsula? 12 A. Yes. And the possibility of 25 more in the 13 near future. 14 Q. I want to just take you to that point at-- 15 let's just go to NP-219. And this talks about 16 that 25 megawatts of wind power. And that, I 17 take it, is a significant increase in the 18 capacity so it would now give us almost 59.7 19 down there. 20 A. That's correct, but I guess our 21 recommendation--Hydro's recommendation is with 22 or without the 25 megawatts, that the 34.7 is 23 still substantial enough to consider to be a 24 common - 25 Q. Yes and I don't quarrel with you with that but</p>
Page 23	Page 24
<p>1 I want to give the Board some sense of the 2 order of magnitude both with and without. And 3 if we just have a look at IC-339, for a 4 moment, the peak demand down on the Burin 5 Peninsula in 2002 which--that would only, I 6 take it, happen during the winter period, with 7 only 58.7 megawatts in total? 8 A. Yes. 9 Q. So, during a good part of the year the 10 capacity down there and certainly with the 11 wind when it comes on stream, the wind plant 12 in particular, will in fact provide generation 13 capability to the whole system, would it not, 14 Mr. Haynes, including customers off the Burin 15 Peninsula? 16 A. That's correct and consistent, consistent with 17 our proposed - 18 Q. Right. And so, would you agree with me that 19 the Burin facilities and the transmission 20 lines actually service three groups of 21 customers at least. Number one, the Hydro 22 rural; number two, the Newfoundland Power or 23 common ones, and also the Industrial Customers 24 by providing that capacity off the Burin--of 25 assistance to them.</p>	<p>1 A. Yes, that's correct. 2 Q. Now, I'd like to turn next and have a look at 3 number six fuel if I could. Kind of change 4 gears a little bit here. And I'd like to 5 start with--on this topic with Schedule 7 of 6 your evidence. 7 A. Yes. 8 Q. And as I understand from the first line there, 9 the fuel expense which is--this is the number 10 six fuel that we're talking about that your 11 forecasting for 2004 is 84.4 million dollars? 12 Scroll across to--as you go across--there, Mr. 13 O'Reilly has got his - 14 A. Yes. 15 Q. Now, I just want to try to understand that a 16 little bit first. The way that you kind of 17 work through this is we take the forecast 18 energy generation, take out what you can 19 produce with your hydraulic, that then gives 20 you what you're going to require for out of 21 Holyrood. And, as I understand it, from this 22 particular table, you need 1,790 gigawatt 23 hours out of Holyrood. Is that essentially 24 correct? 25 A. Yes, there are a few other considerations but</p>

Page 25	Page 26
<p>1 MR. HAYNES: 2 that is the major driver. 3 Q. That's the gist of it. And then you've got 4 that many gigawatts to get out of Holyrood and 5 you use a fuel conversion factor of 624 for 6 each barrel, and you determine from that, that 7 you need 2,868,830 barrels of oil, have I got 8 that much right? 9 A. That's correct. 10 Q. And just by way of curiosity, more than 11 anything else, how big is a barrel in litres 12 or gallons? 13 A. 42 US, 42 gallons. 14 Q. 42 US gallons? 15 A. I believe it's US gallons. 16 Q. And not to digress on that point, the number 17 of barrels, you then multiply by the fuel 18 price forecast which you told us is \$29.20, to 19 get the amount of money that you need? 20 A. Yes. 21 Q. And when you do that Math, 2,868,830 times 22 29.20 you get 83.8 million dollars. 83 23 million 769, to be more exact. And what we 24 were wondering about is you got a forecast of 25 84.4 and we're wondering where this other</p>	<p>1 \$600,000 comes from or goes to? 2 A. The average price at that time for 2004 was 3 based on a single number, but we do consider 4 the inventory going into the year so, you 5 know, there's some impact at the inventory at 6 the year end. So it wouldn't be strictly a 7 straight Math, particularly when we use a 8 single number for 2004, which is all what we 9 had from PIRA at the time. 10 Q. If it's already in inventory, why wouldn't 11 that be adjusted through the RSP? 12 A. Well, the inventory at the end of the year is-- 13 -what we have established in the oil tanks is 14 an average inventory price of whatever it 15 happened to be. It would not, I don't think-- 16 the field inventory is not part of the RSP 17 directly - 18 Q. There's roughly about \$600,000 extra in that 19 number over the \$29.20 for existing inventory? 20 A. I'm not sure of the exact mechanics or the 21 volume, but that's basically at the year end, 22 there is an allowance for inventory costs at 23 the time. There were RFIs answered to that 24 effect and giving some flow charts. 25 Q. We were trying to understand how that worked.</p>
Page 27	Page 28
<p>1 Okay. So the average kilowatt hour or the 2 conversion factor depends on the generating 3 efficiency of the plant, so that the higher 4 the fuel conversion or efficiency, the lower 5 the fuel cost over all? 6 A. The higher the overall efficiency of the 7 plant, the higher kilowatt hours per barrel 8 and that would reduce the actual cost of fuel. 9 Q. Now in 2002, the Board set it at 615, but 10 Hydro actually achieved, as you show on your 11 schedule here, 648, and if we go to IC-207, 12 and we scroll down towards the bottom of that, 13 that actually resulted in about a difference 14 of \$6 million in total of which 3.6 million, 15 in fact, would have accrued to Hydro's 16 benefit? 17 A. Yes, that's correct. 18 Q. Okay. 19 A. And if you go to Schedule 5, which shows the 20 chart, I mean, 2002 was an exceptionally high 21 production--a record production year for 22 Holyrood, which would naturally, all things 23 being equal, drive the efficiency factor up. 24 Q. Okay. And I take that point, but let's go 25 through a couple of other factors first and</p>	<p>1 then see if we can come back to that one. Can 2 I take you to NP-74? Let's just see how we 3 get these numbers first. At line 11 there, it 4 indicates how you get the 624, if we could 5 scroll up the table, Mr. O'Reilly, there you 6 go. You took the average for 1996 through to 7 2002, correct? 8 A. Yes, that's the weighted average, yes. 9 Q. Okay. And so you've got production data from 10 '96 all the way up to 2002, and why did you 11 take 1996? 12 A. In 1996, we installed--we purchased and 13 installed a program called Eta Pro at the 14 Holyrood plant, which basically assists the 15 operators in tweaking and maximizing the 16 efficiency. It looks at many operating 17 parameters in the plant to ensure that we stay 18 up as high as we possibly can. The operator 19 has a fair bit of control over internal plant 20 stuff and the system operations people also, 21 in the control centre, try to maximize the 22 loading required of the plant. 23 Q. So there was an improvement in efficiency in 24 1995, so you looked at the data then from 1996 25 on?</p>

Page 29	Page 30
<p>1 MR. HAYNES:</p> <p>2 A. There were new tools installed, effective in</p> <p>3 1996, that would aid the operator in achieving</p> <p>4 a higher number.</p> <p>5 Q. Okay. And can I suggest to you that there</p> <p>6 have been some improvements in output</p> <p>7 efficiency since 1995, in other words, from</p> <p>8 1996 on as well?</p> <p>9 A. There were a couple of projects which would</p> <p>10 help ensure that we stay up to our proposed</p> <p>11 624.</p> <p>12 Q. Okay. Let's look at IC-252 for a moment, and</p> <p>13 there are three projects that are talked about</p> <p>14 there. The water lance installation, the</p> <p>15 reheater tubing on No. 3, and the Continuous</p> <p>16 Emissions Monitoring System, and perhaps we</p> <p>17 could start by having you--you say in line 14,</p> <p>18 one and two should be considered together.</p> <p>19 Could you just explain to the Board what one</p> <p>20 and two were all about?</p> <p>21 (9:46 a.m.)</p> <p>22 A. There are three boilers in Holyrood,</p> <p>23 obviously, one for each unit. The first two</p> <p>24 machines are tangentially fire boilers, which</p> <p>25 means the guns or the burners, if you will,</p>	<p>1 are located in the corners of a square box on</p> <p>2 different elevations. No. 3 is a Babcock</p> <p>3 Wilcox boiler and basically it's front-fired.</p> <p>4 All the burners are on the front face of the</p> <p>5 boiler, and when it's firing, you tend to get</p> <p>6 build up on the back wall of the boiler, on</p> <p>7 the tubes. So what the water lance project</p> <p>8 did was basically install a device to go in</p> <p>9 there and inject the amounts of water to keep</p> <p>10 that area clean, you know, to reduce the build</p> <p>11 up of slag and so on, which basically impacts</p> <p>12 the amount of heat that can be transferred to</p> <p>13 the water wall. So that's what the water</p> <p>14 lance project was.</p> <p>15 The reheater retubing project, which was</p> <p>16 completed a couple of years ago, or a year and</p> <p>17 a half ago, was based on--and this was</p> <p>18 discussed at one of the Capital hearings, the</p> <p>19 reheater in Unit No. 3, you try to control the</p> <p>20 temperature of the main steam and the reheat</p> <p>21 steam to about 1,000 degrees C, and there was</p> <p>22 great difficulty from day one in trying to</p> <p>23 match those numbers, and what we did, we</p> <p>24 basically retubed the reheater, either added</p> <p>25 tubing or removed tubing to try to balance</p>
Page 31	Page 32
<p>1 that particular situation, and they're all on</p> <p>2 the same unit. That's the first two.</p> <p>3 Q. Okay. Before you go on to the next one, when</p> <p>4 were those two projects on No. 3 unit</p> <p>5 completed?</p> <p>6 A. I think they were completed in 2002, I believe</p> <p>7 they were actually finished.</p> <p>8 Q. Right. So that improvement in efficiency</p> <p>9 would not be in the data from 1996 through to</p> <p>10 2002? There might be some impact, but only in</p> <p>11 the year 2002? Would that be correct?</p> <p>12 A. I don't recall if the water lance project was</p> <p>13 actually completed in 2001. That may have</p> <p>14 been a little bit earlier than the reheater,</p> <p>15 but there would not be certainly prior to 2000</p> <p>16 any impacts of those changes.</p> <p>17 Q. Right. And in 2002, as we've already seen,</p> <p>18 that's when you got 648 kilowatt hours per</p> <p>19 barrel in any event.</p> <p>20 A. We suggest the biggest driving factor there</p> <p>21 was the fact that we had a very, very high</p> <p>22 average unit loading.</p> <p>23 Q. Okay. But those two projects at No. 3 unit,</p> <p>24 as we come down to line 22, equates to a plant</p> <p>25 efficiency improvements, in other words</p>	<p>1 overall at Holyrood, of two kilowatt hours per</p> <p>2 barrel?</p> <p>3 A. That would be the calculated number based on</p> <p>4 assuming that Unit No. 3 generates one-third</p> <p>5 of the production. Actually, it's more like</p> <p>6 close to one and a half. Unit No. 3 overall</p> <p>7 is not the most efficient machine, so it's not</p> <p>8 the favoured machine, if you go down through,</p> <p>9 you know, a priority loading system. So it's</p> <p>10 actually that particular number of two</p> <p>11 kilowatts is based on equal loading of the</p> <p>12 machines. It's more like one and a half</p> <p>13 actually, if you calculate the number.</p> <p>14 Q. For purposes of rounding here, call it two.</p> <p>15 A. Or one.</p> <p>16 Q. It's your number. Line 24, you then start,</p> <p>17 you then talk about the Continuous Emissions</p> <p>18 Monitoring Project. Perhaps we'll just get</p> <p>19 you to explain what that is next, first.</p> <p>20 A. The Continuous Emissions Monitoring Project</p> <p>21 was approved in the 2001/2002 budget, our</p> <p>22 capital, and it'll be completed--well, it's</p> <p>23 just being completed now as we speak,</p> <p>24 calibration and so on. Basically, it's</p> <p>25 primary role is to monitor our emissions, our</p>

Page 33	Page 34
<p>1 MR. HAYNES:</p> <p>2 environmental emissions, to give us a better</p> <p>3 handle on exactly what we're ejecting into the</p> <p>4 environment, CO2, et cetera, et cetera, and it</p> <p>5 does provide feedback to the operator to allow</p> <p>6 him to control particularly the excess air or</p> <p>7 oxygen and so on to tweak the burning process.</p> <p>8 And it's anticipated, based on industry</p> <p>9 numbers, that it can contribute to up to a</p> <p>10 half percent increase, which of 600 kilowatt</p> <p>11 hours would be three.</p> <p>12 Q. So that item in line 26 to 27 is anticipated</p> <p>13 to give you an improvement of about three</p> <p>14 kilowatt hours per barrel?</p> <p>15 A. On its own, all things being equal, that would</p> <p>16 be what we would anticipate. We have not</p> <p>17 proved that actually as yet, but certainly we</p> <p>18 hope to achieve that.</p> <p>19 Q. Okay. And that, of course, would not, because</p> <p>20 it's not yet in service, it's only going to</p> <p>21 come into service this fall, that is not</p> <p>22 reflected in any of the average numbers that</p> <p>23 we just looked at in NP-74, correct?</p> <p>24 A. We consider, I guess, our proposal of 624</p> <p>25 kilowatt hours per barrel, we consider these</p>	<p>1 two or three items to assure of being able to</p> <p>2 meet 624. There are so many variables that</p> <p>3 affect the conversion factor at Holyrood, with</p> <p>4 unit fouling and the conditions that this will</p> <p>5 assist us in meeting that and as we built on</p> <p>6 that over time, we will change our average</p> <p>7 appropriately or propose it be changed</p> <p>8 appropriately.</p> <p>9 Q. Just have a look at NP-207, and this is the</p> <p>10 experience for 2003 and for 2003 to the end of</p> <p>11 June, you are running 639 as your conversion</p> <p>12 factor?</p> <p>13 A. Yes, that's correct, and we've had some lesser</p> <p>14 months since.</p> <p>15 Q. Okay. Do you know what the current amount</p> <p>16 would be?</p> <p>17 A. The actual calculation for the end of</p> <p>18 September is 636. There's been a</p> <p>19 deterioration.</p> <p>20 Q. So 636 to the end of September?</p> <p>21 A. That's correct.</p> <p>22 Q. But that would account for Holyrood's slowest</p> <p>23 months of all, which would be June, July,</p> <p>24 August and September, would it not, when the</p> <p>25 load would be the least?</p>
Page 35	Page 36
<p>1 A. Yes, that's correct.</p> <p>2 Q. Okay. Now you talked about your loading graph</p> <p>3 and you could put up again, if you want, but</p> <p>4 we looked as we went through how the system</p> <p>5 operates, how you get Holyrood up to capacity</p> <p>6 less reserve first and then adjust the peak</p> <p>7 through the hydraulic units. We talked about</p> <p>8 that. So that having gotten these</p> <p>9 improvements in efficiency, can I suggest to</p> <p>10 you, Mr. Haynes, that because of the way you</p> <p>11 operate the system, these efficiency gains are</p> <p>12 able to be achieved by the way you load the</p> <p>13 system? Can I get you to comment on that?</p> <p>14 A. Yes. Obviously our target is to maximize the</p> <p>15 energy conversion factor, but when you look at</p> <p>16 that particular graph, that there basically is</p> <p>17 five or six years of data and depending on the</p> <p>18 average loading that you see in any particular</p> <p>19 year, you will have a lot of those, the</p> <p>20 scatter points, you know, on the high end.</p> <p>21 Like at 140 megawatts, you'll obviously see</p> <p>22 that we--if we can stay up there continuously</p> <p>23 and start the machine and load it to 140,</p> <p>24 which is not practical, there are a lot of</p> <p>25 other system conditions. There are unit</p>	<p>1 fouling issues between the condenser water</p> <p>2 temperature and, you know, heater performance,</p> <p>3 cooling water, condenser fouling, the amount</p> <p>4 of build up of ash and so on in the air</p> <p>5 preheaters all impact that number, and when</p> <p>6 you look at that particular chart, between 100</p> <p>7 and 120 megawatts, basically 30 percent of our</p> <p>8 operating monthly averages are actually</p> <p>9 between 100 and 120 megawatt number, not up at</p> <p>10 the 140. In fact, it's less than ten percent</p> <p>11 of the time that we're actually on average</p> <p>12 unit loading in excess of 140 megawatts, which</p> <p>13 would drive the conversion factor, as you see</p> <p>14 it there, to between 625-620 number.</p> <p>15 Q. But wouldn't that have been true now through</p> <p>16 the summer that we just came through, in 2003</p> <p>17 at Holyrood, in other words, you would have</p> <p>18 been down in those lower load levels?</p> <p>19 A. Well, not necessarily. When we're running the</p> <p>20 machines for voltage support, particularly on</p> <p>21 the shoulder months, it's usually at a lower</p> <p>22 loading. We wouldn't necessarily--we wouldn't</p> <p>23 actually burn oil or keep it at 140 megawatts</p> <p>24 if we didn't need to do it for hydraulic</p> <p>25 purposes, but we would keep it on for voltage</p>

Page 37	Page 38
<p>1 MR. HAYNES:</p> <p>2 support. We have to maintain some generation</p> <p>3 on the east coast, particularly in the</p> <p>4 shoulder months because of the load, and it's</p> <p>5 a major load area and there's very little</p> <p>6 generation here. So it's a very mixed bag of</p> <p>7 influencing factors between the hydrology</p> <p>8 system, the voltage conditions on the system,</p> <p>9 and as well when we have transmission lines</p> <p>10 out of service for maintenance. So there's a</p> <p>11 whole raft of factors that play into that</p> <p>12 overall what we're going to achieve at the end</p> <p>13 of the year. But we do strive to maximize it</p> <p>14 as best we can, yes.</p> <p>15 Q. And up to the end of September, you're running</p> <p>16 at 636 for 2003?</p> <p>17 A. That is our record to date for 2003.</p> <p>18 Q. When you file your updated evidence, do you</p> <p>19 intend modify the 624 number to reflect</p> <p>20 current data and the three projects we just</p> <p>21 looked at?</p> <p>22 A. It's not our intention to change that</p> <p>23 recommendation, no.</p> <p>24 Q. It is not?</p> <p>25 A. No.</p>	<p>1 Q. Okay. Is it possible to modify the table in</p> <p>2 NP-74 to assume those efficiencies that you</p> <p>3 told us about for the water lance</p> <p>4 installation, the Unit No. 3 rebuilder, as</p> <p>5 well as the experience for 2003 and come up</p> <p>6 with a modified composite number?</p> <p>7 A. You mean if we were to add five kilowatt hours</p> <p>8 per barrel?</p> <p>9 Q. Five to each of those and factor in the 2003</p> <p>10 performance?</p> <p>11 A. When you say to each of those, you mean to</p> <p>12 which particular ones?</p> <p>13 Q. Well, I guess, I have to leave it to you as to</p> <p>14 what you would do with the 2002 data, as to</p> <p>15 when some of those projects came on stream,</p> <p>16 but I don't think any of them, from your</p> <p>17 testimony, affected the earlier years. So if</p> <p>18 there's an improvement of approximately five</p> <p>19 kilowatt hours per barrel, that five would</p> <p>20 apply to what, '96 through 2001?</p> <p>21 A. It certainly wouldn't be appropriate to add</p> <p>22 that to--the water lance or the reheater to</p> <p>23 2002 because they were in service.</p> <p>24 Q. Yes, I understand that. But could it not be--</p> <p>25 could that not be done for the earlier data to</p>
Page 39	Page 40
<p>1 make them comparable to the plant that you're</p> <p>2 now running now and then also account for your</p> <p>3 2003 performance?</p> <p>4 A. Our recommendation is to--we've put in these</p> <p>5 projects. We would like to verify its, I</p> <p>6 guess, its improvement over a period of time</p> <p>7 and let the average look after it. We don't</p> <p>8 really recommend going back and trying to</p> <p>9 change that. There are so many variables out</p> <p>10 there that influence that number and as you</p> <p>11 will see in 2003, even with those projects in</p> <p>12 place, except the Continuous Emissions</p> <p>13 Monitoring, we had 605, in June we had 588 and</p> <p>14 I guess, in August and September, they were</p> <p>15 608 and 622. They were less than the 625. We</p> <p>16 don't--I mean, it can be done, yes.</p> <p>17 Q. Yes. But if you don't do that, doesn't Hydro,</p> <p>18 as opposed to rate payers, take the benefit of</p> <p>19 that improvement in efficiency, because you</p> <p>20 haven't--none of that, apart from the 2002</p> <p>21 year, on the two kilowatt hours per barrel</p> <p>22 item, it's not factored in at all, which seems</p> <p>23 to be Hydro then takes the benefit of these</p> <p>24 improvements, which have been paid for out of</p> <p>25 capital dollars, as opposed to rate payers.</p>	<p>1 Would you not agree with that, Mr. Haynes?</p> <p>2 A. I don't--I think I stand by the fact that we</p> <p>3 would do it on an average basis. When we are</p> <p>4 determining what our fuel conversion factor</p> <p>5 is, I mean, we're not doing it specifically</p> <p>6 for today. We're doing it for a number of</p> <p>7 years to cover off the next time we file, and</p> <p>8 there may be some improvement in the short</p> <p>9 term. It may be eroded over the long term,</p> <p>10 based on plant conditions, and if you go back</p> <p>11 to the chart that's on NP-74, you know, you</p> <p>12 have--you could use that analogy to add five</p> <p>13 kilowatt hours per barrel to 577. That's a</p> <p>14 low production year of approximately one</p> <p>15 terawatt hour. In 2000, it was less than a</p> <p>16 terawatt hour, you know, and in 1998, it was</p> <p>17 1.2. So it's a difficult exercise to predict</p> <p>18 what our performance will be and we obviously</p> <p>19 are striving to improve it and to sustain that</p> <p>20 improvement, but we would really and very much</p> <p>21 like to prove those particular changes and to</p> <p>22 let the average look after it over a period of</p> <p>23 a couple of years, it'll start to creep up, if</p> <p>24 in fact they do pan out and we get that.</p> <p>25 (10:00 a.m.)</p>

Page 41	Page 42
<p>1 KELLY, Q.C.:</p> <p>2 Q. Okay. We'll leave that one for argument then.</p> <p>3 Can I take you next to a couple of questions</p> <p>4 on hydrology? And this is at page 28 of your</p> <p>5 evidence. I'm not going to spend a lot of</p> <p>6 time at this, but I'd like to get some</p> <p>7 understanding of the status of this. If we go</p> <p>8 down to Section 7.2, if we could just scroll</p> <p>9 up a little bit, Mr. O'Reilly, there we go.</p> <p>10 You indicate that this Acres report has been</p> <p>11 done and then at line 24, there are a number</p> <p>12 of recommendations, "the longest reliable</p> <p>13 reference inflow sequence period of period of</p> <p>14 record should be used for all Hydro's</p> <p>15 operation planning and rate setting purposes."</p> <p>16 Just stop there. As we saw yesterday, you</p> <p>17 actually use, for the system, part of your</p> <p>18 planning criteria, you use actually the three</p> <p>19 driest years, as opposed to an average period?</p> <p>20 A. That's for the long-term system planning to</p> <p>21 identify when new sources are required to meet</p> <p>22 our expected load, yes.</p> <p>23 Q. And you, as the production vice-president, I</p> <p>24 gather from your evidence yesterday, don't</p> <p>25 intend to change that?</p>	<p>1 A. No, that's pretty standard practice in pretty</p> <p>2 well any electrical utility or any particular</p> <p>3 group who looks after the long-term planning</p> <p>4 of a hydro system.</p> <p>5 Q. Okay. And the second bullet is "the inflow</p> <p>6 sequences presently used by Hydro should be</p> <p>7 corrected to ensure internal consistency" and</p> <p>8 the report talks about data problems that need</p> <p>9 to be corrected and there's three points here.</p> <p>10 I'm going to give them all to you together.</p> <p>11 So the first one is the data correction for</p> <p>12 consistency, and then if you come down to the</p> <p>13 next page, line 4, just scroll up a little</p> <p>14 bit, it's "Computer simulation of the</p> <p>15 operation of the hydroelectric system using</p> <p>16 reference inflow sequences should be used to</p> <p>17 estimate energy production and spills from</p> <p>18 Hydro's hydroelectric resources. Hydro should</p> <p>19 review its in-house models and other models</p> <p>20 available and select one for these purposes."</p> <p>21 So item one is data correction for</p> <p>22 consistency. Two is model selection, and then</p> <p>23 it goes on "the above-noted corrections to the</p> <p>24 inflow sequences should be completed prior to</p> <p>25 simulating operations under the model, and</p>
Page 43	Page 44
<p>1 since the system simulation models usually</p> <p>2 require a common start date for all inflow</p> <p>3 sequences, data from the early years of some</p> <p>4 inflow sequences will have to be cut off." So</p> <p>5 there are three items. Number one is</p> <p>6 correcting for consistencies. Two is</p> <p>7 selecting and running some kind of model and</p> <p>8 three is curtailing some of the data streams</p> <p>9 to get a common start date. Can you tell us</p> <p>10 what the status of each of those three</p> <p>11 components are and when you expect them to be</p> <p>12 completed?</p> <p>13 A. Yes, I would add a caveat that the</p> <p>14 recommendation also by Acres was that these</p> <p>15 would not have any major impact on the overall</p> <p>16 outcome and they all can be readily corrected.</p> <p>17 With respect to the inflow sequences, Hydro</p> <p>18 has awarded a contract to SG Acres to review</p> <p>19 that and to do that and hopefully it'll be</p> <p>20 done towards year end, that we would actually</p> <p>21 have those inconsistencies in the data</p> <p>22 corrected, and I should also add that that was</p> <p>23 not on every reservoir. That was on--in some</p> <p>24 cases it was a distribution of the inflows in</p> <p>25 the Bay d'Espoir reservoir, not necessarily</p>	<p>1 the whole. It may have been a split been</p> <p>2 Upper Salmon and Granite Canal and so on, but</p> <p>3 not necessarily the whole water shed area, and</p> <p>4 they, at Acres, suggested they were, you know,</p> <p>5 fairly minor.</p> <p>6 Q. So before you go on, Mr. Haynes, that project</p> <p>7 or that part of the project, when will Acres</p> <p>8 report with that?</p> <p>9 A. I think it's towards the end of the year that</p> <p>10 that will be complete.</p> <p>11 Q. And will that be in a written report form?</p> <p>12 A. Yes, normally that would be in a written</p> <p>13 report or a data set, whatever. Basically,</p> <p>14 it's an exercise to correct--statistically</p> <p>15 correct to standard statistical methods some</p> <p>16 inconsistency that they did see in some</p> <p>17 portions of the data.</p> <p>18 Q. Okay. Could you tell us about the next one,</p> <p>19 the model selection?</p> <p>20 A. I believe that's also under review to look at</p> <p>21 that, and that basically was on our--right</p> <p>22 now, I think most of the spills and fisheries</p> <p>23 are kind of on an average basis over long</p> <p>24 term. It's a refinement, basically, to what</p> <p>25 we're doing to allow us to do better. We do</p>

Page 45	Page 46
<p>1 MR. HAYNES:</p> <p>2 have some models in-house and they are being</p> <p>3 reviewed. I apologize, I'm not quite sure</p> <p>4 when that will be done, but it is in progress.</p> <p>5 Q. Has Hydro gone outside, because the authors</p> <p>6 here talk about looking at the ones you've</p> <p>7 already got and then going outside and looking</p> <p>8 at other models as well, has that been--have</p> <p>9 you gone outside yet?</p> <p>10 A. I did not review that actually, if we've gone</p> <p>11 outside, but I would suggest that if we have a</p> <p>12 model in-house that could do it, we would make</p> <p>13 our utmost efforts to use that.</p> <p>14 Q. Wouldn't you try to get the best model, even</p> <p>15 if it means you got to go outside and look at</p> <p>16 the others as well?</p> <p>17 A. Not if we've already paid for one that we own</p> <p>18 that can do the job.</p> <p>19 Q. Is somebody in Hydro analysing that to</p> <p>20 determine which model should be selected?</p> <p>21 A. The operations planning people would be</p> <p>22 reviewing that, yes.</p> <p>23 Q. And when will they report to you on that?</p> <p>24 A. I'm not exactly sure. I have not--I do not</p> <p>25 have that date in mind right now.</p>	<p>1 Q. But I take it, it will be some time after you</p> <p>2 get the Acres report with the correction of</p> <p>3 the data inconsistencies?</p> <p>4 A. Well, as Acres suggested, it would be</p> <p>5 appropriate to correct the data set before we</p> <p>6 proceed on that.</p> <p>7 Q. So that will be sometime in 2004?</p> <p>8 A. At the latest, yes.</p> <p>9 Q. Okay. And then the last part of that is</p> <p>10 curtailing the data stream. Has that been</p> <p>11 addressed yet to know exactly which common</p> <p>12 start dates you're going to get for model</p> <p>13 simulation?</p> <p>14 A. Yes. What we had proposed--the current filing</p> <p>15 is based on a 30-year average inflows, as</p> <p>16 directed by the Board in P.U. 7, and what we</p> <p>17 had proposed was that the earliest common date</p> <p>18 was, I believe, starting in 1950. So there</p> <p>19 are some years of historical information prior</p> <p>20 to 1950 that would be abandoned. But on a go-</p> <p>21 forward basis, we would peg 1950 and build on</p> <p>22 that in future.</p> <p>23 Q. When you say you've proposed that, where is</p> <p>24 that curtailment at 1950 proposed? Is that</p> <p>25 somewhere in the evidence? Because I took it</p>
Page 47	Page 48
<p>1 from reading this that that was still to come</p> <p>2 once you had corrected the consistencies and</p> <p>3 run the model.</p> <p>4 A. What we had endorsed was the recommendation of</p> <p>5 Acres and I'm quite certain that's actually in</p> <p>6 the Acres report. 1950 was the date.</p> <p>7 Q. So -</p> <p>8 A. And we endorsed the recommendations of Acres.</p> <p>9 Q. But by the time you get the model selected and</p> <p>10 the data done, it will be some time in 2004.</p> <p>11 Will you then be providing that to the Board</p> <p>12 and the parties, once that is done?</p> <p>13 A. That has not been requested, but what we are</p> <p>14 proposing, as I mentioned when we started</p> <p>15 yesterday, is that we are not proposing to</p> <p>16 adopt that model for this particular filing.</p> <p>17 What we're looking for is resolution to the</p> <p>18 issue so that when we file future applications</p> <p>19 and for our year-to-year planning purposes</p> <p>20 that there's no doubt as to what we're doing.</p> <p>21 We'll have the data set cleaned up by the end</p> <p>22 of 2003. We'll have the appropriate models in</p> <p>23 place in 2004. So we will just carry on, on</p> <p>24 that basis, and the suggestion is starting at</p> <p>25 1950.</p>	<p>1 Q. The concern that we have down here, of course,</p> <p>2 is that we haven't yet seen: one, the</p> <p>3 corrected data; and two, the model runs in</p> <p>4 terms of its potential impact. So in order to</p> <p>5 kind of address it logically, you need to see</p> <p>6 that first, and hence my question. When it is</p> <p>7 done, will you be reporting it to the Board?</p> <p>8 So that we all have access to a final report</p> <p>9 with the corrected data and the results and</p> <p>10 conclusions of the models or the model.</p> <p>11 A. If the Board requests, we will provide it.</p> <p>12 However, I should--I mean, I think when we get</p> <p>13 down into the nitty gritty of the hydrology</p> <p>14 recommendation, the most appropriate person</p> <p>15 will be Ms. Richter, who will be testifying on</p> <p>16 that there, but the basis is that based on the</p> <p>17 review done is that the best record that we</p> <p>18 have is a long-term average, which we are</p> <p>19 proposing to use. So regardless of the</p> <p>20 results, whether they are up or down or</p> <p>21 whatever the case was, there is no statistical</p> <p>22 reason not to use the long-term average, the</p> <p>23 whole data set as proposed, and the bottom</p> <p>24 line is that if it's up or down, I won't say</p> <p>25 it's irrelevant, it's of a concern, but that</p>

Page 49	Page 50
<p>1 MR. HAYNES:</p> <p>2 is the best average, the best number that we</p> <p>3 can provide and that's the one that we will</p> <p>4 propose to adopt regardless of outcome.</p> <p>5 Q. But whether we all agree that it's best or</p> <p>6 not, or whether the 30-year moving average is</p> <p>7 best, it's hard to determine until you've got</p> <p>8 the final data, hence my questions as to when</p> <p>9 that is going to be available and what that is</p> <p>10 going to look like through the model. Is</p> <p>11 there a name to the model that Hydro is going</p> <p>12 to run? Like these are computer simulation</p> <p>13 models. Is there a name? Can you tell us the</p> <p>14 -</p> <p>15 A. There's a couple names that come to mind, but</p> <p>16 I'm not certain. I'm not certain exactly</p> <p>17 which model it is.</p> <p>18 Q. Okay. All right. Let me turn to a slightly</p> <p>19 different topic now and that is the</p> <p>20 Interruptible B issue. This deals with</p> <p>21 Abitibi in Stephenville. And I take it Hydro</p> <p>22 proposes to discontinue or not to renew that</p> <p>23 Interruptible B credit?</p> <p>24 A. The contract expired last March, so it was</p> <p>25 signed in 1993 and expired at March 31st, I</p>	<p>1 believe, of 2003.</p> <p>2 Q. Okay. Maybe you could start by explaining to</p> <p>3 us what is involved in this issue and if you</p> <p>4 want, we can start by having a look at IC-194.</p> <p>5 A. Yes.</p> <p>6 Q. Perhaps you can start by just explaining what</p> <p>7 was being done with this Interruptible B</p> <p>8 contract and then why Hydro has decided not to</p> <p>9 renew it?</p> <p>10 A. At the particular time when the contract was</p> <p>11 entered, there was, I guess, the LOLH or LOLE</p> <p>12 calculations at the time, there was a number</p> <p>13 of years difference between when we were going</p> <p>14 to have a capacity problem versus an energy</p> <p>15 problem, and Hydro entered a contract with</p> <p>16 Stephenville to allow them to request, on a</p> <p>17 fairly short-term notice, that we would want</p> <p>18 them to curtail load, in the order of 46</p> <p>19 megawatts, and there was some limitations on</p> <p>20 the--basically it was for four months a year</p> <p>21 that we could do that and there was a</p> <p>22 limitation on the number of times we could do</p> <p>23 it, and so on.</p> <p>24 Q. Okay.</p> <p>25 A. It basically would affect--it would give us</p>
Page 51	Page 52
<p>1 some capacity, peaking capacity, if you will,</p> <p>2 at a specified cost.</p> <p>3 Q. And if we just go to NP-136 for a moment, the</p> <p>4 maximum capacity was 46,000 kilowatts or 46</p> <p>5 megawatts, up to 25 times a year, for four</p> <p>6 months, December to March, which would be the</p> <p>7 winter peak potential season, at \$28.20 a</p> <p>8 kilowatt?</p> <p>9 A. That's correct.</p> <p>10 Q. Okay. Now if we just flip back to IC-194 and</p> <p>11 explain to the Board why Hydro has decided not</p> <p>12 to renew this.</p> <p>13 A. Basically, we had built generation with</p> <p>14 Granite Canal and two NUGS contracts and also,</p> <p>15 obviously, the load shape and so on, you know,</p> <p>16 other factors come together to change that.</p> <p>17 But in our forecast right now, we have ample</p> <p>18 capacity. We are meeting our reserve criteria</p> <p>19 of 16 percent. In fact, we are above that, as</p> <p>20 you do when you built any new plant, and we do</p> <p>21 not see any need to consider and Interruptible</p> <p>22 B type contract at the present time, and based</p> <p>23 on the current load forecast, current load</p> <p>24 shape and the factors that drive that, we</p> <p>25 don't see any reason to enter that in the</p>	<p>1 future, in this particular point in time. The</p> <p>2 capacity deficit and the energy deficit are</p> <p>3 coming together within a year or so of each</p> <p>4 other and there's ample time to plan a next</p> <p>5 source or new source of supply to meet those</p> <p>6 needs.</p> <p>7 Q. So would it be fair to say then from Hydro's</p> <p>8 perspective, the current value to Hydro of</p> <p>9 being able to take that 46 megawatts of peak</p> <p>10 off the system because you got lots of</p> <p>11 capacity, is currently zero? Is of no value</p> <p>12 to you?</p> <p>13 A. It's not of significant value at this point in</p> <p>14 time, in the short term, no. You know, if the</p> <p>15 situation changes and we get into a case where</p> <p>16 we have a three, four, five-year variance</p> <p>17 between capacity and next source, it may be</p> <p>18 something that we would want to revisit with</p> <p>19 Abitibi or others.</p> <p>20 Q. Right, but as we looked at Table 8, that is</p> <p>21 not the case for any of the--that's page, I</p> <p>22 think, 37 again, Mr. O'Reilly, for any of the</p> <p>23 period out to 2012?</p> <p>24 A. No, that table excluded the 40, the</p> <p>25 Interruptible B contract.</p>

Page 53	Page 54
<p>1 KELLY, Q.C.:</p> <p>2 Q. Yes, it excludes the Interruptible B, so</p> <p>3 without Interruptible B in, you will not have</p> <p>4 a situation where capacity is exceeding the</p> <p>5 energy requirement all the way out to 2011?</p> <p>6 A. That's correct.</p> <p>7 Q. So is it Hydro's position that within the</p> <p>8 current foreseeable planning horizon that we</p> <p>9 talked yesterday about, the next source of</p> <p>10 generation will add both energy and capacity,</p> <p>11 that within the entire planning horizon that</p> <p>12 you can foresee, this 46 megawatts of peak</p> <p>13 reduction will have no value?</p> <p>14 A. Based on the present assumptions regarding</p> <p>15 load forecast, load shape, et cetera, there's</p> <p>16 no merit to pursuing an Interruptible B</p> <p>17 contract.</p> <p>18 Q. Okay. I take it, because of that answer, if</p> <p>19 you look at NP-139, Hydro has not investigated</p> <p>20 other opportunities for Interruptible B; in</p> <p>21 other words, other opportunities to take peak</p> <p>22 off the system?</p> <p>23 A. No, we have not. We have not identified it as</p> <p>24 a need at this point in time. There's no--our</p> <p>25 load forecast and our calculations to date do</p>	<p>1 not merit pursuing that.</p> <p>2 Q. And if we look at NP-138, I take it if you had</p> <p>3 a capacity deficit, then that's something that</p> <p>4 you would start to look at again?</p> <p>5 A. As the answer says, we will consider any and</p> <p>6 all options that are available to meet our</p> <p>7 criteria.</p> <p>8 Q. Is there any sort of principle that Hydro</p> <p>9 would apply in terms of assessing the value of</p> <p>10 an Interruptible contract to avoid or defer</p> <p>11 new generation in the future? Like how does</p> <p>12 Hydro approach that?</p> <p>13 A. Can you repeat that question please?</p> <p>14 Q. You say right now, like in the foreseeable</p> <p>15 time period, there's no value to an</p> <p>16 Interruptible contract to be able to take peak</p> <p>17 off the system. How did you come to that</p> <p>18 decision? Is there any kind of an analysis</p> <p>19 that you do to determine what the value is?</p> <p>20 How did you get to zero value?</p> <p>21 A. Primarily it's a cost consideration, you know,</p> <p>22 with the construction of Granite Canal and the</p> <p>23 entering of the two Power Purchase Agreements</p> <p>24 with the Corner Brook Pulp & Paper and</p> <p>25 Exploits River Hydro Partnership, we have</p>
Page 55	Page 56
<p>1 ample capacity and energy to meet the short</p> <p>2 term or the foreseeable needs until 29--2011</p> <p>3 and it's a matter of cost. There's no basis</p> <p>4 in cost to actually enter into agreement for</p> <p>5 capacity that we do not need to meet the</p> <p>6 criteria of.</p> <p>7 (10:17 a.m.)</p> <p>8 Q. You talked a little bit with Mr. Browne about</p> <p>9 Demand Side Management, and I take it from</p> <p>10 your answers to him, that Hydro, at least in</p> <p>11 terms of anything on the Interconnected</p> <p>12 system, has no plans to do anything with</p> <p>13 Demand Side Management in terms of paying</p> <p>14 people to do things differently?</p> <p>15 A. No, we do not, but I would suggest--sorry, I</p> <p>16 shouldn't suggest, I should add that the</p> <p>17 biggest opportunity for some of that would be</p> <p>18 with Newfoundland Power's customers, which</p> <p>19 vastly overwhelm the number of customers that</p> <p>20 Newfoundland Hydro has.</p> <p>21 Q. Okay, but if Hydro thinks that there is some</p> <p>22 benefit in doing it, I take it you would do it</p> <p>23 with your customers as well, would you not?</p> <p>24 A. The gains of Newfoundland Hydro's twenty-odd</p> <p>25 thousand customers versus Newfoundland Power's</p>	<p>1 200,000 customers would be quite different.</p> <p>2 The "bang for the buck" if you will is in the</p> <p>3 larger customer base.</p> <p>4 Q. If--when you talked about the Rural operations</p> <p>5 yesterday, with Mr. Browne, you said that when</p> <p>6 you get to a capacity constraint on your Rural</p> <p>7 system, at that point in time you look at</p> <p>8 whether Demand Side Management--whether</p> <p>9 there's any viable options there. Do you</p> <p>10 remember that evidence?</p> <p>11 A. Yes, most of that activity is directed to the</p> <p>12 Isolated Diesel Systems where the marginal</p> <p>13 cost is extremely high, compared to our</p> <p>14 returns.</p> <p>15 Q. Here's a couple of questions that kind of flow</p> <p>16 out of it. Why do you wait until you get to</p> <p>17 the capacity constraint to look at that?</p> <p>18 A. Because that's what spurs capital investment</p> <p>19 in new plant or new transformers or whatever.</p> <p>20 We looked at that in our capital proposal for</p> <p>21 the addition of a transformer in Goose Bay,</p> <p>22 for instance, which is an Interconnected</p> <p>23 Labrador, we looked at the opportunities and</p> <p>24 basically there were none identified that</p> <p>25 would be economic. It's based on dollars and</p>

Page 57	Page 58
<p>1 MR. HAYNES:</p> <p>2 cents. What is the most economic -</p> <p>3 Q. So until you get to that capacity constraint,</p> <p>4 it's essentially your position it's not worth</p> <p>5 doing, is that the bottom line?</p> <p>6 A. I don't think that's the bottom line on the</p> <p>7 larger Interconnected System, but certainly in</p> <p>8 the Isolated Diesel areas, that's the approach</p> <p>9 that we've taken because there are so many</p> <p>10 different systems and there are so many</p> <p>11 variables.</p> <p>12 Q. Okay, and you'd have to look at that system</p> <p>13 then and the factor that you said you looked</p> <p>14 at was, well what would be the marginal cost</p> <p>15 of doing it?</p> <p>16 A. I should add too that in the Isolated Diesel</p> <p>17 areas, the penetration of electric heat is</p> <p>18 nowhere near what it is in the Interconnected</p> <p>19 areas, particularly on the Island. And one of</p> <p>20 the principles, I guess, or one of the things</p> <p>21 on Demand Side Management was that electric</p> <p>22 heat and hot-water heating would be the two</p> <p>23 major contributing factors to potential</p> <p>24 savings.</p> <p>25 Q. But the marginal cost, you told us, is the</p>	<p>1 factor that you would look at; in other words,</p> <p>2 if you're going to put in--Hydro's had</p> <p>3 programs, for example, in some of these places</p> <p>4 to put in low energy fluorescent bulbs,</p> <p>5 correct?</p> <p>6 A. That's one of the things that was done in some</p> <p>7 areas.</p> <p>8 Q. And I take it that in doing that, you made</p> <p>9 some kind of marginal cost analysis of what is</p> <p>10 the cost of doing--spending this money now to</p> <p>11 do that, versus spending money now to add a</p> <p>12 generation capacity in some fashion?</p> <p>13 A. Generally, yes.</p> <p>14 Q. That's how you would go about doing it?</p> <p>15 A. That's how we've done it in the Isolated</p> <p>16 Diesel areas.</p> <p>17 Q. Okay. Has Hydro performed any kind of</p> <p>18 marginal cost analysis on the Island</p> <p>19 Interconnected System?</p> <p>20 A. Not of late, no, that was quite a number of</p> <p>21 years ago it was done.</p> <p>22 Q. I think the last one was done about 1984?</p> <p>23 Does that sound about right?</p> <p>24 A. That's sounds correct.</p> <p>25 Q. Okay, would you agree with me that before you</p>
Page 59	Page 60
<p>1 would want to--especially in the circumstances</p> <p>2 which you have just described about the</p> <p>3 capacity that the system has, the fact that</p> <p>4 your Interruptible B has currently no value,</p> <p>5 before you would engage in some of these</p> <p>6 Demand Side Management things, would you not</p> <p>7 need to do a marginal cost analysis to</p> <p>8 determine what, if any, value you would get</p> <p>9 out of it?</p> <p>10 A. I don't think you--it would require to do</p> <p>11 that, I mean, we're not talking about a</p> <p>12 marginal cost system, we're talking about a</p> <p>13 marginal cost base. If we're all paying</p> <p>14 marginal cost, we would definitely over earn,</p> <p>15 so I think the data that was generated in 1984</p> <p>16 is used and useful, and I don't think the lack</p> <p>17 of a current Marginal Cost Study precludes</p> <p>18 continuing, you know, entering that exercise</p> <p>19 or pursuing a Demand Side Management or demand</p> <p>20 energy rates. I don't think that is an</p> <p>21 absolute necessity to proceed.</p> <p>22 Q. Okay. Let's just take you to NP-167 for a</p> <p>23 moment and the answer at 167 is that DSM</p> <p>24 shouldn't be evaluated on a marginal cost</p> <p>25 basis, in fact, that's just the discussion we</p>	<p>1 had about the Rural system. If, in fact,</p> <p>2 let's take a potential project, let's take</p> <p>3 water heater controls that you're going to try</p> <p>4 to put in place to take something off of peak,</p> <p>5 and we just had this discussion about the</p> <p>6 capacity that your system has got, the lack of</p> <p>7 value, as you see it, in taking 46 megawatts</p> <p>8 off a peak. If you were to put in heater</p> <p>9 controls so that for all the customers, so</p> <p>10 that the electric hot water heater no longer</p> <p>11 comes on at 5:00, it's going to be postponed</p> <p>12 until 8:00 at night, would you not need to</p> <p>13 analyze at what point in time that becomes</p> <p>14 cost effective? Especially since right now</p> <p>15 your system has adequate capacity to meet the</p> <p>16 peak?</p> <p>17 A. Our system has adequate capacity to meet the</p> <p>18 peak right now, but I think if you were, you</p> <p>19 know, as you go down the DSM, demand energy</p> <p>20 rate that what you're going to do is you're</p> <p>21 going to increase the--or have effects over a</p> <p>22 period of time. They're not going to be</p> <p>23 instantaneous with respect to the planning</p> <p>24 horizon, but you may improve the load factor</p> <p>25 of the Newfoundland Power load and so on. So</p>

Page 61	Page 62
<p>1 MR. HAYNES:</p> <p>2 it's not a short-term fix, it's basically a</p> <p>3 longer term moulding the load growth and, you</p> <p>4 know, the demand energy characteristics of the</p> <p>5 system over a period of time. You would never</p> <p>6 see something--the outcome is going to affect</p> <p>7 us in one year, but you will see it over a</p> <p>8 period of years, that's the theory.</p> <p>9 Q. Explain to me how you square that answer with</p> <p>10 the fact that Hydro doesn't see any value in</p> <p>11 taking 46 megawatts off of peak with</p> <p>12 Interruptible B?</p> <p>13 A. The Interruptible B does not actually remove</p> <p>14 very much energy. It's more of a--it was a</p> <p>15 short-term thing to get over a capacity</p> <p>16 problem. I think that if you have a demand</p> <p>17 energy rate and however Newfoundland Power</p> <p>18 were to choose to change their rate structure</p> <p>19 to reflect that, that you will impact the</p> <p>20 overall energy requirements of the Province</p> <p>21 over a period of time. And I think that's</p> <p>22 where the gain would be, and it's fairly</p> <p>23 accepted.</p> <p>24 Q. Have you studied Newfoundland Power's rate</p> <p>25 structure?</p>	<p>1 A. No, we have not studied specifically</p> <p>2 Newfoundland Power's rate structure, but I</p> <p>3 would think that--I would assume that</p> <p>4 Newfoundland Power, if demand energy rate</p> <p>5 happens in the short term, that they would</p> <p>6 look at their rate structure and propose a</p> <p>7 rate structure that covers their particular</p> <p>8 concerns.</p> <p>9 Q. But do you have any sense, if there is to be</p> <p>10 some benefit out of this to the system, then</p> <p>11 in what way does Hydro suggest that</p> <p>12 Newfoundland Power's rate structure should be</p> <p>13 modified? Have you addressed that question at</p> <p>14 all, Mr. Haynes?</p> <p>15 A. I personally have not had any involvement in</p> <p>16 that, but you know, we do have Stone and</p> <p>17 Webster and the Rates Department who may be</p> <p>18 able to shed some light on what other</p> <p>19 jurisdictions do.</p> <p>20 Q. In fact, if we put up PUB-148 for a moment, in</p> <p>21 fact the Board's staff put the question of</p> <p>22 assuming you were an integrated utility, would</p> <p>23 Hydro have employed a different strategy over</p> <p>24 the past decade, to pass through a demand</p> <p>25 price signal? And the answer, essentially, is</p>
Page 63	Page 64
<p>1 due to the absence of either the experience of</p> <p>2 a hypothetical utility or data to support an</p> <p>3 alternative, no different strategy can be</p> <p>4 surmised. So I take it, not only have you not</p> <p>5 studied it, but nobody in Hydro has studied</p> <p>6 the issue?</p> <p>7 A. Not of late, from that point of view. There</p> <p>8 was a lot of discussion in the 1990 hearings</p> <p>9 with Mr. Brunneau or Dr. Brunneau and so on,</p> <p>10 who were quite adamant on the demand energy</p> <p>11 rate and the fact that they would,</p> <p>12 Newfoundland Power would need the right signal</p> <p>13 from Newfoundland Hydro to make that happen.</p> <p>14 And I have to admit that I am not--cannot shed</p> <p>15 much light on their rate structure and so on.</p> <p>16 That would be more Mr. Banfield's and Mr.</p> <p>17 Greneman's -</p> <p>18 Q. But you have shed a good bit of light on how</p> <p>19 the demand and energy characteristics of the</p> <p>20 system have changed since 1990 to the current</p> <p>21 date?</p> <p>22 A. There's been some change in load factor, yes,</p> <p>23 overall.</p> <p>24 Q. Let's move from that to a slightly different</p> <p>25 topic, just bear with me for a moment while I</p>	<p>1 get organized here. I'd like to go next to</p> <p>2 look at a couple of expense items, Mr. Haynes.</p> <p>3 A. Okay.</p> <p>4 Q. Can I take you to Schedule 6 of your report?</p> <p>5 A. Yes.</p> <p>6 Q. Bear with me for one second. Now I'd like to</p> <p>7 go to the salary line here, and I just want to</p> <p>8 understand, first of all, how this works. If</p> <p>9 we go to line 4, you've got something called</p> <p>10 "permanent salaries" and you see if you go</p> <p>11 across that to 2004 forecast, it's forecast to</p> <p>12 be 18.47 million?</p> <p>13 A. Yes.</p> <p>14 Q. See that line?</p> <p>15 A. Yes.</p> <p>16 Q. Now, if I could start with permanent salaries,</p> <p>17 what happened to the concept of FTE's and</p> <p>18 where do the temporaries fit into this table?</p> <p>19 A. We had changed that all salaries for permanent</p> <p>20 and temporary employees are now included on</p> <p>21 line 4.</p> <p>22 Q. So that line, even though it says "permanent"</p> <p>23 is -</p> <p>24 A. Is a total.</p> <p>25 Q. Is a total?</p>

Page 65

1 MR. HAYNES:
 2 A. Yes.
 3 Q. Okay. And with the capital projects completed
 4 and notice as you come across the overtime
 5 line, you still got a million, four hundred
 6 and seventy-five thousand in overtime, and if
 7 you go back to 2002, that's not radically
 8 different than the 2002 actuals in which there
 9 was a substantial amount of overtime that was,
 10 in fact, capitalized. I'm wondering if you
 11 can help us understand the reason for that?
 12 (10:30 a.m.)
 13 A. The reason for that in the sense that each
 14 year that we are actually undertaking capital
 15 projects, any overtime worked by our
 16 employees, our employees that they actually
 17 work overtime on a capital project, is charged
 18 to the project as a part of that, so -
 19 Q. Yes, but those capital projects are
 20 essentially now over, are they not?
 21 A. Oh no, there are still ongoing capital
 22 projects, I mean, Granite Canal is done but
 23 there are other projects that may require
 24 overtime and there is a considerable bit of
 25 overtime in some of our operating areas, such

Page 67

1 your department, were vacant?
 2 A. In 2002?
 3 Q. Do you have that information?
 4 A. I would suggest it was probably eight to nine
 5 positions were actually vacant in Production
 6 Division.
 7 Q. Eight to nine were vacant in the Production
 8 Division?
 9 A. Less than ten.
 10 Q. Okay, well nine would be less than ten. Are
 11 they in any particular department or spread
 12 throughout all six departments; in other
 13 words, is there any particular pattern or
 14 reason?
 15 A. There were--they're spread over various areas,
 16 but primarily typically because of the numbers
 17 of people that are in the departments, the
 18 largest number would have been probably in
 19 Hydro generation and in thermal generation.
 20 They typically usually are the largest number
 21 and when we do have a vacancy, we usually--to
 22 meet our vacancy reduction targets, we usually
 23 stagger, rehire and review the position
 24 wherever it's need and so on.
 25 Q. So just explain how that works, to meet your

Page 66

1 as Holyrood where you have a mandatory shift
 2 complement for steam plant operators and so
 3 on.
 4 Q. But with Granite Canal finished, why is
 5 overtime at one million four seventy-five only
 6 about \$200,000.00 less than the total overtime
 7 for 2002, or am I not reading this correctly
 8 in some fashion?
 9 A. As I mentioned to Mr. Browne yesterday, that
 10 we never had a big contingent of people
 11 dedicated on a fulltime basis to Granite
 12 Canal, there were probably five fulltime.
 13 Most of those particular employees are not
 14 eligible for overtime. They basically are
 15 paid an allowance in lieu, which is pretty
 16 standard practice for our engineering staff,
 17 most of our engineers do not actually get paid
 18 overtime. They get an allowance in lieu of,
 19 so you know, some of the overtime that would
 20 be associated with the Granite Canal in 2003,
 21 would be from our operations people who were
 22 at the site there, as they are today, doing
 23 the various things until it's signed off.
 24 Q. At the end of 2002, can you tell me how many
 25 of the permanent positions, as shown there in

Page 68

1 targets? Just explain that, what does that
 2 mean?
 3 A. For the last number of years, we have included
 4 approximately--from a corporate level,
 5 approximately a million dollars a year in
 6 vacancy reduction which basically looks at
 7 the--we do our budget based on full complement
 8 and at the bottom of or at the end of the
 9 expense within the salaries, we include a
 10 number for vacancy reduction. It reflects the
 11 time lag between somebody leaving a position
 12 and somebody being hired into it. Depending
 13 on when somebody leaves, we may leave that
 14 position for a number of months before we
 15 rehire because it's at the end of the season,
 16 whereby, you know, we may feel that we need
 17 the position on a fulltime basis, but there is
 18 an opportunity to escape for several months or
 19 two or three months until we refill because
 20 it's in a low-maintenance period or whatever.
 21 So those are managed on a department basis.
 22 Each department has that allocation of
 23 anticipated savings because of vacancies.
 24 Q. And I understand you have a policy of when a
 25 position becomes vacated that you look at

Page 69	Page 70
<p>1 KELLY, Q.C.:</p> <p>2 whether there can be some reorganization to</p> <p>3 eliminate that position?</p> <p>4 A. We review each--each permanent position that's</p> <p>5 vacated has to be approved before it's filled</p> <p>6 and we look at whether the job could be done</p> <p>7 by others, whether it could be moved to</p> <p>8 another location. We look at any</p> <p>9 opportunities to do that, as they become</p> <p>10 vacant and some any time.</p> <p>11 Q. Can I take you to your testimony on this at</p> <p>12 page 14 at lines 9 to 11? And you say at line</p> <p>13 9 there, talking about the 6 percent, "this</p> <p>14 reduction was achieved by various means,</p> <p>15 including reviewing vacated positions and the</p> <p>16 operational needs of our plants through</p> <p>17 technological change." Now, there are two</p> <p>18 components, I take it when a position becomes</p> <p>19 vacant, you look at reorganization around that</p> <p>20 position? That's the first one.</p> <p>21 A. We look at the duties that are done, if they</p> <p>22 can be done by others, they can spread among</p> <p>23 another group or whatever, it's not</p> <p>24 necessarily quote, unquote, capital load</p> <p>25 reorganization, but we will look at the</p>	<p>1 departments, we will look at, you know, we've</p> <p>2 done that consistently, looking at merging</p> <p>3 departments and so on.</p> <p>4 Q. And what about the technological change?</p> <p>5 Where have you reduced your technological</p> <p>6 change in your divisions?</p> <p>7 A. Maybe an example would be most appropriate.</p> <p>8 In Holyrood we obviously operate under the</p> <p>9 Boiler and Pressure Vessel Act of the Province</p> <p>10 and in our previous license, there were more</p> <p>11 or less dictated how many operators we had to</p> <p>12 have on shift to look after that major steam</p> <p>13 plant which is basically the biggest steam</p> <p>14 system in the Province. And we had, obviously</p> <p>15 we had put in technology over the years to</p> <p>16 provide the operator more information and what</p> <p>17 we had done is we had actually reduced the on</p> <p>18 shift personnel in Holyrood by one operator in</p> <p>19 that time frame, which accounted for some of</p> <p>20 that reduction. So we had gone from, I</p> <p>21 believe, six or seven--six operators on shift,</p> <p>22 down to five, plus the supervisor.</p> <p>23 Q. And so that's in your thermal department?</p> <p>24 A. That's in the thermal department.</p> <p>25 Q. Are there examples in any of the other</p>
Page 71	Page 72
<p>1 departments that come to mind?</p> <p>2 A. Yes, in the IS&T where we can do a lot more</p> <p>3 troubleshooting on a person's PC and their</p> <p>4 desktop by, if you will, I'm sure it's not the</p> <p>5 right word, by remote control, that the client</p> <p>6 support analyst or the help desk in St. John's</p> <p>7 can actually take over somebody's PC, for</p> <p>8 instance in Port Saunders, and troubleshoot</p> <p>9 and fix things, as opposed to having people</p> <p>10 out there. That was one of the reasons we</p> <p>11 reduced a number of temporary client</p> <p>12 supportive systems that we had.</p> <p>13 Q. And when did that take place?</p> <p>14 A. That took place in early 2002, I believe.</p> <p>15 Q. 2002?</p> <p>16 A. Yes.</p> <p>17 Q. Okay, how many positions are vacant in your</p> <p>18 division throughout your departments as of the</p> <p>19 end of August, 2003?</p> <p>20 A. There are, at the moment, I believe there are</p> <p>21 ten positions vacant, as we speak.</p> <p>22 Q. So there were somewhat less than ten at the</p> <p>23 end of 2002 and they are currently about ten--</p> <p>24 there are ten positions vacant as of today,</p> <p>25 October?</p>	<p>1 A. They're not all the same positions, but there</p> <p>2 are approximately ten positions vacant today.</p> <p>3 Q. As in October?</p> <p>4 A. Yes.</p> <p>5 Q. I'm just trying to get the time frame right,</p> <p>6 okay. Now, can I take you to NP-9 and page 2</p> <p>7 of 6, and these are the number of permanent</p> <p>8 positions, if I follow it correctly, in your</p> <p>9 division, up to August of '03?</p> <p>10 A. Yes.</p> <p>11 Q. Okay, now what I'd like to do, is I'd like to</p> <p>12 look through this with you, because the</p> <p>13 departments have changed a little bit over the</p> <p>14 years. Let's go over, first of all, to the</p> <p>15 one that's called "Generation Engineering and</p> <p>16 Telecontrol", which has entries for only '97</p> <p>17 and '98. Do you see that?</p> <p>18 A. Yes.</p> <p>19 Q. Okay, and there were, at the end of '98, there</p> <p>20 were 65 people in that department. And if we</p> <p>21 look at the columns, as we tried to figure out</p> <p>22 where that 65 went, 20 seemed to have gone</p> <p>23 over to the next column, which is "Generation</p> <p>24 Engineering"?</p> <p>25 A. Yes.</p>

Page 73	Page 74
<p>1 KELLY, Q.C.:</p> <p>2 Q. And 12 seem to have gone over to "Generation</p> <p>3 Operations", you go from 5 up to 17?</p> <p>4 A. Yes.</p> <p>5 Q. And the balance went over to "Telecontrol and</p> <p>6 DMS", the next column over?</p> <p>7 A. That's basically correct, yes.</p> <p>8 Q. Basically correct.</p> <p>9 A. Uh-hm.</p> <p>10 Q. And in the meantime, in that same year of</p> <p>11 1999, you had 36 people come in from outside</p> <p>12 your department in IS&T? In fact, they were</p> <p>13 transferred from your finance department,</p> <p>14 weren't they?</p> <p>15 A. Yes.</p> <p>16 Q. So if we look at your IS&T column in 1999, you</p> <p>17 have 36 that come in from finance and if we</p> <p>18 just quickly go over to page 5 of 6, you'll</p> <p>19 see '97 and '98, they got this MIS of 36 and</p> <p>20 then it drops to zero in 1999.</p> <p>21 A. Yes.</p> <p>22 Q. So if you just go back to page 2 of 6 now, so</p> <p>23 in the--if we go to the total, you start in</p> <p>24 1997 with 277 personnel and you end up with</p> <p>25 301, but you added 36 people that came in from</p>	<p>1 finance, so if we add those in, we'd have 277</p> <p>2 plus 36, would give us 313. We end up at 301</p> <p>3 for a net reduction of 12?</p> <p>4 A. Well there were other changes through the</p> <p>5 period of time, the economic analysis</p> <p>6 department also moved over to system planning.</p> <p>7 When you went from 10 to 13, there were three</p> <p>8 individuals transferred also from the finance</p> <p>9 department at the time.</p> <p>10 Q. So you had three more that came in there?</p> <p>11 A. Yes.</p> <p>12 Q. Okay. And they came in in 1999?</p> <p>13 A. They came in in 1999, yes.</p> <p>14 Q. So if I add on those three more, I'd get</p> <p>15 essentially 15 in terms of reduction, in your</p> <p>16 total complement? I'm just trying to get an</p> <p>17 order of magnitude here, 12, 15, that's pretty</p> <p>18 close for the purposes I want to have a look</p> <p>19 at here. Are those the main drivers?</p> <p>20 A. Based on the way you've done it, yes, I mean,</p> <p>21 I don't take exception to your 315. There are</p> <p>22 other changes, obviously, over time, depending</p> <p>23 on the needs of the Corporation, the needs of</p> <p>24 different areas.</p> <p>25 Q. Right.</p>
Page 75	Page 76
<p>1 A. Hydro Generation went up by three, so there</p> <p>2 are several, you know, it is very difficult to</p> <p>3 go back and try to rebuild the history because</p> <p>4 we have not kept it, so it's out best attempt</p> <p>5 to do that.</p> <p>6 Q. Okay, but here's the point that I wanted to</p> <p>7 try to come to, when we look at those and we</p> <p>8 go to each of these columns through your</p> <p>9 generation operations, it started with 5, you</p> <p>10 had 12 come over, which is 17 and essentially</p> <p>11 you end up with 17, so there's no significant</p> <p>12 change in the generation operations</p> <p>13 department?</p> <p>14 A. No.</p> <p>15 Q. In the Hydro generation, you start with 85,</p> <p>16 you end up with 86, so you're up plus one, no</p> <p>17 significant change there. In the thermal</p> <p>18 generation though, you're at 113 and you end</p> <p>19 up with 99, for a total reduction there of 14.</p> <p>20 A. Yes.</p> <p>21 Q. And we can do that exercise all the way</p> <p>22 across, generation engineering from '99 on is</p> <p>23 still 20, and your systems planning starts at</p> <p>24 10, ends up at 12, so there's a small change</p> <p>25 there of 2. Your IS&T, you've got some coming</p>	<p>1 in, 70, and then you end up at 67, some small</p> <p>2 change there. But the only department with</p> <p>3 any, what I could call significant changes is</p> <p>4 in your thermal generation. Out of 12 to 15</p> <p>5 in total, 15 of them seem to be thermal</p> <p>6 generation changes and I'm wondering if you</p> <p>7 could explain why, since 1997, there have been</p> <p>8 no significant changes in any of the other</p> <p>9 departments?</p> <p>10 A. Well, I guess we are responding to the</p> <p>11 maintenance requirements of the system and the</p> <p>12 information requirements of the system.</p> <p>13 Holyrood presented itself as having more</p> <p>14 opportunities for reduction based on a number</p> <p>15 of thermal plant operators that we had and</p> <p>16 based on the merging of some departments. And</p> <p>17 there is--I mean, we have looked at all these</p> <p>18 departments from the point of view of need and</p> <p>19 continue to do that and have, in our vacancy</p> <p>20 reduction targets, will continue to look at</p> <p>21 that and the additional one and a half million</p> <p>22 dollars that we put in there for 2004. We are</p> <p>23 doing process review. We're looking at many</p> <p>24 processes and there may be changes, depending</p> <p>25 on what the work demands are. But Holyrood</p>

Page 77	Page 78
<p>1 MR. HAYNES:</p> <p>2 obviously, as you mentioned, was the most</p> <p>3 significant change to date.</p> <p>4 Q. But you have not quite as many, but almost as</p> <p>5 many people in the hydro generation, yet</p> <p>6 there's no--there don't seem to have been any</p> <p>7 efficiencies achieved in terms of reductions</p> <p>8 in your hydro complement.</p> <p>9 A. No, not at many in a direct number sense,</p> <p>10 however we did have Granite Canal in 2003 and</p> <p>11 we are not adding any additional operating</p> <p>12 people or engineering support people to look</p> <p>13 after that plant.</p> <p>14 Q. Should that plant be essentially automated?</p> <p>15 A. Well, as is Cat Arm and Hind's Lake there,</p> <p>16 except for Bay d'Espoir.</p> <p>17 Q. Yes.</p> <p>18 A. They're by and large all operated, but they</p> <p>19 all require, obviously, resources to do. I</p> <p>20 would also add that one of the key differences</p> <p>21 in hydro generation and thermal generation is</p> <p>22 that basically the thermal generation people</p> <p>23 are at one facility. So, basically you have</p> <p>24 99 people who work at the thermal plant in</p> <p>25 Holyrood, of which 30 or so are operators. At</p>	<p>1 the hydro generation you have people spread</p> <p>2 over from Paradise River to Cat Arm, Hind's</p> <p>3 Lake, Granite Canal. So, there's more travel</p> <p>4 time, there's more--I won't necessarily say</p> <p>5 lost time, but it's obviously not as desirable</p> <p>6 that they're all in one specific plant where</p> <p>7 you could have a better opportunity to address</p> <p>8 some cost saving measures. But with</p> <p>9 distributed generation, it's a bit more</p> <p>10 difficult to nail down the significant change</p> <p>11 that we've achieved in Holyrood.</p> <p>12 (10:45 a.m.)</p> <p>13 Q. Can I show you, from the 2001 General Rate</p> <p>14 Application, NP-31 and we've already provided</p> <p>15 you with a copy and the clerk will distribute</p> <p>16 this one.</p> <p>17 MS. NEWMAN:</p> <p>18 Q. This will be Information Item number 14.</p> <p>19 KELLY, Q.C.:</p> <p>20 Q. I'm sorry, number 14?</p> <p>21 MS. NEWMAN:</p> <p>22 Q. Yes.</p> <p>23 KELLY, Q.C.:</p> <p>24 Q. And this deals with the Haddon Jackson</p> <p>25 benchmarking study, Mr. Haynes. Are you</p>
Page 79	Page 80
<p>1 familiar with this?</p> <p>2 A. Yes, I am.</p> <p>3 Q. Okay. I'd like to take you to a couple of</p> <p>4 pages of this, if you would come over with me</p> <p>5 to page 21 and this was reviewed with the</p> <p>6 Board in Hydro's 2001, at page 12 under</p> <p>7 Performance, "operation costs for the Bay</p> <p>8 d'Espoir station group was poorer than</p> <p>9 expected, exceeding expected costs by about 50</p> <p>10 percent". And down on the bottom, there are</p> <p>11 improvement opportunities. The Bay d'Espoir</p> <p>12 station group prepares to have opportunities</p> <p>13 for improvement. Other leaders have shown</p> <p>14 that elimination of routine technical</p> <p>15 operators staffing at automated remote</p> <p>16 facilities will take full advantage of station</p> <p>17 automation to reduce costs. And then you go</p> <p>18 in the next one, "if they are going to be</p> <p>19 operators present, then they could be involved</p> <p>20 in doing routine work". So, that was one area</p> <p>21 that was highlighted. If we go to the next</p> <p>22 page, I'll give you these all together and get</p> <p>23 you to comment. Under Plant Maintenance, "the</p> <p>24 Bay d'Espoir station group cost performance in</p> <p>25 the small, medium, less than 45 year old</p>	<p>1 segment was poorer than expected with costs of</p> <p>2 about 28 percent above average". And then</p> <p>3 there were a number of recommendations for</p> <p>4 improvement on the bottom, including the first</p> <p>5 one there, reducing layers of management, et</p> <p>6 cetera. And the final--I'll take you over to</p> <p>7 the next page which is WW&D, what is WW&D</p> <p>8 Maintenance?</p> <p>9 A. Water Works and Dams.</p> <p>10 Q. Water Works and Dams, maintenance costs for</p> <p>11 both Bay d'Espoir station group and blank were</p> <p>12 higher than average. Bay d'Espoir costs were</p> <p>13 about 55 percent higher. And again, down on</p> <p>14 the bottom, the recommendations for</p> <p>15 improvement opportunities included flatter</p> <p>16 organization, flexible workforce, reduced</p> <p>17 maintenance strategies, in favour of periodic</p> <p>18 investment may offer opportunities here as</p> <p>19 well. And I'm wondering if you can explain to</p> <p>20 us what has taken place since the 2001 hearing</p> <p>21 with respect to this?</p> <p>22 A. I will. I'd like to just comment on a couple</p> <p>23 of things on the Haddon Jackson report. First</p> <p>24 of all, just to put it in context of the</p> <p>25 approach that was taken by Newfoundland Hydro</p>

Page 81	Page 82
<p>1 MR. HAYNES:</p> <p>2 at the time, when we undertook this particular</p> <p>3 project with Haddon Jackson to do a benchmark</p> <p>4 study of the hydro facilities, we treated all</p> <p>5 of hydro generation as one station. And when</p> <p>6 you go through the main body of the large</p> <p>7 report that was a companion to this report.</p> <p>8 Most other utilities and I will just mention a</p> <p>9 few, BC Hydro had 10 stations there and they</p> <p>10 actually undertook 10 separate reviews. They</p> <p>11 didn't look at, you know, Peace River, et</p> <p>12 cetera, et cetera, as being one consolidated</p> <p>13 thing. What we had done in the interest, I</p> <p>14 guess, of saving money to some degree was we</p> <p>15 had lumped Bay d'Espoir, Hind's Lake, Cat Arm,</p> <p>16 Upper Salmon, Paradise River and called it one</p> <p>17 plant. So, you obviously get some</p> <p>18 difficulties in comparing apples and apples</p> <p>19 when you consider the travel requirements and</p> <p>20 the distance between those. BC Hydro had 10</p> <p>21 different evaluations done. Great Lakes Power</p> <p>22 had 4. Hydro Quebec had 8 and so on. So,</p> <p>23 there's some context required. It doesn't</p> <p>24 mean that there's not useful information</p> <p>25 provided by Haddon Jackson with opportunities</p>	<p>1 for reducing that.</p> <p>2 I'd also like to take you to page 6 of</p> <p>3 the report whereby we have a functioning cost</p> <p>4 per megawatt hour. And if you look at that</p> <p>5 particular chart, and I guess that's not</p> <p>6 available electronically, on page 6, the</p> <p>7 average is roughly about, I guess, a little</p> <p>8 less than eight dollars per megawatt hour.</p> <p>9 And there's an average line drawn across the</p> <p>10 page and of all the plants that were</p> <p>11 considered which were some two or three</p> <p>12 hundred, Bay d'Espoir is indicated on that</p> <p>13 chart, you know, less than average cost when</p> <p>14 it's prepared in that context. So, while</p> <p>15 there are suggestions in the report, I don't</p> <p>16 think it's damming from the point of view of</p> <p>17 our overall performance. And if you turn the</p> <p>18 page to page seven, they've separated medium</p> <p>19 hydro plants which is also the way Bay</p> <p>20 d'Espoir was treated. And that particular</p> <p>21 chart on the top right hand page, we are</p> <p>22 again, less than average of all those factors.</p> <p>23 So, I just try to put that into context that</p> <p>24 while there are certain areas of the Haddon</p> <p>25 Jackson report we are higher and there are</p>
Page 83	Page 84
<p>1 certain areas where we are lower, but on the</p> <p>2 overall, you know, we didn't fare that bad.</p> <p>3 But there are recommendations in that</p> <p>4 particular report that certainly have merit</p> <p>5 and even though, it was not done, the review</p> <p>6 of the benchmarking was not done in an ideal</p> <p>7 way, in the interest of reducing costs, it</p> <p>8 certainly was--it certainly gave us some</p> <p>9 general guidelines, some indication of where</p> <p>10 we have some potential to save money.</p> <p>11 So, if we go to page 11 and the focus</p> <p>12 here for medium hydro, these are the split of</p> <p>13 costs between the various areas. Medium</p> <p>14 hydro, that is where Bay d'Espoir is. So,</p> <p>15 this is the average for about that particular</p> <p>16 segment, medium hydro. And then if you turn</p> <p>17 the page to page 12, you have Bay d'Espoir.</p> <p>18 So, you know, there are some, you know,</p> <p>19 support costs, they're ten percent different,</p> <p>20 building and grounds maintenance is pretty</p> <p>21 well the same, dikes and dams, there's 11</p> <p>22 percent for that as Haddon Jackson did point</p> <p>23 out. We do have quite a bit of, you know--</p> <p>24 this report is benchmarking, looks at, tries</p> <p>25 to put in context and levelize the playing</p>	<p>1 field for all these different plants. Some</p> <p>2 run of the river plants with one dam, you</p> <p>3 know, some other plants that have multiple</p> <p>4 facilities and we do have multiple facilities.</p> <p>5 So, there's some caution there. When you get</p> <p>6 down to other parts of the report, you know,</p> <p>7 with specific recommendations, we have done</p> <p>8 several things that are in line, if you will,</p> <p>9 with some of the Haddon Jackson commentary</p> <p>10 that we did receive. We, as I mentioned</p> <p>11 already, we've incorporated Granite Canal,</p> <p>12 another plant, another unit into the Bay</p> <p>13 d'Espoir operation with no increase in</p> <p>14 personnel in the operations or the engineering</p> <p>15 support group. We have, in the last contract</p> <p>16 negotiations, changed the role of remote plant</p> <p>17 operator to do more maintenance. At one</p> <p>18 particular time, they were basically operators</p> <p>19 and pretty well, each and every deficiencies</p> <p>20 or problem that arose, required electricians,</p> <p>21 mechanics or technicians to come from Bay</p> <p>22 d'Espoir or other places to help. Right now</p> <p>23 we are moving some of that trouble shoot</p> <p>24 capability and repair capability within the</p> <p>25 remote plant operators capability for them to</p>

Page 85	Page 86
<p>1 MR. HAYNES:</p> <p>2 do with less requirements from Bay d'Espoir.</p> <p>3 When we are into those particular areas doing</p> <p>4 overhaul maintenance work, the operator now</p> <p>5 works with that particular group. Whereas</p> <p>6 before he would basically do isolations and</p> <p>7 protection code things, but actually working</p> <p>8 with the group would be a very, very minimal</p> <p>9 thing. Right now that is changing as we move</p> <p>10 from a shift worker to a day worker.</p> <p>11 With respect to Paradise River which is a</p> <p>12 small remote plant, we have relocated that</p> <p>13 particular position. We do not have an</p> <p>14 operator in the Burin Peninsula area anymore.</p> <p>15 That particular position is being relocate to</p> <p>16 Bay d'Espoir and that is being done through</p> <p>17 the Bay d'Espoir group. You know, the</p> <p>18 maintenance crews will, as they have for a</p> <p>19 number--since day one, be dispatched from Bay</p> <p>20 d'Espoir, but as a small plant, we do not see</p> <p>21 merit into maintaining a full time presence at</p> <p>22 that particular plant. It's sufficiently</p> <p>23 instrumented, there's sufficient information</p> <p>24 going back to the Energy Control Centre to</p> <p>25 allow them to dispatch people or call the</p>	<p>1 maintenance people to have someone there. We</p> <p>2 have moved into the area of computerized</p> <p>3 maintenance systems and in our current</p> <p>4 activities and business process review, are</p> <p>5 looking at our work methods and so on. And we</p> <p>6 see from, we are expecting and anticipated</p> <p>7 some improvements over time with that as we</p> <p>8 progress down that route and have</p> <p>9 incorporated some increase in our vacancy</p> <p>10 reduction numbers to account for some</p> <p>11 improvements. They may be personnel, they may</p> <p>12 be anything, but the actual dollar savings is</p> <p>13 there.</p> <p>14 One of the things too which was</p> <p>15 mentioned, I guess, by Mr. Kelly was that on</p> <p>16 some of the remote plants, you would actually</p> <p>17 remove--well, they didn't say actually remove,</p> <p>18 but you would have less people in the area,</p> <p>19 sort of thing, to do that. We don't consider</p> <p>20 that appropriate for Newfoundland Hydro. We</p> <p>21 have taken that approach in Paradise River.</p> <p>22 We would not take that approach in Granite</p> <p>23 Canal or Hind's Lake. We have a number of</p> <p>24 people in the Deer Lake area who basically</p> <p>25 look after the day-to-day maintenance of</p>
Page 87	Page 88
<p>1 Hind's Lakes and Cat Arm. Because those</p> <p>2 particular plants are critical to our role in</p> <p>3 providing, meeting our mandate, we do not</p> <p>4 think it would be appropriate to take those</p> <p>5 people out of those areas. It's too far away,</p> <p>6 the time delays are too long, the plants are</p> <p>7 too important. On some smaller plants, for</p> <p>8 instance, at Snooks and Venam's, we do not</p> <p>9 have people in the area. We have a small</p> <p>10 contract with a caretaker, sort of thing, to</p> <p>11 look after it, but that's a minor cost.</p> <p>12 Paradise River, as I've mentioned a couple of</p> <p>13 times now, we've actually gone the other way.</p> <p>14 We have made changes in our purchasing</p> <p>15 and our goods and consumable things to waste</p> <p>16 less time, if you will, going to the warehouse</p> <p>17 to pick up consumables as was mentioned a few</p> <p>18 days ago by Mr. Roberts and Mr. Wells. I</p> <p>19 don't recall now who. And we have, you know,</p> <p>20 used purchasing cards, we have changed around</p> <p>21 that goods and services supply thing to better</p> <p>22 accommodate the needs of the plants to reduce</p> <p>23 that particular effort. So, over a period of</p> <p>24 time, we see making some gains on this and</p> <p>25 improving our record compared to others.</p>	<p>1 Q. After you got this report from Haddon Jackson,</p> <p>2 did Hydro do any internal study to see how it</p> <p>3 might reorganize the structure the Hydro</p> <p>4 division or department in view of Haddon</p> <p>5 Jackson's recommendations? Was there any kind</p> <p>6 of internal study done to look at this?</p> <p>7 A. It was reviewed, but there was no "formal</p> <p>8 review" in a sense of sitting down and</p> <p>9 analysing each particular thing and writing a</p> <p>10 report. This report obviously is in the hands</p> <p>11 of the plant manager at Bay d'Espoir and when</p> <p>12 we are making changes, see opportunities, it</p> <p>13 is used to, I guess, to give us some guidance</p> <p>14 on possible areas of improvement which, we've</p> <p>15 undertaken several.</p> <p>16 Q. But was it only dealt with at the level of the</p> <p>17 plant manager at Bay d'Espoir, as opposed to</p> <p>18 your level of vice president to look at how</p> <p>19 this department might be reorganized with, you</p> <p>20 know, as a flatter management structure, et</p> <p>21 cetera.</p> <p>22 A. The -</p> <p>23 Q. I take your point that, you know, Bay</p> <p>24 d'Espoir, as you say, some of the caveats that</p> <p>25 you've talked about, both Hydro's mandate and</p>

Page 89	Page 90
<p>1 KELLY, Q.C.:</p> <p>2 the Board's mandate is still the least cost</p> <p>3 generation.</p> <p>4 A. The organization structure at Bay d'Espoir</p> <p>5 basically, you know, when you look at it right</p> <p>6 now, there's a plant manager, there's a labour</p> <p>7 manager, an asset manager and their</p> <p>8 supervisors and that's it. There is no six or</p> <p>9 seven rungs to the ladder, if you will, in the</p> <p>10 hydro plant area. So, I think the</p> <p>11 organization structure is reasonable flat now.</p> <p>12 I don't think there's a lot of opportunities,</p> <p>13 there maybe here and there, some, you know, a</p> <p>14 couple of things here and there, but there's</p> <p>15 no major organizational structural issue with</p> <p>16 the Bay d'Espoir or the hydro generation area.</p> <p>17 Q. This would be an appropriate place to break,</p> <p>18 Mr. Chair.</p> <p>19 CHAIRMAN:</p> <p>20 Q. Thank you, Mr. Kelly, Mr. Haynes, we'll</p> <p>21 reconvene at 11:30 a.m. Thank you.</p> <p>22 (BREAK - 11:00 a.m.)</p> <p>23 (RESUME - 11:36 a.m.)</p> <p>24 CHAIRMAN:</p> <p>25 Q. Thank you. When you're ready, Mr. Kelly.</p>	<p>1 KELLY, Q.C.:</p> <p>2 Q. Thank you, Chair. Mr. Haynes, I just want to</p> <p>3 finish up this discussion we were having about</p> <p>4 NP-31 from the previous hearing. And can I</p> <p>5 take you to the October 10, 2001 transcript</p> <p>6 at--discussion begins at page 2? It begins at</p> <p>7 the bottom of page 2 with Ms. Butler asking</p> <p>8 about NP-31. And if we go over to the top of</p> <p>9 page 3 at line, approximately 50, 51, 52 Mr.</p> <p>10 Henderson is answering, and he says "We're</p> <p>11 looking at our maintenance practices, our</p> <p>12 staffing levels in different areas. We have</p> <p>13 not made--come to any conclusion. We're just</p> <p>14 basically at this point studying this report</p> <p>15 and we will be expecting to start implementing</p> <p>16 some changes as a result of this in the next</p> <p>17 year or two." And down at the bottom of that</p> <p>18 page at lines 98 to 101 he makes a similar</p> <p>19 comment. And I'll take you over to page 4 to</p> <p>20 line 40. And Mr. Henderson says, "They are</p> <p>21 being considered, as I mentioned, but there</p> <p>22 has been no action taken on these other than</p> <p>23 the fact that we are reviewing them with our</p> <p>24 new vice-president in position." I take it</p> <p>25 that would be you?</p>
Page 91	Page 92
<p>1 A. Yes.</p> <p>2 Q. "This is one of his items that he has to</p> <p>3 address with the manager of hydro generation</p> <p>4 to look at what of these we can implement."</p> <p>5 And Ms. Butler says, or asks, "So there are no</p> <p>6 potential savings reflected in the test year</p> <p>7 from any initiatives that may be taken from</p> <p>8 this report?" Mr. Henderson answers, "No."</p> <p>9 And I take it that as we looked at NP 9, that</p> <p>10 there have, despite this report, been no</p> <p>11 changes in the staffing levels at--in the</p> <p>12 hydro department at Newfoundland Hydro?</p> <p>13 A. There has been no specific staffing changes in</p> <p>14 the hydro department. I mean, there have been</p> <p>15 some--there have been increase in plant, as I</p> <p>16 mentioned. We added Granite Canal, which was</p> <p>17 obviously a consideration. When we added</p> <p>18 Granite Canal, there may have been a perceived</p> <p>19 notion that we would increase staff. And that</p> <p>20 was discussed thoroughly with management of</p> <p>21 hydro plant operations and we proceeded on the</p> <p>22 basis there would be no increase in staff for</p> <p>23 Granite Canal. We have addressed other items</p> <p>24 that were in the Haddon Jackson Report which</p> <p>25 was, as again I mentioned, with respect to</p>	<p>1 Paradise River, relocating the operator to</p> <p>2 maximize the resources of the whole. We've</p> <p>3 changed the working conditions or the working</p> <p>4 hours, if you will--not the hours, but the</p> <p>5 assigned hours of the remote plant operators</p> <p>6 from a shift operation to a day shift</p> <p>7 operation to better employ their skills and</p> <p>8 abilities in the maintenance and operation of</p> <p>9 those plants. So, even though there has not</p> <p>10 been a reduction in the complement at Bay</p> <p>11 d'Espoir, we have undertaken several</p> <p>12 initiatives to improve that particular</p> <p>13 operating footprint, if you will, of Bay</p> <p>14 d'Espoir.</p> <p>15 Q. Are there any savings from the Haddon Jackson</p> <p>16 Report and any of what you've said been</p> <p>17 incorporated in the 2004 test year, and if so,</p> <p>18 how much are those savings?</p> <p>19 A. All the savings, I may be a little bit</p> <p>20 difficult to put a number on some of the</p> <p>21 initiatives that we did there, but if we go</p> <p>22 to, if we go to--excuse me for a second. If</p> <p>23 you go to NP-87, and this excludes the</p> <p>24 discussion that Mr. Wells had or Mr. Roberts</p> <p>25 had on the goods and services where we made</p>

Page 93	Page 94
<p>1 MR. HAYNES:</p> <p>2 change to effect all these particular plants,</p> <p>3 not only Bay d'Espoir but other ones, but we</p> <p>4 anticipated over time that we would save, on</p> <p>5 page 103, about approximately \$100,000 a year</p> <p>6 by more adequately employing the remote plant</p> <p>7 operators to do maintenance and to--and moving</p> <p>8 them from a shift operation to a day shift</p> <p>9 operation. At item No. 2 there was a small</p> <p>10 amount of money, but nevertheless, it's an</p> <p>11 activity that helps by relocating the plant</p> <p>12 operator position from Paradise River to Bay</p> <p>13 d'Espoir and that would also have been a</p> <p>14 factor in us not actually hiring additional</p> <p>15 operators or maintenance personnel for one</p> <p>16 additional plant. You know, we have five</p> <p>17 major plants, now we have six, so we've taken</p> <p>18 on, you know, another machine and another</p> <p>19 maintenance activity with no increase in</p> <p>20 staff. So there's no dollar value, a dollar</p> <p>21 value tagged to that, but it's a definite</p> <p>22 saving and will reduce our per megawatt hour,</p> <p>23 per megawatt cost, whichever way you want to</p> <p>24 measure it. These are the two primary ones on</p> <p>25 a single basis at Bay d'Espoir which would</p>	<p>1 facilitate that there. With respect to the</p> <p>2 materials management on goods and services,</p> <p>3 those things had been done. And all those</p> <p>4 savings are reflected in the 2004 test year.</p> <p>5 And further, on a corporate level and--of</p> <p>6 which the production department has been</p> <p>7 assigned, I forget the number offhand, but</p> <p>8 it's readily available, the production</p> <p>9 division has also been tagged with, not a very</p> <p>10 good choice of words, \$925,000 in vacancy</p> <p>11 reduction as well as our share of the one and</p> <p>12 a half million dollar corporate reduction that</p> <p>13 we anticipate over the ensuing period of time</p> <p>14 with respect to business process review and</p> <p>15 things of that matter.</p> <p>16 Q. How many of those vacancy--how many of those</p> <p>17 positions are vacant now in the hydro section?</p> <p>18 You told us overall there's 10 vacant. How</p> <p>19 many are in hydro?</p> <p>20 A. Just one second. At the present time in hydro</p> <p>21 operations we have five vacancies.</p> <p>22 Q. And has it been looked--are you looking at</p> <p>23 eliminating any of those five positions</p> <p>24 permanently, or are they all going to be</p> <p>25 filled?</p>
Page 95	Page 96
<p>1 A. All the positions are under review. Some of</p> <p>2 the changes--some of the positions are</p> <p>3 actually maybe being partly done by temporary</p> <p>4 labour, depending on the particular role.</p> <p>5 When we go back to, I guess, an earlier</p> <p>6 question this morning on organizational</p> <p>7 structure, we did make an organizational</p> <p>8 structure change at Bay d'Espoir when we moved</p> <p>9 the operators who were now taking on more of a</p> <p>10 maintenance role and operating role. We've</p> <p>11 actually moved them to the labour manager,</p> <p>12 which was kind of consistent with the approach</p> <p>13 that Haddon Jackson had suggested and so on.</p> <p>14 But all the five positions will be under</p> <p>15 review.</p> <p>16 Q. But so half of your vacancies are in the hydro</p> <p>17 generation department which has not yet seen</p> <p>18 decreases in complement. And while you say</p> <p>19 they're under review, can you give the Board</p> <p>20 any sense as to what Hydro's plans are as to</p> <p>21 whether you intend to eliminate some or all of</p> <p>22 those five positions?</p> <p>23 A. We do not have any specific plans to eliminate</p> <p>24 any of those positions at this point in time.</p> <p>25 We are reviewing, as I mentioned. Some are</p>	<p>1 being filled by temporary efforts and there</p> <p>2 are some--there were some--all the particular</p> <p>3 activities of those particular people are</p> <p>4 being reviewed, but we have not concluded that</p> <p>5 we can do without them at this point in time.</p> <p>6 Q. Okay. The need for operators for Bay d'Espoir</p> <p>7 and whether that facility could be remotely</p> <p>8 operated, has that been analyzed at all by</p> <p>9 Hydro in recent times with new technology,</p> <p>10 etcetera?</p> <p>11 A. Not in recent times it has not been looked at.</p> <p>12 I think it was some number of years ago. And</p> <p>13 the Bay d'Espoir plant has not been--it would</p> <p>14 require considerable capital and you will</p> <p>15 still need operators. But Bay d'Espoir plant</p> <p>16 right now is manned 24 hours a day with an</p> <p>17 operator.</p> <p>18 Q. Has Hydro performed or do you intend to</p> <p>19 perform any kind of cost, benefit analysis to</p> <p>20 look at that as a potential alternative to</p> <p>21 reduce complement?</p> <p>22 A. We have not considered doing that for the</p> <p>23 remote operation of Bay d'Espoir plant for a</p> <p>24 few reasons. Primarily, one of the key roles</p> <p>25 of the operators at the Bay d'Espoir facility</p>

Page 97

1 MR. HAYNES:

2 is that we do not have operators on shift at
 3 any of the other remote plants. The energy
 4 control centre looks after the system,
 5 dispatches units, can start, stop machines
 6 other than Holyrood and Bay d'Espoir. But the
 7 Bay d'Espoir personnel do have a fair number
 8 of duties and roles with respect to the remote
 9 plants. The energy control centre would not
 10 be--they are dispatchers, they do not get into
 11 plant operating specifics. They don't, you
 12 know, go into the plant and turn on things
 13 within the plant. That is left to the Bay
 14 d'Espoir operators who look at that for remote
 15 plants, as well, and do things like that. So
 16 we have no current plans to -

17 Q. Automation is not being even analyzed?

18 A. Not on the--it has not been for some time. We
 19 have looked at automating certain aspects of
 20 our Bay d'Espoir hydro plant operations with
 21 respect to some up country structures. Some
 22 of that work is ongoing now, but we do not
 23 have any conclusive results to make changes.
 24 But if they have changes are--if the changes
 25 are economic to do, then we would put them

Page 99

1 employ RCM at the gas turbine in Holyrood and
 2 we are reviewing some RCM applications in the
 3 Holyrood plant as such, certain systems and so
 4 on, not the whole plant but certain aspects
 5 where there may be some redundancy. In the
 6 Bay d'Espoir hydro generation as a whole we
 7 have not undertaken a full scale review and we
 8 have some, we have some reservation about
 9 moving to a, you know, to the philosophy of
 10 full scale RCM approach primarily because some
 11 of the plants are remote and run into failure
 12 when you have the distance and so on and the
 13 potential of spill is--has to be weighed
 14 against RCM. You know, we do--you know, there
 15 are several maintenance tactics that you can
 16 employ, RCM is but one, you know. And we do
 17 computerize maintenance planning. We have
 18 condition based monitoring for certain things,
 19 but we have not--we have not pursued a full
 20 RCM review for the hydro plant. We have some
 21 reluctance and some doubts about whether it
 22 would be really effective for that particular
 23 -

24 Q. Is it being studied in your division?

25 A. Not in the hydro plant, per se, at the moment.

Page 98

1 forward as being valid capital budget
 2 proposals -

3 Q. That's what I was trying to get a handle on as
 4 to are you doing a cost, benefit analysis
 5 study to determine whether some of these
 6 things are cost effective?

7 A. We're not looking at the hydro plant, per se.
 8 We are looking at other aspects of the hydro
 9 plant operations such as some of the remote
 10 structures up country.

11 Q. Okay. When will those studies be completed?

12 A. They will be completed late this year or early
 13 next year. That's an in house, a desktop
 14 study to see if there's merit in continuing
 15 further.

16 Q. So late 03 or early 04?

17 A. That would be the time frame.

18 Q. Okay. Can I ask you a couple of questions
 19 about maintenance? We've heard and Mr. Wells
 20 talked about reliability centred maintenance
 21 and there's much discussion of that in the TRO
 22 section, but less so in yours. Does it apply
 23 in production or--and if so, what are the
 24 implications?

25 A. It has some applications in production. We do

Page 100

1 We are reviewing some potential applications
 2 for some subsystems in Holyrood -

3 Q. You have Holyrood -

4 A. - we have not looked at it in whole for hydro
 5 -

6 Q. If I take you to MP-277 which asks about
 7 reliability centred maintenance and we go down
 8 through the answer, the answer covers
 9 transmission, distribution, terminal stations,
 10 diesel plants, gas turbines. And then at the
 11 end at page 3 of 3 there's a breakdown of what
 12 the million dollars is. They all, at least on
 13 first blush to me, appear to be in TRO. Am I
 14 missing something here?

15 A. No. That's correct. That is a TRO
 16 initiative, and the gas turbine cost quota
 17 would be for the gas turbines that are
 18 maintained by TRO, being hardwoods in
 19 Stephenville and Goose Bay.

20 Q. Are there any reliability centred maintenance
 21 savings in the production division?

22 A. As I said, we have not reviewed it in dept for
 23 Bay d'Espoir. We are reviewing it with
 24 respect to some systems in Holyrood and we
 25 have employed it for the gas turbine at

Page 101	Page 102
<p>1 MR. HAYNES:</p> <p>2 Holyrood, but I don't know what the savings</p> <p>3 are offhand.</p> <p>4 Q. Okay.</p> <p>5 A. So we are looking at it with caution and where</p> <p>6 you have a potential for spill, major damage,</p> <p>7 it--my personal view, I guess, is that on RCM,</p> <p>8 I think there are lots of benefits to RCM, but</p> <p>9 you have to look very specifically at what</p> <p>10 particular facet of the operation you're</p> <p>11 looking at. On a distribution system where</p> <p>12 you have some many miles, there may be some</p> <p>13 merit to that and where you have staff who can</p> <p>14 in a reasonable time frame return that to</p> <p>15 service, but on a generation side, caution is</p> <p>16 required, from my perspective.</p> <p>17 Q. I don't get the sense you're as "gung-ho"</p> <p>18 about this as perhaps some of the other people</p> <p>19 -</p> <p>20 A. No, I have reservations about run to failure</p> <p>21 on generating plant that may affect--excuse</p> <p>22 me. That if you adopt that philosophy and</p> <p>23 embrace it, embrace it too much on generating</p> <p>24 plant, you may affect the forced outage rates</p> <p>25 and therefore affect timing. You know, we</p>	<p>1 think that what we're doing right now is</p> <p>2 consistent with most of the Canadian utilities</p> <p>3 and we are striving to maintain those</p> <p>4 reliability numbers. If you run to failure</p> <p>5 and you, if over time affect our forced outage</p> <p>6 rates, then you will affect our overall asset</p> <p>7 performance and may affect timing of new</p> <p>8 plant.</p> <p>9 Q. But reliability centred maintenance is not</p> <p>10 really intended to be a run to failure, is it,</p> <p>11 surely not?</p> <p>12 A. It is one aspect of RCM. It is one aspect of</p> <p>13 RCM.</p> <p>14 Q. We'll explore that perhaps a little more with</p> <p>15 Mr. Martin. Can I take you to WW-2, which is</p> <p>16 the July--sorry, June 30th quarterly report,</p> <p>17 to page 3 of that? A little bit--no. Should</p> <p>18 be page 3. I think you got to go a little bit</p> <p>19 further. Next page over, Mr. O'Reilly. There</p> <p>20 we go. In the area dealing with net</p> <p>21 operations, and there's a question that arises</p> <p>22 about the maintenance. There was a breakdown</p> <p>23 page that we had which is U-1, I believe,</p> <p>24 which provides a breakdown of that. Perhaps</p> <p>25 we could put that up? Yes, there we go. And</p>
Page 103	Page 104
<p>1 the systems equipment maintenance is down for</p> <p>2 Hydro generally from 7 million 8 in the</p> <p>3 forecast to 6 million 2. And I'm wondering if</p> <p>4 you can shed any light on the reasons for that</p> <p>5 up to the end of June?</p> <p>6 A. Yes. The primary driver or the primary reason</p> <p>7 for that is mostly timing, and particularly</p> <p>8 with respect to our Hydro--I'm sorry, Holyrood</p> <p>9 thermal plant. We basically have partner</p> <p>10 agreements in place with the, well, three</p> <p>11 actual vendors, and one particular vendor is</p> <p>12 the work is being done but his timing of bills</p> <p>13 is good for us and bad for him, from my</p> <p>14 perspective. He doesn't get his bills in on</p> <p>15 time, but it's mostly timing delay.</p> <p>16 Q. Is it that the work is not done or that the -</p> <p>17 A. No, no.</p> <p>18 Q. - that the invoicing is not in?</p> <p>19 A. The invoicing is not in. The work has been</p> <p>20 done.</p> <p>21 Q. Oh, I see. So it does not -</p> <p>22 A. It's just timing.</p> <p>23 Q. It does not reflect a question of timing of</p> <p>24 the performance of the actual maintenance?</p> <p>25 A. No. There were some exceptional items to be</p>	<p>1 done in Holyrood, but the primary reasons for</p> <p>2 the large difference in the actual forecast,</p> <p>3 I'm sorry, the actual versus forecast is</p> <p>4 primarily the delay in the vendor submitting</p> <p>5 their bills and invoices to Newfoundland</p> <p>6 Hydro.</p> <p>7 Q. Okay. Now, I understand in 2003 there was a</p> <p>8 major turbine overhaul for unit No. 1 at</p> <p>9 Holyrood?</p> <p>10 A. Yes, that is correct.</p> <p>11 Q. Without getting into a lot of technical</p> <p>12 detail, what's involved in that and would that</p> <p>13 improve the life of the unit?</p> <p>14 A. Each year we do major overhauls of the boiler</p> <p>15 and then--and we do a minor overhaul of the</p> <p>16 turbines. Every six years, that's the present</p> <p>17 practice, that we--which used to be four</p> <p>18 years, we do a major turbine overhaul, which</p> <p>19 means that you basically tear apart the</p> <p>20 turbine, you remove the rotor, you check all</p> <p>21 the blades for any damage or corrosion and you</p> <p>22 fix, you fix what's broken. It wouldn't</p> <p>23 necessarily be life extension, but if you</p> <p>24 didn't do it, you would definitely have a</p> <p>25 shortening of the useful life of the machine.</p>

Page 105	Page 106
<p>1 MR. HAYNES:</p> <p>2 And, you know, we look for cracking on turbine</p> <p>3 blades, which eventually may fail and we</p> <p>4 replace those. We check the condition of the</p> <p>5 generator, the winding, and we--and often</p> <p>6 times we end up doing more work than we may</p> <p>7 have had in the plan because of that, because</p> <p>8 you're actually opening up something that</p> <p>9 operates at 1000 degrees and 1000 PSI that you</p> <p>10 haven't seen for six years.</p> <p>11 Q. And that takes place every six years and the</p> <p>12 2003 cost is about a million dollars, correct?</p> <p>13 A. The additional cost is approximately a million</p> <p>14 dollars over the -</p> <p>15 Q. Okay. And but you said that, well, if you</p> <p>16 didn't do this, the life would certainly be</p> <p>17 shortened. Does that not, as a corollary,</p> <p>18 mean that the life is extended by doing the</p> <p>19 overhaul?</p> <p>20 A. That is a normal practice for any steam</p> <p>21 turbine operator to do a major overhaul at</p> <p>22 some periodic interval which may vary with use</p> <p>23 or their experience. And I guess it's--if you</p> <p>24 didn't maintain it, you would deteriorate the</p> <p>25 life. I'm not prepared to say that we're</p>	<p>1 actually extending the useful life of the</p> <p>2 asset, but I have no, I have no reason to</p> <p>3 believe that we will not get another 20 plus,</p> <p>4 30 years from the turbine itself.</p> <p>5 Q. And what would have been the original life</p> <p>6 expectancy of the turbine?</p> <p>7 A. Typically steam turbines are expected to</p> <p>8 operate about 30 years. However, we do have</p> <p>9 some other factors which affect our expected</p> <p>10 life, basically the fact that we do not</p> <p>11 operate that particular plant at 75 percent</p> <p>12 capacity or capability throughout the year, so</p> <p>13 there is some additional useful life. And we</p> <p>14 anticipate a 20/20 is a non-issue and in all</p> <p>15 likelihood we will be able to get beyond that</p> <p>16 with some reinvestment of capital over time.</p> <p>17 Q. Right. So if--and unit, this was unit No. 1,</p> <p>18 that would have come into service when?</p> <p>19 A. 1970, possibly.</p> <p>20 Q. Right. So in the ordinary course of events</p> <p>21 that would have already exceeded its useful</p> <p>22 life, so but for these six year overhauls--</p> <p>23 these six year overhauls extend that life out</p> <p>24 further, is that not essentially the case?</p> <p>25 A. I think the six year overhauls ensure that we</p>
Page 107	Page 108
<p>1 will actually get there. I think one of the</p> <p>2 biggest factors in getting beyond the 30 year</p> <p>3 life is the fact that our operating factor</p> <p>4 since year one would not have been 75 percent,</p> <p>5 it would have been something less.</p> <p>6 Q. Yeah. Now, there are other projects that are</p> <p>7 major projects in 2004 which are in the</p> <p>8 numbers, a heap tracing refurbishment for</p> <p>9 about \$203,000?</p> <p>10 A. Yes.</p> <p>11 Q. And what's involved in that?</p> <p>12 A. Primarily that is the fuel lines from the, I'm</p> <p>13 not sure which section, it would be from the</p> <p>14 marine dock to the--the marine dock to the oil</p> <p>15 storage tanks. And two of those tanks are</p> <p>16 original, the same age as the original units</p> <p>17 and two tanks were built in 1979, '80. So</p> <p>18 over the period of time there's been a</p> <p>19 deterioration in the insulation and in the</p> <p>20 heat tracing, so basically we are just</p> <p>21 basically overhauling, if you will, and</p> <p>22 replacing what has been worn out.</p> <p>23 Q. So that's renewing the insulation on these</p> <p>24 systems?</p> <p>25 A. And the heat tracing equipment itself.</p>	<p>1 Q. And the heat tracing?</p> <p>2 A. Yes.</p> <p>3 Q. And that would be a betterment or an</p> <p>4 improvement to those from their current</p> <p>5 condition?</p> <p>6 A. It's to ensure that we can, that we can move</p> <p>7 oil. Bunker C obviously in the cold</p> <p>8 temperatures doesn't flow very well so we have</p> <p>9 to keep it heated. So it doesn't necessarily-</p> <p>10 -it doesn't preserve the life of the pipes in</p> <p>11 the sense of, you know, reducing corrosion or</p> <p>12 whatever from any major sense. It's more to</p> <p>13 just maintain the operating capability that</p> <p>14 was designed initially.</p> <p>15 Q. And you have fuel oil tank cleaning and repair</p> <p>16 for 665,000?</p> <p>17 A. Yes.</p> <p>18 Q. What's that in relation to?</p> <p>19 A. That is the fuel oil storage tanks. We're not</p> <p>20 contemplating any replacement of any steel of</p> <p>21 consequence. It's to look at the condition of</p> <p>22 the roof, to repair any pits that are there,</p> <p>23 to apply a protective coating, ie, paint, to</p> <p>24 drain the tank, to do non-destructive testing</p> <p>25 of the wells and so on to ensure we do not end</p>

Page 109	Page 110
<p>1 MR. HAYNES: 2 up with an oil spill or leak. 3 Q. And you've got an asbestos abatement program. 4 I take it that's to remove asbestos from some 5 area for 175,000? 6 A. Yes. 7 Q. Where is that coming out of? 8 (12:00 p.m.) 9 A. Primarily it's units No. 1 and 2 which were 10 the original plant. There's some small 11 amounts of asbestos that was installed on Unit 12 No. 3 mostly through repairs done over time 13 and it's some--\$175,000 is, I would suggest, 14 the minimum amount that we see at this point 15 in time. And over a period of years we would 16 endeavour to remove most of the asbestos from 17 the plant. 18 Q. And you've got a roof replacement for 215,000? 19 A. Yes. 20 Q. Where is that roof? 21 A. It's in the powerhouse in one of the--it's a 22 section, it's the replacement of a section of 23 the roof. 24 Q. And that part of the roof is simply being 25 replaced?</p>	<p>1 A. Yes. You know, it's basically a pitch and 2 gravel roof which over a period of 15 to 20 3 years often require considerable maintenance. 4 So it'll be just - 5 Q. But in this case, I take it, it's more than 6 just a quick patch, it's actually a 7 replacement job? 8 A. Of a section of the roof, yes. 9 Q. Right. And the last one I wanted to ask you 10 about was fire protection purging valves 11 relocation for \$200,000? 12 A. Yes. 13 Q. Where is that? I take it there are new valves 14 being installed? 15 A. No, it's not new valves; it's actually a 16 relocation. And that was a strong 17 recommendation of our underwriters for some 18 years. And right now the turbine generators 19 of Holyrood are cooled with hydrogen gas, all 20 three are. And I guess experience has shown 21 in other facilities and so on that obviously 22 if it's a failure, it's a fairly volatile and 23 explosive gas. And their recommendation was 24 to move the purging valves from the second 25 floor, which is basically down below the</p>
Page 111	Page 112
<p>1 operating deck where the operators are up 2 where they're more readily available to the 3 operator in the case of emergency so he can 4 actually isolate and shut off the hydrogen gas 5 to isolate the system. 6 Q. All of the items that we just talked about in 7 2004 are in as operating expense as opposed to 8 capital expense, and the 2003 major turbine 9 overhaul, that in fact, was in as a 2003 10 operating expense as opposed to a capital 11 item. Can I suggest to you, Mr. Haynes, that 12 some of these items, in particular, the 13 overhaul, the roof replacement, the heat 14 tracing replacement and some of these other 15 ones would, in fact, be more appropriately 16 capitalized? 17 A. To date Hydro has treated most of those costs 18 as operating costs because there was no 19 significant life extension. We've had some 20 discussions, obviously, with the controllers 21 on and some decisions whether they should be 22 operating or capital, but to date we have 23 considered these to be, you know, operating 24 costs because it's particularly in Holyrood, 25 it's--that is this year. Next year it'll be a</p>	<p>1 host of other things with such a complex 2 operation. We have not capitalized that. 3 Q. Okay. Can I take you to NP-249? This asks 4 about Hydro's guidelines for capitalizing. 5 And the answer is, "Overhauls or major repairs 6 would not normally be capitalized unless 7 considered as a replacement or betterment of a 8 unit or portion of a unit of property. And 9 subject to Board approval the cost of major 10 extraordinary repairs are recorded as deferred 11 charges and amortized on the straight line 12 method over five years." For example, the 13 roof replacement we looked at is clearly a 14 replacement of a portion of a unit, is it not? 15 A. The portion of the roof, yes. 16 Q. So why wouldn't that be capitalized within 17 that guideline that you've got there? 18 A. None of the particular projects that we have 19 in the operating budget for Holyrood we 20 actually propose to treat that way. Usually 21 on a recurring basis each and every year there 22 are a number of these aspects in Holyrood. 23 The heat tracing was a part of a multi-year 24 program, and the roof replacement, I don't 25 recall that as being a multi-year program, but</p>

Page 113	Page 114
<p>1 MR. HAYNES:</p> <p>2 I would not be shocked to find that next year</p> <p>3 or the year after we may find a comparable</p> <p>4 item. So over a period of time it kind of -</p> <p>5 Q. But some capital projects do go on over a</p> <p>6 number of years, both big ones and -</p> <p>7 A. Oh, yes.</p> <p>8 Q. - small ones. And take the heat tracing</p> <p>9 refurbishment or replacement which again would</p> <p>10 be a replacement that takes place, I would</p> <p>11 suggest to you, of a capital nature?</p> <p>12 A. We haven't taken that approach for some of the</p> <p>13 systems at Holyrood. We've treated those as</p> <p>14 operation costs and I'm -</p> <p>15 Q. But then it goes into -</p> <p>16 A. And I'm not sure what the depreciation -</p> <p>17 Q. But then it goes into the test year expense</p> <p>18 for which for customers and ratepayers have to</p> <p>19 pay as opposed to having to having it</p> <p>20 capitalized?</p> <p>21 A. And if you had it in a capital we would earn</p> <p>22 for a long number of years, which would be</p> <p>23 more onerous on the ratepayer.</p> <p>24 Q. Yes. But there's a question of balance in</p> <p>25 there. And that comes to the second part of</p>	<p>1 it, "Subject to Board approval". Has Hydro</p> <p>2 requested the Board to deal with any of these</p> <p>3 items over an extended period of time, either</p> <p>4 by putting them into capital or having them</p> <p>5 dealt with as amortized over five years?</p> <p>6 A. No, not to my knowledge, no, we have not in</p> <p>7 recent times taken that approach.</p> <p>8 Q. Okay. Can I take you to one last question on</p> <p>9 maintenance to Mr. Brushett's '03 report at</p> <p>10 page 42, and to the table at the--sorry. If I</p> <p>11 said '02, Mr. O'Reilly, I meant to say '03,</p> <p>12 page 42. There we go. This deals with</p> <p>13 maintenance expenses. And you see production</p> <p>14 there?</p> <p>15 A. Yes.</p> <p>16 Q. Which would be your department. In '02 we had</p> <p>17 7.7 or 7.8 million whereas forecast '04 is 9.1</p> <p>18 million, which is an increase of about 1.3</p> <p>19 million, many of which are the projects that</p> <p>20 we just talked about. And keeping in mind the</p> <p>21 significant increase of 1.3 million over '02</p> <p>22 to '04, does that shed any light on whether</p> <p>23 these should be treated as capital or</p> <p>24 operational?</p> <p>25 A. I think you can equally go back to 2001 where</p>
Page 115	Page 116
<p>1 it was \$9.2 million. And 2002 we did cancel</p> <p>2 some projects, you know, in striving to--or</p> <p>3 deferred some projects and cancelled some to</p> <p>4 some considerable time later to try to meet</p> <p>5 the direction of the PUB on our productivity</p> <p>6 allowance and our bottom line. But the 2002</p> <p>7 test year was--the 2003 test year--I'm sorry.</p> <p>8 2003 test year included a major overhaul.</p> <p>9 2004 does not have a major overhaul, but there</p> <p>10 are other projects that are in there. And</p> <p>11 certainly on a go forward basis we will try as</p> <p>12 best we can to levelize that. And that's been</p> <p>13 the subject of, I guess, some discussion for</p> <p>14 some time. It's very difficult to levelize</p> <p>15 the cost of Holyrood because of the nature of</p> <p>16 the beast. But--and I fully expect in 2005</p> <p>17 it'll be in the same order of magnitude of</p> <p>18 numbers.</p> <p>19 Q. A couple of questions just to close out with</p> <p>20 respect to the IT area.</p> <p>21 A. Yes.</p> <p>22 Q. And can we have a look at NP-259? And if we</p> <p>23 go over to the attached schedule, we look at</p> <p>24 the production division, this is travel and</p> <p>25 conference, the amount for IT is dramatically</p>	<p>1 in excess as you go along through 2002 travel</p> <p>2 and conferences than any of the other</p> <p>3 departments?</p> <p>4 A. Yes.</p> <p>5 Q. Can you explain to us why that would be the</p> <p>6 case and what efforts are in place, if</p> <p>7 anything, to control those items?</p> <p>8 A. For both categories or?</p> <p>9 Q. You have both travel and conferences, and as I</p> <p>10 look across the line both substantially exceed</p> <p>11 the amounts for any of your other departments.</p> <p>12 The first question, why is that the case, and</p> <p>13 the second part of the question is what is</p> <p>14 being done to control it?</p> <p>15 A. As I mentioned, I believe, when Mr. Browne was</p> <p>16 questioning on this, on the travel components,</p> <p>17 the IS and T department, you know, maybe I</p> <p>18 should go back and compare it to hydro</p> <p>19 generation. Hydro generation has a few extra</p> <p>20 people, but they basically maintain seven or</p> <p>21 eight specific sites, different hydro plants.</p> <p>22 The IS and T section maintain all the IT</p> <p>23 infrastructure across the system, the VHF</p> <p>24 communications, the microwave system, so</p> <p>25 inherently there's a bit more travel to an</p>

Page 117	Page 118
<p>1 MR. HAYNES:</p> <p>2 excess of 100 particular sites, so there is</p> <p>3 more travel. On the conference budget, there</p> <p>4 has been money allocated for attending various</p> <p>5 technical conferences whereby it's--whereby</p> <p>6 there is value added in the sense of bringing</p> <p>7 back what other IT organizations are doing,</p> <p>8 what other utilities are doing, and that was</p> <p>9 part of the seventy-one, five. In 2003 it</p> <p>10 basically was 25 and a half. And if I recall</p> <p>11 correctly, in our re-file there will be a</p> <p>12 change in the seventy-one, five, down to</p> <p>13 comparable levels to last year. But in</p> <p>14 keeping up with the technology and the trends</p> <p>15 and understanding what people are doing and</p> <p>16 opportunities for improvement, conferences are</p> <p>17 a good place to attain that information.</p> <p>18 Q. But I thought travel and IT was one of the</p> <p>19 areas that you had told us earlier that there</p> <p>20 were some potential for savings now as you get</p> <p>21 the ability to control and rectify some of</p> <p>22 these systems from St. John's?</p> <p>23 A. Yes, and to -</p> <p>24 Q. It's about travel.</p> <p>25 A. - and the 2004 forecast, from 2003, is</p>	<p>1 significantly down on travel from 220 to--</p> <p>2 well, from 218 or 219 to 184.</p> <p>3 Q. But it's still -</p> <p>4 A. It's still high.</p> <p>5 Q. - it's still up over 166 in 2002.</p> <p>6 A. Yes. But we have added a VHF radio--I'm</p> <p>7 sorry, we have added an additional microwave</p> <p>8 systems, the interconnecting loop between</p> <p>9 Sunnyside and Grand Falls area and added a</p> <p>10 facility which requires obviously personnel to</p> <p>11 maintain and review.</p> <p>12 Q. If I take you to the Grant Thornton '02</p> <p>13 report, and I do mean '02 this time, at page</p> <p>14 24, and you'll see this breakdown, and there's</p> <p>15 an item in there for EXP Advisory Service,</p> <p>16 which I understand is essentially another name</p> <p>17 for the Gartner Group research people, see</p> <p>18 that?</p> <p>19 A. I see EXP, yes.</p> <p>20 Q. Okay. And if you go to NP-257, you'll see</p> <p>21 Gartner Group for the years '01, '03 and '04,</p> <p>22 and the numbers, in round figures, about</p> <p>23 104,000 for '01, 138 for '02, 138 for '03 and</p> <p>24 145. Can you explain to us what this</p> <p>25 continuing item is for?</p>
Page 119	Page 120
<p>1 A. We have subscribed to Gartner, as has dozens</p> <p>2 of other utilities and companies, both in</p> <p>3 Newfoundland and otherwise, for their advisory</p> <p>4 services with respect to IT, and you know, a</p> <p>5 lot of other--the Newfoundland Government,</p> <p>6 health care, Newfoundland Tel, New Brunswick</p> <p>7 Power. It's basically a retainer that we pay.</p> <p>8 We subscribe to certain services from Gartner</p> <p>9 to aid us in ensuring that we are getting the</p> <p>10 best value for our money spent on all our IT,</p> <p>11 in order for us to provide more or better</p> <p>12 services at the same or reduced cost. It's a</p> <p>13 common industry--it's a well-known consulting</p> <p>14 group in the IT area and subscribed to by many</p> <p>15 utilities and other companies.</p> <p>16 Q. But in addition to that, the next item down is</p> <p>17 "Information Technology Infrastructure</p> <p>18 Library" and that also is a recurring item</p> <p>19 that if you go through the numbers, in 2002,</p> <p>20 you've got 259, 2003 66 and 2004 76. What's</p> <p>21 included in that item, since you've already</p> <p>22 got Gartner?</p> <p>23 A. ITIL, they are not--ITIL is an information</p> <p>24 technology infrastructure library, originally</p> <p>25 put together by the British government and</p>	<p>1 accepted by virtually all of the--it's a book,</p> <p>2 not a book necessarily, but it is a list or a</p> <p>3 structure of IT best practices which we</p> <p>4 subscribe to. When we started doing this and</p> <p>5 looking at this, and I would suggest that</p> <p>6 Gartner was probably a part of that, who may</p> <p>7 have been a part of that particular--of us</p> <p>8 actually buying into that methodology. We</p> <p>9 retained the company to help us set up some of</p> <p>10 the aspects and over a period of time, that</p> <p>11 will diminish. What we acquired from the ITIL</p> <p>12 consultant that we had hired was basically to</p> <p>13 come in and work with us to set up some of</p> <p>14 these particular systems so that we can learn</p> <p>15 and set up future ones ourselves at a much</p> <p>16 reduced cost.</p> <p>17 Q. So there was a -</p> <p>18 A. - basically, it's a list or a whole raft of</p> <p>19 best practices in the IT area.</p> <p>20 Q. So a consultant came in and set this up for</p> <p>21 you?</p> <p>22 A. Helped us kick start, if you will, that</p> <p>23 philosophy and where we can use those</p> <p>24 particular tools and gain by it.</p> <p>25 Q. Do you know how much that consultant cost?</p>

Page 121	Page 122
<p>1 MR. HAYNES:</p> <p>2 A. I think that's in the numbers that you had</p> <p>3 there a minute ago, in 2002, I believe, of--</p> <p>4 and they set up the Help Desk process and a</p> <p>5 couple of other -</p> <p>6 Q. So that's in the 259,000 in the 2002 year, is</p> <p>7 it?</p> <p>8 A. Yes. My recollection is that was the initial</p> <p>9 come in and get it going. There would be</p> <p>10 reduced costs after that and it would</p> <p>11 diminish.</p> <p>12 Q. So the ongoing cost then is in the order of--</p> <p>13 well, in 2004, you've got it budgeted for</p> <p>14 \$76,000.</p> <p>15 A. In 2004, yes.</p> <p>16 Q. Okay. If you go back to the Grant Thornton</p> <p>17 '02 report, one of the questions I'd asked Mr.</p> <p>18 Roberts, as Grant Thornton dealt with</p> <p>19 significant items, there was about \$900,000</p> <p>20 left over and I asked what was included in</p> <p>21 that, and one of the items that Mr. Roberts</p> <p>22 referred to was 224,000 for additional</p> <p>23 information technology items covering</p> <p>24 assistance that was required relative to the</p> <p>25 intranet document management security. Does</p>	<p>1 that have anything to do with your department?</p> <p>2 A. It would be through the IS&T department.</p> <p>3 Q. Goes through IST. What was that about?</p> <p>4 A. Can you just repeat the -</p> <p>5 Q. It's Mr. Roberts, if you want, the precise</p> <p>6 language, October 16th '03, page 121. Put it</p> <p>7 on the screen, if you like. And it's line,</p> <p>8 about 24. No, gone too far, top block. There</p> <p>9 you go. If you scroll down a little bit or</p> <p>10 scroll, take it back up to the top a bit, Mr.-</p> <p>11 -there we go, we get the top of the next page.</p> <p>12 The bottom of page 121, "there was 224 for</p> <p>13 additional information technology items</p> <p>14 covering assistance that were required</p> <p>15 relative to our intranet document management</p> <p>16 security."</p> <p>17 A. I don't recall specifically, but with respect</p> <p>18 to the intranet that we have deployed, we pay</p> <p>19 a fair bit of attention to security and to</p> <p>20 ensure that people can't, you know, hack our</p> <p>21 sites and so on, but I don't -</p> <p>22 Q. Don't know what that is?</p> <p>23 A. - recall specifically, but I would suggest</p> <p>24 that it's related to that aspect of it.</p> <p>25 Q. And then there was another 141,000 associated</p>
Page 123	Page 124
<p>1 with Holyrood and included such things as</p> <p>2 utilization of services of a chemical</p> <p>3 consultant, et cetera, read it there. What</p> <p>4 did that relate to?</p> <p>5 A. In Holyrood, it's a thermal plant. You could</p> <p>6 also look at it as a chemical facility, I</p> <p>7 guess, as well. We have to pay quite a bit of</p> <p>8 attention to our water that we use in the</p> <p>9 steam processes. It's demineralized water and</p> <p>10 we retained, I think it was Dearborn Chemicals</p> <p>11 at that time, to review our chemical treatment</p> <p>12 of the water. If we didn't do that and our</p> <p>13 water quality condition dissipated, then</p> <p>14 basically we would have more fouling of boiler</p> <p>15 tubes and less efficiency and so on. The</p> <p>16 other aspect is that at the Holyrood facility,</p> <p>17 with respect to the landfill, we had a</p> <p>18 certified landfill. We recover all water that</p> <p>19 comes over that. We test it to ensure we're</p> <p>20 not leaking anything into the environment, and</p> <p>21 as well, our lab technicians out there are</p> <p>22 certified through, I forget the particular</p> <p>23 branch, but that's a requirement of our</p> <p>24 certification with Government to maintain that</p> <p>25 self-controllability that our chemical</p>	<p>1 technologists are basically certified by, I</p> <p>2 think, CAEL, C-A-E-L, I believe. So those are</p> <p>3 costs related to our water quality, keeping up</p> <p>4 our certification of the technicians and so</p> <p>5 on.</p> <p>6 Q. Thank you, Mr. Haynes. Those are all my</p> <p>7 questions. Thank you for your patience.</p> <p>8 A. You're welcome.</p> <p>9 CHAIRMAN:</p> <p>10 Q. Thank you, Mr. Kelly. Mr. Haynes, we'll move</p> <p>11 now to the Industrial Customers. Good</p> <p>12 afternoon, Mr. Hutchings.</p> <p>13 HUTCHINGS Q.C.:</p> <p>14 Q. Thank you, Mr. Chair. Just as I had mentioned</p> <p>15 earlier, Mr. Seviour will be participating in</p> <p>16 this cross-examination as well. He will be</p> <p>17 dealing with issues related to plant</p> <p>18 assignment, but I'll start off and deal with</p> <p>19 the balance of the issues that Mr. Haynes</p> <p>20 addresses in his evidence. Good afternoon,</p> <p>21 Mr. Haynes.</p> <p>22 A. Good day.</p> <p>23 Q. Mr. Haynes, I want to begin with some brief</p> <p>24 questions on the area of hydrology. In your</p> <p>25 evidence at page 28, and there were some</p>

Page 125	Page 126
<p>1 HUTCHINGS, Q.C.:</p> <p>2 questions addressed to you earlier in this</p> <p>3 connection, 28, page 28. You were asked</p> <p>4 earlier, I think, in connection with lines 11</p> <p>5 through 13 on that page, about the power and</p> <p>6 energy analysis that you did for Granite</p> <p>7 Canal. Can you just explain for us how the</p> <p>8 addition of the Granite Canal plant affects or</p> <p>9 is affected by the inflows that we have spoken</p> <p>10 of or does Granite Canal make any difference</p> <p>11 to the actual water inflows in the Bay</p> <p>12 d'Espoir system?</p> <p>13 A. No, it doesn't. There was no change in the</p> <p>14 watershed area, the drainage area, with</p> <p>15 respect to the Bay d'Espoir plants. So there</p> <p>16 was no--there would be nothing of any</p> <p>17 consequence. There may be some inter-</p> <p>18 reservoir flows that may be affected, but</p> <p>19 there would be no gross change or no overall</p> <p>20 change.</p> <p>21 Q. Okay. So is there a separate specific</p> <p>22 reservoir that relates to Granite Canal?</p> <p>23 A. Basically it's Granite Lake.</p> <p>24 Q. Yes.</p> <p>25 A. We did erect the--when Bay d'Espoir was built</p>	<p>1 initially, there was a Granite Canal which was</p> <p>2 basically blasted out of rock to drain the</p> <p>3 water from Granite Lake down to Maelpaeg, and</p> <p>4 all we did really with respect to Granite</p> <p>5 Canal is we basically put a bypass structure</p> <p>6 there and we built a canal and a small intake</p> <p>7 for the Granite Canal project. So there's no-</p> <p>8 -there may be some small impacts or impacts on</p> <p>9 the operating level of Granite Canal, but</p> <p>10 there's nothing out of the ordinary.</p> <p>11 Q. Okay. So can you just explain for us then</p> <p>12 essentially the flows of water that we're</p> <p>13 talking about in the Bay d'Espoir watershed?</p> <p>14 You're leaving me with the impression that</p> <p>15 this water is in fact used by several</p> <p>16 different plants over and over and I just want</p> <p>17 to make sure that I'm getting the right</p> <p>18 understanding of that.</p> <p>19 A. I don't have a mental picture of all the</p> <p>20 reservoirs in the Bay d'Espoir area, but I'll</p> <p>21 start from the sea level and go back.</p> <p>22 Q. Okay.</p> <p>23 A. Our Bay d'Espoir plant is built basically at</p> <p>24 not tide water, but close to it, and that</p> <p>25 would be the lowest hydraulic head plant that</p>
Page 127	Page 128
<p>1 we have. As you go back up country, you get</p> <p>2 into Upper Salmon and Upper Salmon takes</p> <p>3 advantage of a natural elevation difference</p> <p>4 between a couple of reservoirs. Granite Canal</p> <p>5 does the same thing, as would Island Pond, if</p> <p>6 and when we ever build that. So what we've</p> <p>7 done is Granite Canal would be the--the water</p> <p>8 that comes from the furthest reaches of the</p> <p>9 reservoir is turbined at Granite Canal. It</p> <p>10 will eventually be turbined at Upper Salmon,</p> <p>11 and finally, it's used a third time over at</p> <p>12 Bay d'Espoir. I don't know if that explains</p> <p>13 your -</p> <p>14 Q. Okay. Yes, I think that's consistent with the</p> <p>15 impression that I was getting. So in terms of</p> <p>16 the hydrology issues that were left to be</p> <p>17 dealt with and have been addressed in the</p> <p>18 Acres report now, the presence or absence of</p> <p>19 Granite Canal really doesn't impact that.</p> <p>20 It's just that we are able to get an</p> <p>21 additional 224 gigawatt hours of electricity</p> <p>22 out of the same water?</p> <p>23 (12:23 p.m.)</p> <p>24 A. The 224 should not change as a result of any</p> <p>25 consequence with respect to this. 224 is the</p>	<p>1 average estimated capability and 216 is the</p> <p>2 firm.</p> <p>3 Q. Okay. I noted that one of the recommendations</p> <p>4 made by Acres, and it's quoted by you on page</p> <p>5 29 of your evidence, references the fact that</p> <p>6 the system simulation models usually require a</p> <p>7 common start date for all inflow sequences,</p> <p>8 data from the earlier years of some inflow</p> <p>9 sequences would have to be cut off. I take</p> <p>10 it, again, Granite Canal doesn't impact that</p> <p>11 process at all, does it?</p> <p>12 A. No, it shouldn't because the water regime in</p> <p>13 the Bay d'Espoir area, it's all part of the</p> <p>14 same watershed. So there may be some little--</p> <p>15 some small distribution factors between the</p> <p>16 various things, but the actual water that's</p> <p>17 discharged at Bay d'Espoir will not change.</p> <p>18 Q. Okay. If we can move then to your Schedule 4,</p> <p>19 which you discussed a bit, I think, with Mr.</p> <p>20 Kelly, and it's a graph of total system energy</p> <p>21 storage. Am I correct in assuming that this</p> <p>22 particular line is not what you technically</p> <p>23 refer to or use operationally as a guide</p> <p>24 curve, is it?</p> <p>25 A. It's what guides us on our annual operation</p>

Page 129	Page 130
<p>1 MR. HAYNES:</p> <p>2 for the reservoirs, and I guess in describing</p> <p>3 that yesterday, I may have misrepresented a</p> <p>4 little bit the summer increase in June and</p> <p>5 July. I think I had talked about snow melt</p> <p>6 and so on. That is more related to our peak</p> <p>7 maximum flood. When the probability of a</p> <p>8 flood event at that time of the year is</p> <p>9 actually lower, so we can actually surcharge</p> <p>10 some of the reservoirs, but it is a--this is a</p> <p>11 system and each particular reservoir may have</p> <p>12 a guide curve that talks about, for Granite</p> <p>13 Canal or say for Cat Arm. This is the</p> <p>14 overall, you know, energy and storage that we</p> <p>15 have.</p> <p>16 Q. Yes, and that's what I was getting to. This</p> <p>17 is a cumulative graph which shows all of your</p> <p>18 systems, even if they're not connected to one</p> <p>19 another?</p> <p>20 A. Yes.</p> <p>21 Q. Yes, okay, all right. So presumably for each</p> <p>22 of your reservoirs and at least for each of</p> <p>23 your generating plants, there would be a guide</p> <p>24 curve and that would be what would be used in</p> <p>25 the actual operation of your facilities?</p>	<p>1 A. It would be a factor in the individual plant</p> <p>2 operation.</p> <p>3 Q. Yes, yes. But I mean, I'm assuming that you</p> <p>4 produced this graph in this form essentially</p> <p>5 for illustration purposes, in terms of showing</p> <p>6 the total system energy storage as opposed to</p> <p>7 giving us something that your operators would</p> <p>8 use on a day-by-day basis to actually manage</p> <p>9 and control the systems?</p> <p>10 A. This is used by our operations people.</p> <p>11 Basically when you look at the, whatever</p> <p>12 colour that is, I'm sorry, the purplish line,</p> <p>13 the pink line, I'll call it, that is where we</p> <p>14 stand with respect to meeting our firm</p> <p>15 requirements. So when we are below that line,</p> <p>16 we would be stressing production out of</p> <p>17 Holyrood. When we're above that line, then,</p> <p>18 you know, we could back off a little bit on</p> <p>19 our expectations of Holyrood. So we would try</p> <p>20 to stay, on a whole, above that green line. So</p> <p>21 it is used. That is something that I would</p> <p>22 look at periodically in my office to see how</p> <p>23 we're doing. It's the subject of a daily</p> <p>24 report.</p> <p>25 Q. Yes. But your purple line there is a amalgam</p>
Page 131	Page 132
<p>1 of the operations of a number of watersheds,</p> <p>2 and I mean, theoretically, Cat Arm, for</p> <p>3 instance, could be pushing the limits of its</p> <p>4 maximum storage, whereas Bay d'Espoir might be</p> <p>5 low, so that, you know, you'd be operating Cat</p> <p>6 Arm in a different way than you would be the</p> <p>7 Bay d'Espoir watershed, if that was the case?</p> <p>8 A. Yes, that's correct, and that obviously</p> <p>9 depends on the hydraulic conditions on the Cat</p> <p>10 Arm reservoir versus Bay d'Espoir, et cetera.</p> <p>11 Q. Right, okay.</p> <p>12 A. Often times different.</p> <p>13 Q. Yes. So you manage each reservoir in itself</p> <p>14 as opposed to specifically managing--I mean,</p> <p>15 obviously you manage the whole system, but you</p> <p>16 have to look at the individual guide curves in</p> <p>17 order to determine what usage you're going to</p> <p>18 make of a particular facility, correct?</p> <p>19 A. Yes, we look at each facility and, as well, we</p> <p>20 look at the whole.</p> <p>21 Q. Okay. Now you spoke with Mr. Kelly on this</p> <p>22 yesterday, and at page 160 of transcript of</p> <p>23 October the 20th, at line 10. You're</p> <p>24 discussing the different lines that appear on</p> <p>25 this particular graph and at line 10, you're</p>	<p>1 asked "so the red line at the top is your</p> <p>2 perfect world, so to speak?" and you say "the</p> <p>3 ideal world, yes." The top red line</p> <p>4 represents, as indicated, the maximum</p> <p>5 operating level? Is that correct?</p> <p>6 A. Above that line, we will be in a spilling</p> <p>7 water. That is the maximum storage capability</p> <p>8 of the reservoir system.</p> <p>9 Q. Yes, okay. But let's assume that this graph,</p> <p>10 instead of representing the entire system, was</p> <p>11 representing a single reservoir system, and</p> <p>12 let's use Cat Arm, because Cat Arm is easier</p> <p>13 separate from all the others. In managing</p> <p>14 your system, would you try to get to the red</p> <p>15 line or would you try to get to the green</p> <p>16 line?</p> <p>17 A. In any particular reservoir, you would--if</p> <p>18 you're at the red line, you're probably in a--</p> <p>19 you are risking spill, accepting a higher risk</p> <p>20 of spill, in a single reservoir. You would</p> <p>21 try to manage the whole. Obviously it don't</p> <p>22 have to be the same, but you know, you would</p> <p>23 have some ban that you would operate and I</p> <p>24 don't know what the actual number is in the</p> <p>25 operating area, but I don't think that you</p>

Page 133	Page 134
<p>1 MR. HAYNES:</p> <p>2 would strive to maintain any operating plant</p> <p>3 to be at 90 percent full and another one to be</p> <p>4 at 30. You would have some range of realism,</p> <p>5 tempered by the fact that you would try to</p> <p>6 minimize your use of oil.</p> <p>7 Q. Yes. And when you're on the green line,</p> <p>8 essentially you're maximizing your use of</p> <p>9 water, aren't you?</p> <p>10 A. That's correct.</p> <p>11 Q. Okay. And if you had perfect foresight and</p> <p>12 you knew that you were going to get sufficient</p> <p>13 rainfall and other events to keep you on that</p> <p>14 green line, you'd stay on the green line</p> <p>15 forever, would you not?</p> <p>16 A. That would protect our firm, which is our</p> <p>17 minimum criteria, yes.</p> <p>18 Q. Yes, okay. So I'm pursuing this because it</p> <p>19 would seem to me that the red line wasn't</p> <p>20 actually the perfect world, that the green</p> <p>21 line was, and I'm wondering if you can comment</p> <p>22 on that?</p> <p>23 A. Well, my comment in respect to the perfect</p> <p>24 world, I guess, is that if we had full supply</p> <p>25 reservoirs and we're meeting our load, we</p>	<p>1 would have a lot of rain and we would be doing</p> <p>2 both. You know, you operate within those</p> <p>3 bounds, as system conditions dictate. If you</p> <p>4 could provide all our load to all our</p> <p>5 customers with no oil use and stay up close to</p> <p>6 the red line, we have tons of water, it</p> <p>7 wouldn't be an issue.</p> <p>8 Q. Yes.</p> <p>9 A. But that's not reality.</p> <p>10 Q. No. But I mean, with our system as it is</p> <p>11 configured now, other than a couple of months</p> <p>12 in the summer, we can't provide the complete</p> <p>13 load hydraulically, correct?</p> <p>14 A. Most summers we can shut down most all</p> <p>15 machines at Holyrood. That's not--you know,</p> <p>16 it may be for three weeks. It may be for four</p> <p>17 weeks, maybe one machine running, or no</p> <p>18 machines running, but it depends on the demand</p> <p>19 of the system, and particularly the hydrology</p> <p>20 that we've experienced.</p> <p>21 (12:32 p.m.)</p> <p>22 Q. Yes. But given that we are, most of the time,</p> <p>23 pumping at least some thermal energy into the</p> <p>24 system, our goal should be to keep as close to</p> <p>25 the green line as we can get? Is that</p>
Page 135	Page 136
<p>1 correct?</p> <p>2 A. I wouldn't say, not on a monthly basis, but on</p> <p>3 an annual basis, if you come into the--you're</p> <p>4 on the green line and you go out of the--</p> <p>5 you're close to the green line and you're</p> <p>6 doing well, but at any particular month in the</p> <p>7 period, you would build up hydraulic resources</p> <p>8 and you would be above the green line,</p> <p>9 anticipation of freeze up or the fact that</p> <p>10 you're going to delay starting a Holyrood</p> <p>11 plant. So it's not a--I don't think that the--</p> <p>12 it would be a target to stay on the green</p> <p>13 line 365 days a year. You would certainly</p> <p>14 build up a reservoir situation beyond what</p> <p>15 would meet your firm, knowing that you are</p> <p>16 going to come down as you do there, for</p> <p>17 instance, in 2002. We were up to about two</p> <p>18 terawatt hours in June and then presumably</p> <p>19 Holyrood shut down at that time frame and when</p> <p>20 Holyrood shut down, we quickly came back to</p> <p>21 near the green line. So it's a--you know,</p> <p>22 there's no standard answer. You can certainly</p> <p>23 wrap up between those lines and still maintain</p> <p>24 overall effectiveness of Holyrood and the</p> <p>25 hydraulic resources.</p>	<p>1 Q. But again, if we look at the slope of the</p> <p>2 green line itself, what factors are</p> <p>3 incorporated into where that green line</p> <p>4 happens to be at any particular point during</p> <p>5 the year?</p> <p>6 A. I think one is the average expected</p> <p>7 precipitation on a monthly basis will be a</p> <p>8 factor, and probably a fairly key factor. We</p> <p>9 basically plan the system based on average.</p> <p>10 Q. Yes.</p> <p>11 A. And the average inflows. I say precipitation,</p> <p>12 really what we actually measure is the</p> <p>13 inflows, not the precip per se.</p> <p>14 Q. So the minimum energy storage targets that</p> <p>15 you've established are based on these three</p> <p>16 worst years scenario?</p> <p>17 A. I gather it's about three and a half to four</p> <p>18 years, 1958 to '61, that time frame is the</p> <p>19 firm sequence which we've planned for.</p> <p>20 Q. Yes, okay. I guess my question might perhaps</p> <p>21 best be answered by having you explain for us</p> <p>22 why that green line isn't simply a horizontal</p> <p>23 line going across here.</p> <p>24 A. I won't pretend to know all the details that</p> <p>25 go into that, but it is not sort of similar to</p>

Page 137

Page 138

1 MR. HAYNES:

2 the red line in the fact that, you know, that
3 line is based on an average precipitation or
4 snow melt--I'm sorry, inflows to the reservoir
5 and so it does move. In the summer months,
6 our average precipitation is down and the line
7 occasionally comes up a little bit because we
8 would not anticipate a major influx of rain,
9 you know, for instance, in the middle of June.
10 We would not anticipate, on average, that we
11 would have major rainfall. So it's primarily
12 driven by the inflow averages that have been
13 built over time.

14 Q. Okay. Does that green line change from year
15 to year?

16 A. Yes, it does. The averages change over a
17 period of time. There was an RFI filed with
18 several sequences and there is some, you know,
19 change from year to year. I don't recall
20 which RFI it was, but there was an RFI filed
21 with a series of charts from probably three or
22 four years, and there are some changes in the
23 green line, based on average, where the water
24 is and the situation at the time.

25 Q. Okay. So can you tell me, aside from that

1 series of lowest water years that we've spoken
2 of from the 1950s, what are the other inputs
3 into that green line? I mean, if, in fact, it
4 was just the lowest water years, then
5 presumably it would be a constant line. It
6 wouldn't change year over year?

7 A. I don't know all the factors that go into it,
8 but even if it was the average water, it's
9 based on the monthly average inflow. So it
10 would not be a flat line in any case.

11 Q. No, no, I'm not saying a flat line, but it
12 would be the same line this year as it was
13 last year, if it was based upon three or four
14 years in the 1950s, if that was the only
15 input?

16 A. I'm not sure of the answer. I don't know.

17 Q. Okay. Can you try to get an answer for me on
18 that?

19 A. I can try to clarify a bit more detail.
20 (Undertaking)

21 Q. Okay. Thanks. Arising also out of your
22 discussion with Mr. Kelly on that subject, is
23 it fair to characterize your operation of the
24 hydraulic and the thermal generating capacity
25 as basically a trade off between oil and

Page 139

Page 140

1 water?

2 A. I don't think trade off is an appropriate
3 description. What we try to do is optimize
4 the hydro-thermal mix to reduce the overall
5 cost to the rate payer, to the customers.

6 Q. Yes. As you discussed with Mr. Kelly, given
7 that the marginal source of energy is, for all
8 intents and purposes, always Holyrood, the
9 time of year at which you generate doesn't
10 affect your costs, your marginal cost on the
11 system, does it?

12 A. In the short term, I guess I say that the
13 marginal cost in the short term is Holyrood,
14 but as you approach--you know, when you start
15 to run out of that capacity, our marginal cost
16 may be, you know, a combination of next source
17 and so on. So it's not the--the marginal cost
18 in the long run is not necessarily Holyrood.
19 It may be the next source or some combination.
20 But in the context of on a short time, short-
21 term horizon, if we're not spilling water or
22 not risking spilling water, any energy that we
23 do not--any energy, for instance, in July that
24 we do not generate by thermal means because
25 we're using our hydrology, we would generate

1 later in the year. I mean, at the end of the
2 year, we have X number of terawatt hours, 8
3 point, 8400 or whatever it is, gigawatt hours
4 to supply, and if we're not in a--we do not
5 plan for spill per se, any of the energy
6 that's saved or produced hydraulically will be
7 replaced by thermal in the short term.
8 Eventually a new source will be required.

9 Q. Effectively, you could choose, at any point
10 during the year, when there was no fear of
11 spilling, to burn fuel to basically add water
12 to your reservoirs, correct?

13 A. Yes, and we do take that into consideration
14 and we do--you know, when we are particularly
15 below the green line, we have a desire to get
16 Holyrood back on sooner so we can get above
17 that line to assure that we can meet our firm
18 target.

19 Q. I'm more interested, I guess, in the times
20 when you're between the green line and the red
21 line. You're above your target green line
22 water level, if you wish, but there is no fear
23 of spilling. And referring to your fuel
24 purchase contract which allows you a certain
25 amount of purchases on the spot market, have

Page 141	Page 142
<p>1 HUTCHINGS, Q.C.:</p> <p>2 you considered spot market purchases during</p> <p>3 the summer periods in order to build water</p> <p>4 reserves for the winter period?</p> <p>5 A. Not of late. We have not looked at it. I</p> <p>6 mean, it's an option that we have, to look at</p> <p>7 the spot market to do that, but we have not</p> <p>8 actually done that in recent times.</p> <p>9 Q. What forecast pricing information do you get</p> <p>10 from PIRA on a regular basis through the year</p> <p>11 which might allow you to evaluate that</p> <p>12 possibility?</p> <p>13 A. I think we get a PIRA forecast, I believe it's</p> <p>14 on the quarter, and basically, in the short</p> <p>15 term, they give us a monthly forecast, and</p> <p>16 then in the long term, they give us an annual</p> <p>17 number, you know. For 2004 right now, it'll</p> <p>18 be just a--I'm sorry, 2005, it'll be a single</p> <p>19 number. But it's a forecast. That is a--if</p> <p>20 we were guessing the market, I guess, we could</p> <p>21 do that. We have not done that in a</p> <p>22 considerable amount of time and really, our</p> <p>23 fuel purchase contract that we have in place</p> <p>24 right now, as mentioned in our thing, is</p> <p>25 basically we pay on monthly average prices.</p>	<p>1 So when the market spikes up or spikes down,</p> <p>2 we don't actually pay those prices. We pay an</p> <p>3 average monthly price, which we think is a</p> <p>4 good compromise of gaming it, and you can win</p> <p>5 or lose by doing that.</p> <p>6 Q. No, I understand that, but if you're in a</p> <p>7 situation in the summer when the forecast for</p> <p>8 the fall when you would normally be making</p> <p>9 your fuel purchases is that there's going to</p> <p>10 be an increase in the prices, what extra cost</p> <p>11 is there to you, other than a carrying cost</p> <p>12 perhaps, of making a spot purchase at what is</p> <p>13 forecast to be a lower price than you're going</p> <p>14 to pay in the fall, and using that energy to</p> <p>15 fill your reservoirs basically.</p> <p>16 A. There is nothing to prevent us from doing</p> <p>17 that, it's not an option that we've chosen to</p> <p>18 be one that gives us great comfort that we are</p> <p>19 going to actually gain at the end of the day.</p> <p>20 It all depends on where the market goes. We</p> <p>21 could do that, if we were to order a shipment</p> <p>22 of oil for such and such a date, and we get</p> <p>23 that price the next month, it could be up or</p> <p>24 down. I mean, the forecast now for 2003 is</p> <p>25 that actually in October, it will be down</p>
Page 143	Page 144
<p>1 again, so I mean, it's so volatile that I</p> <p>2 guess it's, as Risk Advisory had said in our,</p> <p>3 in the report that we had done, that it was</p> <p>4 very unlikely that we could actually beat the</p> <p>5 market in a sustained fashion.</p> <p>6 Q. No, no, I'm not speaking about their notion of</p> <p>7 beating the market in a sustained fashion,</p> <p>8 it's simply a question of timing purchases,</p> <p>9 given that you know that at some point during</p> <p>10 the year you're going to burn that fuel in any</p> <p>11 event. Do I take it that you haven't looked</p> <p>12 at that possibility?</p> <p>13 A. There are two other factors there, one is that</p> <p>14 I guess in the summertime Holyrood is under a</p> <p>15 fair bit of maintenance activity, and so you</p> <p>16 really don't have the opportunity to do too</p> <p>17 much of that, obviously there's some; the</p> <p>18 other thing is that in the middle of winter</p> <p>19 and December, we will be operating three</p> <p>20 machines anyway and we would try to optimize</p> <p>21 and increase the loading to as high as</p> <p>22 reasonably possible to maximize our conversion</p> <p>23 factor. If you were to run up against the red</p> <p>24 line, if you will, and then in the wintertime</p> <p>25 you would have to, you know, keep Holyrood</p>	<p>1 going at, say 100 megawatts of average</p> <p>2 loading, we would deteriorate and I'm sure, I</p> <p>3 would suggest we would lose--we could lose any</p> <p>4 benefit that we gained by buying on the spot</p> <p>5 market, not to say that we can't do it, but--</p> <p>6 and we do have the provision to do that, but</p> <p>7 it's what we consider a little bit of risky</p> <p>8 business. It's a gamble and we have chosen</p> <p>9 not to take that approach.</p> <p>10 Q. Looking at where your actual total system</p> <p>11 energy storage was at the end of 2002, you</p> <p>12 were some significant different distance below</p> <p>13 your green guideline, correct?</p> <p>14 (12:45 a.m.)</p> <p>15 A. I'm not--yeah, on that chart, I'm not quite</p> <p>16 sure what the previous graph, the green line</p> <p>17 was. I don't remember which RFI that was, but</p> <p>18 on that particular--going in on January 1, we</p> <p>19 were below the--where we would like to have</p> <p>20 been, primarily based on the heavy demand put</p> <p>21 on Holyrood during the year--I'm sorry, the</p> <p>22 low hydraulic inflows during the year.</p> <p>23 Q. So does that fact constrain the amount of</p> <p>24 energy you can produce hydraulically?</p> <p>25 A. Can you repeat that?</p>

Page 145

Page 146

1 HUTCHINGS, Q.C.:

2 Q. Does the fact that you are below your guide
3 curve, the green line, shall we say, constrain
4 the amount of energy that you can produce
5 hydraulically at that point?

6 A. No, I don't think on a weekly or a daily basis
7 it would. I think what it really says is that
8 if we were to start our firm sequence on
9 January 1 of 2003 and we actually had a repeat
10 of a 1958 to 61 event, we would have some
11 difficulty meeting our energy requirements
12 based on our firm plants.

13 Q. Okay, so when your peak arrives in January--
14 well, when it arrived, presumably in January
15 of 2003, you were maximizing hydraulic output
16 in any event, is that correct?

17 A. Yes, we would have on a short--you know, the
18 peak that we meet with hydraulic plants versus
19 the overall long-term energy production are
20 disjointed. As long as we have water at the
21 intake, then we can max out any hydraulic
22 machine to its capability. The lack of water
23 means that you will not be able to do that for
24 60 percent of the year, it may be 50 percent
25 of the year if your inflows are 10 percent

Page 147

1 A. There is nothing in the 2004 Cost of Service
2 to reflect any purchase cost for the wind.
3 The contracts are under negotiation with
4 Newind, as well as with the Federal Government
5 under the GPPI Program to, and we are hoping
6 to get the best we can from the Federal
7 program to mitigate some of that cost.

8 Q. So in terms of what the Board has to do here,
9 it's going to set rates based on a 2004 test
10 year as if that wind project didn't exist?

11 A. If the wind project?

12 Q. As if the wind project didn't exist.

13 A. It's not in the 2004 Cost of Service at this
14 point in time.

15 Q. You gave us some information yesterday in your
16 direct examination on the wind project, could
17 you just remind us of the capacity, you're
18 talking 25 megawatts, I believe?

19 A. The proposed project right now is in the order
20 of about 38 wind turbines, 25 megawatt
21 capacity and approximately 96 gigawatt hours
22 of energy, average energy capability.

23 Q. Okay, and assuming that project comes on
24 stream, will you regard that as being firm
25 capacity?

1 below what you would normally expect.

2 Q. And thereby, you take the risk that you're not
3 coming into the driest cycle ever?

4 A. Well yes, I guess in a way you could say that,
5 but, you know, we do have, if you were in a
6 pinch you could obviously use gas turbines to
7 provide some energy if you're just a little
8 bit off that base, although it's very
9 expensive and prohibitive to do.

10 Q. But I mean, your gas turbines are built into
11 your firm capacity, correct?

12 A. They're built in on a megawatt, but we do not
13 plan for any significant energy production
14 from the gas turbines. They're not considered
15 to be firm plant.

16 Q. While we're on the subject of firm energy, I
17 wanted to ask you a couple of questions that
18 related to the wind project down on the Burin
19 Peninsula. As I understand it, in the
20 documentation that's been filed before the
21 Board here, there is nothing in the Cost of
22 Service or any of the related material that
23 will go into producing rates at the end of
24 this process that affect or is affected by the
25 wind project, is that correct?

Page 148

1 A. There is a--when you look at any hydro plant,
2 there is a forced outage rate or an
3 availability figure assigned to it, and on a
4 wind turbine, we did undertake a review of
5 that and I just do not recall at the present
6 time exactly how much we considered, but it is
7 25 megawatts that by and large will be there,
8 the wind regime is very good. But obviously
9 will not be there one hundred percent of the
10 time; and nor in our planning do we consider
11 all hydro plants, there's a forced outage
12 rate, the repair time associated with it as
13 well. It would be a little bit more for the
14 winter, but it's a load capacity factor, I
15 don't recall the numbers offhand.

16 Q. Okay, I believe you had some discussion
17 yesterday which talked about the effect of the
18 wind project on your LOLH calculation and will
19 it or will it not have an effect if it comes
20 about?

21 A. I don't recall exactly, I don't think we
22 actually--I don't recall any question that we
23 actually looked at what the impact would be, I
24 don't think. It's treated somewhat like the
25 star, from the point of view of its

Page 149	Page 150
<p>1 MR. HAYNES:</p> <p>2 capability, it's basically take or pay. We</p> <p>3 buy when it's making energy. I don't recall</p> <p>4 that we actually did any analysis of LOLH,</p> <p>5 including the wind turbine in any RFI.</p> <p>6 Q. Okay. Well without getting into a specific</p> <p>7 number then, would the introduction of the</p> <p>8 wind project as a matter of principle affect</p> <p>9 your LOLH calculation?</p> <p>10 A. It's another 25 megawatts on the system and it</p> <p>11 would have impact. It would be 25 megawatts</p> <p>12 that we would assume would be there and it is</p> <p>13 there most of the year in some capacity or</p> <p>14 another, but it's not dispatchable in the same</p> <p>15 sense that the NUGS are not dispatchable.</p> <p>16 Q. Okay, and you don't know what capability</p> <p>17 factor would be assigned to the wind project</p> <p>18 at this point?</p> <p>19 A. I don't recall offhand, I'm sorry.</p> <p>20 Q. So do you know or not whether the wind project</p> <p>21 would delay the violation of your LOLH</p> <p>22 guideline and if so, to what extent?</p> <p>23 A. I believe we indicated before of approximately</p> <p>24 one year, the LOLH--I don't recall actually a</p> <p>25 question regarding that, off the top of my</p>	<p>1 head, but I do recall we did say one year</p> <p>2 deferral of the LOLH with a 25 megawatt</p> <p>3 additional generation on the Burin Peninsula.</p> <p>4 Q. And that, presumably, is inputting into that</p> <p>5 calculation something less than 25 megawatts</p> <p>6 as firm capacity?</p> <p>7 A. No, I think that would be the 25 megawatts</p> <p>8 would be there, as assumed in that figure.</p> <p>9 But in the LOLH calculation, which is not just</p> <p>10 a straight mathematical thing, you have to</p> <p>11 consider the megawatt capacity, you have to</p> <p>12 consider the capacity factor and all of that</p> <p>13 goes into the equation, for the lack of a</p> <p>14 better word, to come up with that there. And</p> <p>15 I think it was a one-year deferral of the--</p> <p>16 when we would actually be in trouble on the</p> <p>17 LOLH criteria.</p> <p>18 Q. So in terms of your Table 8 and maybe we could</p> <p>19 put that up, Mr. O'Reilly at page 37. You're</p> <p>20 suggesting that instead of 2010 or 2011 when</p> <p>21 the capacity criterion would be violated, that</p> <p>22 would be 2012?</p> <p>23 A. That's correct.</p> <p>24 Q. Okay, and what about the energy balance issue?</p> <p>25 A. I would assume that basically we'll have</p>
Page 151	Page 152
<p>1 another 96 gigawatt hours per year, so it</p> <p>2 would have some impact on that number, but I</p> <p>3 don't know the specifics because you still</p> <p>4 have to consider the time and the capacity</p> <p>5 factors and so on. We would actually have to</p> <p>6 run that particular thing, but I would suggest</p> <p>7 it may be a year or so.</p> <p>8 Q. Okay. On your current Table 8, there's a</p> <p>9 minor violation, I guess, of your energy</p> <p>10 balance criteria in 2009?</p> <p>11 A. Yes.</p> <p>12 Q. And there's a more significant one in 2010.</p> <p>13 If in fact your energy forecast increased by</p> <p>14 96 gigawatt hours per year, it would in fact</p> <p>15 be 2011 before your energy balance criteria</p> <p>16 was violated?</p> <p>17 A. I'm not sure if that's exactly right because</p> <p>18 the energy balance is based on a firm</p> <p>19 sequence, I'm not sure exactly how the wind</p> <p>20 was treated in that particular calculation,</p> <p>21 but I think a year or so would be an</p> <p>22 approximate number that we would, on a cursory</p> <p>23 nature, evaluate as being a reasonable</p> <p>24 approach.</p> <p>25 Q. So would it be fair to say though, that with--</p>	<p>1 if the wind project goes ahead, the time at</p> <p>2 which the demand criteria gets violated and</p> <p>3 the time at which the energy balance criteria</p> <p>4 gets violated tend to move a bit closer</p> <p>5 together?</p> <p>6 A. It may and I guess what we had said previous</p> <p>7 is that it would see one year deferral in the</p> <p>8 addition of new plant to meet those needs.</p> <p>9 Q. Okay. Are you aware of the practices of other</p> <p>10 utilities in terms of whether they regard wind</p> <p>11 power as being firm capacity?</p> <p>12 A. Not immediately. I know that we have reviewed</p> <p>13 that with respect to other utilities and there</p> <p>14 is certainly--there is certainly some issues</p> <p>15 with respect to the integration of wind into a</p> <p>16 system if the numbers get too big with respect</p> <p>17 to regulation and that criteria. It is</p> <p>18 usually considered and I've read papers on</p> <p>19 that, but I'm not quite sure in the context</p> <p>20 right now. There is some practice in the</p> <p>21 industry how that's incorporated into capacity</p> <p>22 planning.</p> <p>23 Q. So you have not, to date, incorporated the</p> <p>24 potential capacity from the wind power project</p> <p>25 into your near term capability requirements,</p>

Page 153	Page 154
<p>1 HUTCHINGS, Q.C.: 2 is that fair? 3 A. No, nor have we put it into our--you know, 4 it's not in the 2000 test year in any form. 5 Q. No, no, and that's quite properly so, and I 6 mean, subject to the Order in Council in any 7 event, but in terms of your long-term planning 8 or near-term planning between now and 2012, 9 you haven't incorporated the potential 10 existence of the wind power into that scenario 11 either, have you? 12 A. I'm sure that planning has looked at it, but 13 we have not provided any information in any 14 RFI to any details of that effect. 15 Q. Okay. At page 33 of your evidence, when you 16 speak of the long-term planning forecast, I 17 think that's 34, yes, okay, you're speaking of 18 the long-term planning load forecast and at 19 line 6 you say, "Hydro's current ten-year 20 annual average load growth projection for the 21 Island Interconnected System is 1.3 percent." 22 Is that figure calculable from your Table 8 or 23 how do you come up with the 1.3 percent? 24 A. I think you would have to go to the--just a 25 second, I'm going to refer before I speak, I</p>	<p>1 think you would have to go to one of the load 2 forecast schedules, I believe, actually it 3 doesn't go long term. I didn't actually 4 calculate the number, but I presume Table 8 5 would be close to it, but I didn't actually 6 calculate the figure. 7 Q. So you think that that figure should be 8 calculable from Table 8? 9 A. Should be close. 10 Q. And when you say load growth projection, are 11 you speaking peak or energy or both? 12 A. Typically that would be energy. 13 Q. Okay. There's a significant increase, 14 obviously, in 2012 which you referred to in 15 your evidence as relating to the Voisey's Bay 16 Mineral Project Development. Can you tell us 17 what the average load growth would be from 18 2003 to 2011 before the Voisey's Bay Project 19 fits in? 20 (1:00 p.m.) 21 A. I cannot calculate that in my head, I'm sorry. 22 Q. Can you undertake to provide that for us? 23 (Undertaking). 24 A. Yes, we will. 25 GREENE, Q.C.:</p>
Page 155	Page 156
<p>1 Q. I wonder if Mr. Hutchings could repeat the 2 question. 3 HUTCHINGS, Q.C.: 4 Q. I'd like to have the annual average load 5 growth projection for the Island 6 Interconnected System between 2003 and 2011, 7 on the assumption that the ten-year one that 8 is referred to at page 33 of Mr. Haynes' 9 evidence is from 2003 to 2012. 10 Q. Mr. Haynes, I notice that one of the 11 challenges you referred to in your direct 12 evidence that Newfoundland and Labrador Hydro 13 faces is the question of isolation. Did you 14 feel better about being isolated in August of 15 2003? 16 A. We will survive the 2003. We're doing a much 17 better job. 18 Q. So there are some advantages, actually, to 19 being isolated, aren't there? 20 A. On days like that, yes. 21 Q. Yes, no question. All the trees in Ohio can 22 fall and we're quite safe here. 23 A. Ice usually gets us. 24 Q. That's true. One other calculation that I 25 wanted to review with you and you referred to</p>	<p>1 it at page 138 of the transcript of yesterday, 2 at lines 12 to 18, and that's the average 3 annual energy for Holyrood, based on a 75 4 percent availability factor. And you gave the 5 numbers of 466 megawatts times 8,760 hours in 6 a year, times 75 percent. I did that 7 calculation and I couldn't come up with the 8 2996 that is in your table. Is there 9 something else we should be doing? 10 A. Can I ask how far off you were? It's actually 11 46 or 6 1/2 megawatts and somebody may have to 12 count it for a leap year, I'm not sure, but - 13 Q. We ended up with a figure of 3061, as opposed 14 to 2996. 15 A. That maybe the half megawatt, the actual net 16 rating is 466.5 megawatts, is the net rating. 17 Q. Oh, I think that would make it worse, well 18 then we get 3064. 19 A. Recalculate the number. 20 Q. Uh-hm? 21 A. I say I will get the number recalculated but 22 that's fairly close. 23 Q. Yes. The 38 percent that you referred to, 24 that is the capability basically from your 25 thermal production, as opposed to the actual</p>

Page 157	Page 158
<p>1 HUTCHINGS, Q.C.:</p> <p>2 percentage of thermal that you would have in</p> <p>3 any given year, is that correct?</p> <p>4 A. Which line are you referring to please? You</p> <p>5 said 38 percent?</p> <p>6 Q. Yes. I think Mr. Wells referred, in his</p> <p>7 evidence, to 38 percent of the capacity of the</p> <p>8 system being thermal?</p> <p>9 A. Yes, the 38 percent of Hydro's total</p> <p>10 capability, our own generation plus what we</p> <p>11 purchase from our NUGS is 37.6 percent.</p> <p>12 That's Holyrood, plus the gas turbines, the</p> <p>13 Hawke's Bay diesel, et cetera.</p> <p>14 Q. Right, okay, but in terms of your actual</p> <p>15 production, you have never actually reached</p> <p>16 that number, have you, that percentage?</p> <p>17 A. I can't say whether we have in any particular</p> <p>18 point in time with all the machines on, I</p> <p>19 would suggest that when we were meeting peak</p> <p>20 last year in 2002, we called upon Newfoundland</p> <p>21 Power as well to start their gas turbines, so</p> <p>22 we would have been fairly close of dispatching</p> <p>23 all plant that was not on maintenance or--to</p> <p>24 do that.</p> <p>25 Q. Okay, could we bring up IC-151? Go to the</p>	<p>1 table on the second page. This shows the</p> <p>2 actual production, as we understand it, on the</p> <p>3 Island Interconnected System from 1992 up</p> <p>4 through to 2002. And on calculations that</p> <p>5 we've done, I think in 2002 it looks like</p> <p>6 about 36.5 percent of your production was</p> <p>7 thermal, does that sound about right to you?</p> <p>8 A. Yes, that's energy, that's not the number we</p> <p>9 were just speaking to a minute ago.</p> <p>10 Q. Yes, that's energy, yes. And running down</p> <p>11 through the years, back to 1992, I think 1994</p> <p>12 was probably the best year in the sense that</p> <p>13 only 13.4 percent of the energy was produced</p> <p>14 from your thermal plants on that--in that</p> <p>15 year? Does that look about right to you?</p> <p>16 A. Yes, Holyrood was 770, that's a low year.</p> <p>17 Q. Yes, and on our calculation, the average over</p> <p>18 the period that's shown there would be about</p> <p>19 24.2 percent of your production being thermal.</p> <p>20 Does that figure sound generally correct to</p> <p>21 you?</p> <p>22 A. I'll trust your math, that is correct, it's</p> <p>23 not surprising.</p> <p>24 Q. Pardon me?</p> <p>25 A. I said I'm not surprised by the number, I</p>
Page 159	Page 160
<p>1 didn't check the numbers, I assume your math</p> <p>2 is correct.</p> <p>3 Q. Yeah, okay. And can you tell us what your</p> <p>4 plan for 2004 calls for, in terms of energy</p> <p>5 production from Holyrood, what percentage</p> <p>6 would be thermal?</p> <p>7 A. Yes, that's in Schedule 7, I believe. Maybe</p> <p>8 not Schedule 7--excuse me for a second while I</p> <p>9 find it.</p> <p>10 Q. You're looking at the net production of</p> <p>11 1790.15 gigawatt hours?</p> <p>12 A. That sounds right.</p> <p>13 Q. Okay. And have you calculated what percentage</p> <p>14 that is of your total?</p> <p>15 A. I have not, no.</p> <p>16 Q. Okay. I've done it a couple of different ways</p> <p>17 and I come up with numbers in the range of 23</p> <p>18 to 26 percent. Does that sound about right to</p> <p>19 you?</p> <p>20 A. I'm not surprised.</p> <p>21 Q. Yeah, okay, all right. In doing these</p> <p>22 calculations, I assume and I think this is</p> <p>23 what you confirmed for Mr. Kelly earlier, that</p> <p>24 you take your anticipated average production</p> <p>25 from your hydraulic sources and your</p>	<p>1 anticipated average purchases from your power</p> <p>2 purchase contracts and then deduct that from</p> <p>3 the total required, and the balance becomes</p> <p>4 your anticipated production at Holyrood, is</p> <p>5 that correct?</p> <p>6 A. That's more or less correct, yes.</p> <p>7 Q. I want to speak a little, Mr. Haynes, with you</p> <p>8 about the short-term load forecasts and how</p> <p>9 you handle those. I think we've had described</p> <p>10 here previously the process whereby you obtain</p> <p>11 load forecasts from each of the Industrial</p> <p>12 Customers and from Newfoundland Power, and add</p> <p>13 to that your own forecast for Hydro Rural for</p> <p>14 the purpose of determining what loads you're</p> <p>15 likely to have to meet in the test year, is</p> <p>16 that correct?</p> <p>17 A. That's correct.</p> <p>18 Q. Okay. Can you describe for us how you deal</p> <p>19 with this raw data that is provided to you</p> <p>20 from Newfoundland Power and the Industrial</p> <p>21 Customers, whether--what scrutiny it undergoes</p> <p>22 or whether it's questioned or what happens to</p> <p>23 it?</p> <p>24 A. I guess basically each year we would go back</p> <p>25 to the Industrial Customers and Newfoundland</p>

Page 161	Page 162
<p>1 MR. HAYNES:</p> <p>2 Power to get a revision of their load</p> <p>3 forecast. I think most of the short-term ones</p> <p>4 are questioned in a sense that is anything</p> <p>5 there that we have some discomfort with or</p> <p>6 don't quite understand their rationale for it,</p> <p>7 we'll go back and seek explanation. For</p> <p>8 instance, if the Mill has a shutdown,</p> <p>9 presumably they would put that in the forecast</p> <p>10 and we would reflect that in our forecast and</p> <p>11 so on and the same thing with Newfoundland</p> <p>12 Light and Power. We would get a forecast and</p> <p>13 we would look at the energy and demand numbers</p> <p>14 and question if we felt that it was something</p> <p>15 out of the ordinary which we didn't quite</p> <p>16 understand, we would seek resolution to</p> <p>17 understand that. But by and large, they are</p> <p>18 accepted largely as proposed with some minor</p> <p>19 tweaks here and there.</p> <p>20 Q. And what sort of thing would impel you to</p> <p>21 question a load forecast in those situations?</p> <p>22 A. If there was a change in the load factor based</p> <p>23 on the historic one that they had or if there</p> <p>24 was a significant reduction in the energy</p> <p>25 requirements, particularly from an Industrial</p>	<p>1 Customer, whether it would be a paper mill or</p> <p>2 NARL. And often times if they have a planned</p> <p>3 shut down or a major overhaul of any</p> <p>4 component, we would see that and we would just</p> <p>5 seek to verify what the rationale was and to</p> <p>6 ensure it was done. If Newfoundland Power had</p> <p>7 a significant change in their load factor,</p> <p>8 from year to year, we would question to, maybe</p> <p>9 a double check on their part or a double check</p> <p>10 on our part to ensure it is the best guess at</p> <p>11 the time.</p> <p>12 Q. Okay. And did you question the load forecast</p> <p>13 that was produced in the fall of 2001 by</p> <p>14 Newfoundland Power for its requirements for</p> <p>15 the test year of 2002 at the last hearing?</p> <p>16 A. That was reviewed by our forecasting group and</p> <p>17 there was nothing that--the explanations</p> <p>18 provided were all rational, logical and we</p> <p>19 accepted that particular forecast.</p> <p>20 Q. Can you tell us what those explanations were?</p> <p>21 A. I can't tell you that offhand, I'm sorry.</p> <p>22 That would have been done between our</p> <p>23 forecasting group and the appropriate</p> <p>24 department in Newfoundland Power. I don't</p> <p>25 know the detail.</p>
Page 163	Page 164
<p>1 Q. Again, if I can get you to look at page 31 of</p> <p>2 your evidence and at the bottom of the page</p> <p>3 there in Section 8.2 at lines 28 and</p> <p>4 following, you note that for 2002, your</p> <p>5 overall sales and bulk deliveries were 48</p> <p>6 gigawatt hours higher than the operating</p> <p>7 forecast.</p> <p>8 A. Yes.</p> <p>9 Q. That's a correct number, is it? And that</p> <p>10 resulted from two factors which you refer to</p> <p>11 in your next sentence, "utility sales being</p> <p>12 107 gigawatts hour higher than forecast and</p> <p>13 sales to Industrial Customers being 59</p> <p>14 gigawatt hours lower than expected", is that</p> <p>15 correct?</p> <p>16 A. Yes.</p> <p>17 Q. Okay. If we could, Mr. O'Reilly, put up IC-</p> <p>18 1C, page 3 of 98. I recognize, Mr. Haynes,</p> <p>19 that this is the dreaded Cost of Service and I</p> <p>20 perhaps should ask you initially, you know the</p> <p>21 extent of your involvement in connection with</p> <p>22 the Cost of Service Study itself.</p> <p>23 A. Very limited.</p> <p>24 Q. You recognize that you have significant inputs</p> <p>25 into it.</p>	<p>1 A. In meeting our customer demands, yes.</p> <p>2 Q. Yes, okay. This is the 2002 actual Cost of</p> <p>3 Service for the total system. And it shows,</p> <p>4 among other things, the revenue to cost</p> <p>5 coverage in the last column on the right hand</p> <p>6 side. Do you know the significance of revenue</p> <p>7 to cost coverage as it shows up here?</p> <p>8 A. I don't have a detailed knowledge of</p> <p>9 explaining the Cost of Service model when</p> <p>10 that's done. And I would prefer to push that</p> <p>11 to Mr. Banfield and Mr. Greneman.</p> <p>12 Q. Um-hm. I understand that. Do you know what</p> <p>13 ratio of revenue to cost is targeted for the</p> <p>14 Island Industrial Customers in the Cost of</p> <p>15 Service?</p> <p>16 A. I'm not sure offhand.</p> <p>17 (1:15 p.m.)</p> <p>18 Q. I just have to see if we can look at this</p> <p>19 another way, Mr. Henderson (sic.). Do you</p> <p>20 recall what the differences were between the</p> <p>21 initial load forecast that Newfoundland Power</p> <p>22 produced in 2001 for the 2002 test year and</p> <p>23 the final one which was incorporated into the</p> <p>24 Cost of Service during the course of the</p> <p>25 hearing?</p>

Page 165	Page 166
<p>1 MR. HAYNES:</p> <p>2 A. I think the 2002 test year would be included</p> <p>3 in some of the schedules of the forecast. The</p> <p>4 2002 forecast for Newfoundland Power is in</p> <p>5 schedule 11 and the forecast was 4485.1</p> <p>6 gigawatt hours and the actual was 4588.7.</p> <p>7 Q. That's from your schedule 11?</p> <p>8 A. That's in schedule 11, yes.</p> <p>9 Q. Now, my question was as to how the forecast</p> <p>10 which Newfoundland Power provided to you</p> <p>11 initially in 2001 changed between the initial</p> <p>12 forecast and the final forecast that was</p> <p>13 incorporated into the Cost of Service.</p> <p>14 A. I don't have that knowledge offhand as to what</p> <p>15 was actually the initial versus what was in</p> <p>16 the final test year.</p> <p>17 Q. You had some discussions with Mr. Kelly this</p> <p>18 morning about the significance of the load</p> <p>19 factors that are used and that's related in</p> <p>20 part to his discussion about the generation</p> <p>21 credit. Do you know what impacts the load</p> <p>22 factor assigned to Newfoundland Power has</p> <p>23 under the Cost of Service Study?</p> <p>24 A. It certainly has an impact. I think in the</p> <p>25 order of less than 50 percent load factor,</p>	<p>1 49.2, 49.5 and it will affect the actual</p> <p>2 megawatt number to some degree, but I can't</p> <p>3 speak to any specifics on that, but I would</p> <p>4 suggest that I believe Newfoundland Power will</p> <p>5 be appearing as a witness and if you were</p> <p>6 looking for an explanation of their load</p> <p>7 forecasting methodology and those numbers, it</p> <p>8 may be better directed to Newfoundland Power.</p> <p>9 Q. Okay. Can I refer you to page 41 of the</p> <p>10 testimony of Mr. Olser and Mr. Bowman.</p> <p>11 Looking at lines 12 through 18 where they</p> <p>12 remark upon the updating of the Cost of</p> <p>13 Service originally filed to reflect the new</p> <p>14 Newfoundland Power load forecast. I mean, I</p> <p>15 take it you were aware that there was such an</p> <p>16 amended forecast filed, is that correct?</p> <p>17 A. Yes, I do recall that, but I did not delve</p> <p>18 into that in any specific degree. And I guess</p> <p>19 to explain that, I think it still would be</p> <p>20 most appropriate that as Newfoundland Power</p> <p>21 are appearing, that they may be better to</p> <p>22 explain that change than us.</p> <p>23 Q. Okay. But I mean, it was Hydro that</p> <p>24 incorporated this change into the Cost of</p> <p>25 Service for 2002, correct?</p>
Page 167	Page 168
<p>1 A. Oh yes, and we did incorporate their forecast.</p> <p>2 We did discuss this with Newfoundland Power</p> <p>3 and we accepted their explanation and</p> <p>4 rationale as to the merits of that particular</p> <p>5 load forecast.</p> <p>6 Q. Okay. And do I take it that you agree with</p> <p>7 the substance of this evidence that the</p> <p>8 initial forecast peak was 953,251 kilowatts at</p> <p>9 transmission and the revision reduced that to</p> <p>10 923,476 kilowatts?</p> <p>11 A. I presume he's taken the information from the</p> <p>12 evidence, so I have no reason to suggest</p> <p>13 otherwise.</p> <p>14 Q. Um-hm. And Hydro took that nine hundred and</p> <p>15 twenty three thousand kilowatt number and</p> <p>16 incorporated that into the Cost of Service,</p> <p>17 correct?</p> <p>18 A. Well, I guess the forecast was 1001 according</p> <p>19 to schedule 10, but that may be losses,</p> <p>20 distribution losses or whatever incorporated</p> <p>21 in there, I don't know.</p> <p>22 Q. Okay. And I take it, we can probably confirm</p> <p>23 and I guess this takes into account the</p> <p>24 transmission losses--but this number is taken</p> <p>25 from the Cost of Service Study as it appears</p>	<p>1 in line 17 of the page that we're looking at</p> <p>2 here, that the actual recorded peak was</p> <p>3 1,047,534 kilowatts.</p> <p>4 A. I assume, I didn't go back and check the</p> <p>5 report. I would suggest, I mean, it is a</p> <p>6 forecast, there are a lot of variables that</p> <p>7 affect the actual end number at the end of the</p> <p>8 year, the degrees days, et cetera, et cetera.</p> <p>9 So, at that particular time, I assumed it was</p> <p>10 Newfoundland Power's and best guess and we</p> <p>11 concurred with their forecast, it changes.</p> <p>12 Q. My question, I guess, is to you whether this</p> <p>13 forecast reduction of 30,000 kilowatts without</p> <p>14 any significant reduction in energy forecast</p> <p>15 would be sufficient to cause Hydro to question</p> <p>16 Newfoundland Power's forecast?</p> <p>17 A. As I indicated, we do question Newfoundland</p> <p>18 Power's forecast when we see changes that</p> <p>19 would draw our attention. They're explained</p> <p>20 and rationalized and it was accepted. And -</p> <p>21 Q. You can't tell us at this point what that</p> <p>22 explanation was, can you?</p> <p>23 A. I don't know offhand, but as I said, with</p> <p>24 respect to Newfoundland Power, they do have a</p> <p>25 witness appearing and they would be in the</p>

<p style="text-align: right;">Page 169</p> <p>1 MR. HAYNES:</p> <p>2 best position to explain their forecasting</p> <p>3 methodology and any changes based on the</p> <p>4 actual experience they incurred.</p> <p>5 Q. I'd like you to undertake, sir, to provide us</p> <p>6 with the explanation that Newfoundland Power</p> <p>7 gave you at the time. Would you do that?</p> <p>8 (Undertaking)</p> <p>9 A. Okay, yes.</p> <p>10 GREENE, Q.C.:</p> <p>11 Q. I would point out this is also the subject</p> <p>12 matter of cross-examination in the last</p> <p>13 hearing by the Industrial Customers that was</p> <p>14 also considered by the Board and the Board</p> <p>15 approved the use of this forecast and the Cost</p> <p>16 of Service methodology and we will undertake</p> <p>17 to provide the explanation as we did during</p> <p>18 the last hearing.</p> <p>19 HUTCHINGS, Q.C.:</p> <p>20 Q. Well, we now have the additional information</p> <p>21 of how many millions of dollars this here</p> <p>22 actually cost us, Mr. Chair, so I think it's</p> <p>23 certainly worthwhile to pursue this a little</p> <p>24 further and I would like that information in</p> <p>25 order to be able to proceed.</p>	<p style="text-align: right;">Page 170</p> <p>1 GREENE, Q.C.:</p> <p>2 Q. And again, as Mr. Haynes has pointed out, Mr.</p> <p>3 Henderson, from Newfoundland Power who is the</p> <p>4 witness who actually has responsibility for</p> <p>5 forecasting at Newfoundland Power will also be</p> <p>6 a witness at this hearing and it may be</p> <p>7 appropriate that if the Industrial wish to</p> <p>8 pursue that issue, that it would be done to</p> <p>9 the person or to Newfoundland Power whose</p> <p>10 forecast we're talking about.</p> <p>11 HUTCHINGS, Q.C.:</p> <p>12 Q. We'll certainly be pursuing with Newfoundland</p> <p>13 Power as well, Mr. Chair, but I mean, given</p> <p>14 that this is Newfoundland Hydro's hearing and</p> <p>15 they are the ones who have a judgment to</p> <p>16 exercise as to whether or not they accept the</p> <p>17 information that Newfoundland Power provides</p> <p>18 to them, I think it's still appropriate to</p> <p>19 pursue it as we have, but we will be pursuing</p> <p>20 it with other witnesses as well.</p> <p>21 GREENE, Q.C.:</p> <p>22 Q. The only point is we're talking about a</p> <p>23 forecast that was approved by the Board and</p> <p>24 used in setting the 2001 rates. We're looking</p> <p>25 at the past. We will provide the explanation</p>
<p style="text-align: right;">Page 171</p> <p>1 as requested. I just question the merit of</p> <p>2 pursuing it as we're looking at setting 2004</p> <p>3 rates.</p> <p>4 HUTCHINGS, Q.C.:</p> <p>5 Q. A couple of other points that we may be able</p> <p>6 to fit in before the break, Mr. Haynes, on the</p> <p>7 subject of hydrology, in the previous Board</p> <p>8 order P.U. No. 7, and perhaps we could go to</p> <p>9 that at page 48, down a little further toward</p> <p>10 the bottom of the page there. We have the</p> <p>11 direction of the Board there in bold at the</p> <p>12 bottom in terms of the use of the 30-year</p> <p>13 average annual hydraulic production of 4, 425</p> <p>14 gigawatt hours, that's the basis for the test</p> <p>15 year hydraulic forecast. If we were to go</p> <p>16 back one page, I think we'll see there that</p> <p>17 just under the heading "test year, hydraulic</p> <p>18 production forecast", the long-term forecast</p> <p>19 that Hydro is using or wished initially to use</p> <p>20 in the 2002 test year was 4,285 gigawatt</p> <p>21 hours, is that correct?</p> <p>22 A. Yes.</p> <p>23 Q. That's what you wanted to use in 2002, is that</p> <p>24 correct, Mr. Haynes?</p> <p>25 A. That's what was used in that hearing, yes.</p>	<p style="text-align: right;">Page 172</p> <p>1 Q. Yes, okay. If we can move now to Table 7 of</p> <p>2 your current evidence, table 7 on page 30.</p> <p>3 This table shows the recommended full historic</p> <p>4 records and the column headed existing 1973 to</p> <p>5 2002, that's the 30-year record, is that</p> <p>6 correct?</p> <p>7 A. That would have been the most recent 30-year</p> <p>8 record at that time. In the last rate</p> <p>9 hearing, obviously, we're using numbers up to</p> <p>10 the end of 2001. This would reflect numbers</p> <p>11 for our full record that we have going back 30</p> <p>12 years. So, it would not be identical, but</p> <p>13 it's based on the same premise, it's a 30-</p> <p>14 average. So, it dropped an old year and added</p> <p>15 a new year.</p> <p>16 Q. Okay. And as we discussed earlier, while the</p> <p>17 inflows themselves are not affected by Granite</p> <p>18 Canal, the hydraulic capability certainly is</p> <p>19 affected and adds 224 gigawatt hours to both</p> <p>20 columns, correct?</p> <p>21 A. That's correct, yes.</p> <p>22 Q. Yes. So, can you just explain for us how the</p> <p>23 full recommended historic record as it stands</p> <p>24 now, if you take out Granite Canal, the 224</p> <p>25 gigawatt hours has changed since the 2002 test</p>

Page 173	Page 174
<p>1 HUTCHINGS, Q.C.:</p> <p>2 year numbers. As I calculated, there would be</p> <p>3 a 51 gigawatt hour difference?</p> <p>4 A. Fifty one being, I'm sorry, the -</p> <p>5 Q. Okay. If you took the full recommended</p> <p>6 historic record from your table and deducted</p> <p>7 the 224 from Granite Canal, you should end up</p> <p>8 with 4,234 gigawatt hours.</p> <p>9 A. Yes.</p> <p>10 Q. And that is 51 gigawatt hours less than the</p> <p>11 4,285 that you wanted to use in 2002.</p> <p>12 A. That would be the addition of a 2002</p> <p>13 experience, which we did not have obviously,</p> <p>14 during the 2002 hearings. So, it was a low</p> <p>15 inflow year, I believe it was the seventh or</p> <p>16 eighth lowest on record or something to that</p> <p>17 effect. So, they would actually reduce the</p> <p>18 average. So, basically the table there</p> <p>19 reflects the 2002 experience which was a low</p> <p>20 inflow year.</p> <p>21 (1:30 p.m.)</p> <p>22 Q. Yes. And it affects the average on the 30</p> <p>23 year one, even more so, obviously as would be</p> <p>24 mathematically correct. I think there's a 67</p> <p>25 gigawatt hour difference between what the</p>	<p>1 Board ordered in P.U. 7 on the basis of the 30</p> <p>2 year average and what that would be today once</p> <p>3 you take out Granite Canal, is that correct?</p> <p>4 A. The Board Order was the most recent 30 years</p> <p>5 experience and that's what we prepared for</p> <p>6 this particular filing.</p> <p>7 Q. Do you know what amount of money is reflected</p> <p>8 in the revenue requirement as a result of that</p> <p>9 change of how much, for instance, would be</p> <p>10 represented by those 67 gigawatt hours, in</p> <p>11 terms of revenue requirement?</p> <p>12 A. Well, it would be--the simple approach would</p> <p>13 be, and I don't want to calculate the numbers,</p> <p>14 would be that particular amount of energy at</p> <p>15 624 kilowatt hours per barrel, times \$29.20 a</p> <p>16 barrel, based on the filing.</p> <p>17 Q. Okay. That's probably as good a time as any</p> <p>18 to break, Mr. Chair.</p> <p>19 GREENE, Q.C.:</p> <p>20 Q. Excuse me, Mr. Chair. If I might, I had a</p> <p>21 document I'd like to circulate before we</p> <p>22 concluded today.</p> <p>23 CHAIRMAN:</p> <p>24 Q. Sure.</p> <p>25 GREENE, Q.C.:</p>
Page 175	Page 176
<p>1 Q. You will recall that we dealt earlier with the</p> <p>2 undertakings that had been given prior to</p> <p>3 today and I had indicated with respect to one</p> <p>4 that was given to Mr. Kennedy about providing</p> <p>5 historical information for the key performance</p> <p>6 indicators, that we would be able to do that.</p> <p>7 And what I would like to distribute now is the</p> <p>8 actual information with respect to the key</p> <p>9 performance indicators with the historical</p> <p>10 data back to 2000 and with the forecast for</p> <p>11 2003 where appropriate, including actuals and</p> <p>12 where we didn't use actuals, we never used the</p> <p>13 target for 2003. So, this is our last</p> <p>14 undertaking to respond to prior to those that</p> <p>15 are required for today. So, I have copies to</p> <p>16 distribute now.</p> <p>17 CHAIRMAN:</p> <p>18 Q. Thank you, Ms. Greene. Thank you, Mr.</p> <p>19 Hutchings and Mr. Haynes as well. According</p> <p>20 to the calender, I guess, we have a day off</p> <p>21 tomorrow. No bad strategic scheduling after</p> <p>22 an election day, I don't think.</p> <p>23 GREENE, Q.C.:</p> <p>24 Q. I wonder if it would be possible if the</p> <p>25 Industrials could indicate how long, further</p>	<p>1 they may be so we can get some idea of the</p> <p>2 schedule for Thursday and Friday.</p> <p>3 CHAIRMAN:</p> <p>4 Q. We can do that.</p> <p>5 HUTCHINGS, Q.C.:</p> <p>6 Q. I would anticipate, Mr. Chair, that if we are</p> <p>7 not finished by the break tomorrow, we'll be</p> <p>8 finished shortly thereafter.</p> <p>9 CHAIRMAN:</p> <p>10 Q. Okay.</p> <p>11 MR. KENNEDY:</p> <p>12 Q. You're putting me on the spot, I would--I</p> <p>13 shouldn't be any more than half an hour or 45</p> <p>14 minutes with Mr. Haynes. So, it's a</p> <p>15 reasonable prospect you might finish with Mr.</p> <p>16 Haynes on Thursday.</p> <p>17 GREENE, Q.C.:</p> <p>18 Q. Yes, I thought that might be the case and I</p> <p>19 just wanted to indicate, we are prepared to</p> <p>20 proceed with Mr. Martin on Friday and I just</p> <p>21 wanted to ensure that that was everyone's</p> <p>22 understanding.</p> <p>23 CHAIRMAN:</p> <p>24 Q. I'd like to do that if we can, yes. Sounds</p> <p>25 good to me. Do this need to be assigned a -</p>

1 MS. NEWMAN:

2 Q. It would already have, I guess, a number
3 assigned. We can track that down and let
4 everybody know what the number is.

5 CHAIRMAN:

6 Q. Okay. Thanks very much, enjoy your evening
7 and we'll see you at 9:00 on Thursday morning.

8 Thank you.

9 Upon conclusion .

1 CERTIFICATE

2 I, Judy Moss Lauzon, hereby certify that the
3 foregoing is a true and correct transcript in the
4 matter of Newfoundland and Labrador Hydro's 2003
5 General Rate Application for approval of, among
6 other things, its rate commencing January, 2004,
7 heard on the 21st day of October, A.D., 2003 before
8 the Board of Commissioners of Public Utilities,
9 Prince Charles Building, St. John's, Newfoundland
10 and Labrador and was transcribed by me to the best
11 of my ability by means of a sound apparatus.
12 Dated at St. John's, Newfoundland and Labrador
13 this 21st day of October, A.D., 2003
14 Judy Moss Lauzon