

Page 1

1 (9:00 a.m.)
 2 CHAIRMAN:
 3 Q. Ms. Henley Andrews, how are you this morning?
 4 HENLEY ANDREWS, Q.C.:
 5 Q. Fine thank you, ready to roll.
 6 CHAIRMAN:
 7 Q. Do we have any preliminary matters?
 8 MR. KENNEDY:
 9 Q. No, Chair, there's no preliminary matters.
 10 CHAIRMAN:
 11 Q. Thank you, Mr. Kennedy. So if you're ready to
 12 roll as you say, Ms. Henley Andrews, let's go.
 13 CROSS-EXAMINATION BY JANET HENLEY ANDREWS, Q.C. (CONT'D)
 14 HENLEY ANDREWS, Q.C.:
 15 Q. Good morning. Mr. Haynes, yesterday there
 16 were two undertakings given and I understand
 17 from your counsel that you have the answers to
 18 both of those. So I'll just ask you the
 19 question and you can give the answer. When
 20 unit number 7 was installed at Bay D'Espoir,
 21 how many years was it to be depreciated?
 22 MR. HAYNES:
 23 A. You mean the initial installation or what
 24 we're proposing.
 25 Q. No, the one that's there now.

Page 3

1 why the number on page B-9 has changed from
 2 3,200 barrels of oil per day at Holyrood.
 3 A. Yes. There were two factors involved in that
 4 change. When the original number was
 5 generated a couple of years ago it was based
 6 on full supply elevation at the structure, and
 7 also based on 615 kilowatt hours per barrel.
 8 I guess when we were reviewing this basically
 9 we went with a three year average elevation on
 10 the upstream structure. And we revised the
 11 efficiency factor to 625 as proposed in our
 12 upcoming GRA. So it's a refinement.
 13 Q. I'd like to go back to the exciter B-5, the
 14 proposal at B-5 and I understand that since
 15 yesterday appendix G, Tab 1 from the 2003
 16 Capital Budget is now available on the screen.
 17 How much capacity is affected by exciter
 18 number 7 at Bay D'Espoir?
 19 A. 150 megawatts.
 20 Q. Now if you look at section 2, 2.1 of the
 21 report that's on the screen, this report which
 22 was done in 2000 indicated that the
 23 performance of the exciter over the previous
 24 five years could be described as excellent.
 25 A. It's good performance, yes.

Page 2

1 A. The existing exciter was installed when the
 2 end (phonetic) was installed, it was written
 3 off over the life of the plant which is
 4 approximately 50 years.
 5 Q. 50 years?
 6 A. For the initial installation, yes.
 7 Q. And is that the exciter that's being replaced?
 8 A. The exciter that's being replaced, that
 9 information is contained at IC-15.
 10 Q. Yes.
 11 A. And, basically, the exciter is being written
 12 off over a 13 year period which is basically
 13 the remaining useful life of the plant. I
 14 should not say useful life of the plant, I'm
 15 sure it's going to be useful well beyond
 16 another 13 years.
 17 Q. No, now you're talking about the proposed new
 18 one, right?
 19 A. Yes.
 20 Q. I'm talking about the one that's there right
 21 now.
 22 A. The one that was installed originally was in
 23 installed in 1977 and the Hydro plant was
 24 depreciated over a 50 year period.
 25 Q. 50 years. You were also going to check out

Page 4

1 Q. Well, the report says excellent.
 2 A. Okay.
 3 Q. And if I look at the very first page of the
 4 report it's prepared by Generation
 5 Engineering.
 6 A. Yes.
 7 Q. And that is your department?
 8 A. Yes.
 9 Q. Now, that report outlines the service history
 10 of exciter number 7.
 11 A. That's correct.
 12 Q. And, basically, there was one forced outage on
 13 October 23rd of 1997.
 14 A. When this report was generated. There have
 15 been others since.
 16 Q. I'll get to the later things. If you look at
 17 page B-15 of the 2003 Capital Budget
 18 Application which should also be available,
 19 that's the submission with respect to the
 20 engineering portion of the project from last
 21 year?
 22 A. Yes -
 23 MR. KENNEDY::
 24 Q. It's the 2003 Capital Budget file.
 25 GREENE, Q.C.:

Page 5

1 Q. Section B of that, Mr. O'Reilly.
 2 HENLEY ANDREWS, Q.C.:
 3 Q. Page B-15 of the application.
 4 GREENE, Q.C.:
 5 Q. It's not in that particular report, it's
 6 section B to the application, and project B-16
 7 of section B.
 8 HENLEY ANDREWS, Q.C.:
 9 Q. Do you have that? No. Okay, we're getting
 10 there. See I can't read the screen, so I'm
 11 relying on the hard copies. If you look at
 12 page B-15 under "Operating Experience" -
 13 A. Yes.
 14 Q. You need to scroll down, Mr. O'Reilly. Thank
 15 you. It indicates that the most recent repair
 16 on the exciter was a fan failure in September
 17 of 2000.
 18 A. Yes.
 19 Q. And that resulted in a unit trip.
 20 A. Yes.
 21 Q. If you look at page B-5 and 6 of the current
 22 application or particularly, B-5 under
 23 "Operating Experience", again, the indication
 24 is the most recent repair on the exciter is
 25 the fan failure in September of 2000.

Page 7

1 Q. And if you go back to page 2 of the same
 2 report, it says that "The original excitation
 3 systems for these units were replaced due to
 4 age, the limited supply of critical spare
 5 parts in stores inventory and a limited
 6 product support from the original equipment
 7 manufacturer."
 8 A. Yes.
 9 Q. Were any of the six exciters that were
 10 replaced, the same type of exciter as the one
 11 on unit number 7?
 12 A. No.
 13 Q. So there were no spare parts that could be -
 14 A. I can't state specifically there were
 15 absolutely no cards but basically the exciters
 16 on units numbered 1 to 6 are an earlier
 17 vintage. They are Silcomatic Mark III and
 18 number 7 is a Silcomatic Mark IV. And usually
 19 with those changes in products from the vendor
 20 there's a significant change in design. I
 21 doubt that there's any card
 22 interchangeability.
 23 Q. But you don't know?
 24 A. Not for sure, but I doubt it very much.
 25 Q. Back to page 6, there's a reference to the

Page 6

1 A. 2000, yes.
 2 Q. So, basically, since 1995 with respect to the
 3 unit number 7 exciter, there was a unit trip
 4 in 1997 and a unit trip in 2000.
 5 A. That's possibly correct. I'm not sure if
 6 there have been other trips for other reasons.
 7 Q. Well this is Hydro's evidence.
 8 A. Yes it is, but that is based on the exciter.
 9 There are other things that cause units to
 10 trip besides exciters.
 11 Q. No, no, we're focused on the exciter for the
 12 purpose of the capital project?
 13 A. Yes.
 14 Q. If we go back to that 2000 report, Mr.
 15 O'Reilly, and in particular if look at page 6
 16 of that report, section 3.1 discusses unit
 17 number 7.
 18 A. Yes.
 19 Q. Now units 1 through 6 were replaced in the
 20 period from 1995 to 1998.
 21 A. I believe.
 22 Q. And they're the same types of exciters?
 23 A. No.
 24 Q. But they perform the same function?
 25 A. Yes.

Page 8

1 parts that General Electric has identified as
 2 obsolete and no longer manufacture?
 3 A. Yes.
 4 Q. And the first item is a field temp simulation
 5 card.
 6 A. Yes.
 7 Q. Or something like that. Now, the reference in
 8 the paragraph after that is that Hydro doesn't
 9 have a spare field temp simulation card, but
 10 it does have a spare over voltage suppression
 11 card, correct?
 12 A. Yes, that's correct.
 13 Q. What does it mean in the next sentence when it
 14 says that "General Electric will offer a
 15 return and repair option for the obsolete
 16 cards"?
 17 A. It means that they will attempt to repair it
 18 if they can get the sub component parts from
 19 some manufacturer. But they have no
 20 guarantees, there's no express warranty that
 21 would actually--that they would guarantee, you
 22 know, a substitutable part.
 23 Q. It then goes on to say that "General Electric
 24 will continue to provide technical support on
 25 the", what I understand to be the unit 7

Page 9

1 exciter in the near future, but they can't
 2 guarantee parts availability.
 3 A. No.
 4 Q. In the following paragraph where it says, "In
 5 the event that cards become obsolete, re-
 6 engineering may be required", what does that
 7 mean?
 8 A. It means that you identify the mis--the
 9 example that's used there is for power supply
 10 for a Silcomatic I Exciter, I and II exciter.
 11 You go back and you go back to a General
 12 Electric, presumably, or some other vendor and
 13 say you need a power supply which meets this
 14 specification. And they would actually go and
 15 design a power supply or a component for your
 16 particular application. And our experience
 17 has not been all that great with re-
 18 engineering some of these components.
 19 \$20,000, I've heard numbers as high as
 20 \$100,000 for some specific cards. If you get
 21 back down a specific card that you insert into
 22 a card rack, you know, you have to go back and
 23 do the function. Most of it's propriety
 24 information. You can't necessarily get it
 25 from somebody else. You have to go back to

Page 11

1 some, but there's no assurances. One of the
 2 reasons that Newfoundland and Labrador Hydro
 3 proposed replacing these critical components
 4 is that if we do get a failure that we cannot
 5 manage, then basically we have no alternative.
 6 We cannot enter into emergency purchase
 7 contracts from somebody else to replace 150
 8 megawatts of power. We don't have any
 9 interconnect capability. One of the things
 10 that we take great pain I, you know, would
 11 suggest, is to ensure that these machines are
 12 reliable. We don't have the option to replace
 13 this energy.
 14 Q. Well, I'm going to get there as a matter of
 15 fact, but I take it that your evidence is that
 16 the equivalent of the field temp sim cards and
 17 over volt suppression cards from the units
 18 that have been replaced would not be
 19 appropriate because they were different
 20 exciters?
 21 A. That's correct.
 22 Q. Have you attempted to get a spare field temp
 23 card?
 24 A. From other sources?
 25 Q. Yes.

Page 10

1 GE. Their practice is to recall some retired
 2 individual and bring it back and start from
 3 scratch to do it.
 4 Q. My question is has Hydro investigated the cost
 5 of a re-engineered field temp sim card?
 6 A. No, we have not, but that is only one of many
 7 cards that we would have to do that same thing
 8 for.
 9 Q. But the only parts that are identified as
 10 obsolete and no longer manufactured are these
 11 two up above, the field temp sim card and the
 12 over voltage suppression card.
 13 A. At the time of writing that report, that's
 14 correct.
 15 Q. Well there's nothing in the justification
 16 that's contained in your 2004 Capital Budget
 17 to indicate that there's anything else that's
 18 obsolete.
 19 A. No, there's not, but the support for the
 20 product has diminished. I don't have any
 21 particular record from a manufacturer that
 22 corresponds with engineering of M (phonetic)
 23 basically from the supplier. His
 24 understanding is there is very little support
 25 left for the Silcomatic Mark IV. There is

Page 12

1 A. I don't think so but I cannot affirmatively
 2 answer that particular question.
 3 Q. You're still getting technical support from
 4 General Electric?
 5 A. In as far as they can provide it but there's
 6 no assurance of replacement components. When
 7 an exciter fails, if you have a major fail in
 8 the exciter, it's not uncommon to lose a lot
 9 more than just one or two cards. So, you
 10 know, it's not just a single card that we're
 11 looking at, it's the whole system. We want
 12 sustained vendor support to ensure that we
 13 have long term reliability of the product.
 14 Q. Well, I'd like you to take a look at the
 15 February 10, 2000 e-mail which is attached to
 16 that appendix, to that report from, and it's
 17 from Rose Howlett. It's dated February 10,
 18 2000 and it's 8:19:05 a.m. and it's addressed
 19 to Glen Winsor. Yes, that's the right one.
 20 At the time of that e-mail, was there--so in
 21 2000, Hydro would have been aware that there
 22 were two cards which were no longer available?
 23 A. Yes.
 24 Q. Do you know if there was any attempt at that
 25 time to acquire those cards from other

Page 13

1 sources?
 2 A. I don't think there was, I cannot say for sure
 3 but I would suggest that if we are going to
 4 buy those from other sources, we are buying
 5 some product or some retired equipment from
 6 some other vendor who has already decided that
 7 this particular equipment is obsolete and no
 8 longer worth keeping in service. So we are
 9 buying an aged component which I would suggest
 10 would not be as reliable as a new one, has no
 11 assurance of working, and our experience when
 12 we've done this--we've done this on other
 13 systems by the way, for EMS system and other
 14 things, we have bought equipment from other
 15 utilities that has been retired from service
 16 and our experience has been mediocre. It's
 17 not been stellar by any stretch.
 18 Q. If you look at the last paragraph of that e-
 19 mail -
 20 A. Yes.
 21 Q. It indicates that possibly after review of the
 22 cost of stocking enough components for a five
 23 year period, you may want to consider
 24 contacting Paul Martin for a quote on a
 25 replacement exciter. Did Hydro investigate

Page 15

1 the recommended spare parts which would imply
 2 we've used one, but I'd have to go--have to
 3 have somebody go back to 34 years of records,
 4 35 years, I'm sorry, to 1977 when, you know,
 5 it was installed, to determine that. The
 6 records may or may not be available.
 7 Q. And you do have a spare over volt suppression
 8 card?
 9 A. As I said, yes.
 10 Q. Do you know whether the original over volt
 11 suppression card has been replaced in unit
 12 number 7 over its life?
 13 A. I do not know that information.
 14 Q. If we go to page 8 of the report it indicates
 15 that the technical lifetime of the General
 16 Electric Silcomatic I Static Exciter was 30
 17 years?
 18 A. Yes, it states that.
 19 Q. Which from 1997 would be 2007.
 20 A. Yes.
 21 Q. Which from 1977 would be 2007.
 22 A. Yes.
 23 Q. And then it says, "Most static exciter
 24 electronic components are expected to have a
 25 service life of 20 to 25 years."

Page 14

1 the cost of stocking enough components for a
 2 five year period?
 3 A. Some components are unavailable, so, you know,
 4 if you stock up, you know, several thousand
 5 dollars worth of components or a hundred
 6 thousand dollars worth of components and
 7 there's a card or two that you cannot get or
 8 you have a limited number of spares that are
 9 available, it really doesn't buy us a lot in
 10 the long run.
 11 Q. Then that assumes that the filed temp sim card
 12 in particular was not available from another
 13 source.
 14 A. Yes, or that there may only one spare of
 15 others.
 16 Q. And you do have a spare of the over voltage
 17 suppression card?
 18 A. At that time we did and I suspect we still do,
 19 yes.
 20 Q. The field temp simulator card that's in the
 21 unit at the present time, is that the original
 22 card?
 23 A. I really have no idea. If it was a suggested
 24 spare by the manufacturer on purchase of the
 25 unit we would have in all likelihood bought

Page 16

1 A. Yes.
 2 Q. "And that in most cases the components can
 3 remain in service beyond their expected
 4 service life."
 5 A. Yes.
 6 Q. So if you had a card in the beginning and a
 7 spare, then it would imply that you should get
 8 the full 30 years out of the exciter.
 9 A. Possibly, I really--that's supposition, that's
 10 a--that would be an observation.
 11 Q. So when you look at the next paragraph of the
 12 report where it says that the average service
 13 life of the Bay D'Espoir and Holyrood static
 14 exciters is used as an optimum number for
 15 predicting the service life, then in those
 16 circumstances, Bay D'Espoir unit number 7
 17 would be replaced in 2004.
 18 A. Yes.
 19 Q. But the contrary is also true, isn't that
 20 right, which is that if the average service
 21 life is not the optimum number, then 2004
 22 wouldn't be the right time.
 23 A. Taking the year for when it replaces, I mean
 24 it's--I wouldn't suggest that somebody went
 25 down and said the average life is 25 years or

Page 17

1 27 years, therefore we have to replace it. I
 2 mean you have to look at the risk of having
 3 that machine, if that particular exciter
 4 failed and its unavailability as it states in
 5 the last sentence of the first paragraph, "The
 6 exposure to the risk of failure and extended
 7 down time should be understood." We need to
 8 avoid that. We do not have any alternate
 9 supplies of power and energy and any loss of a
 10 hydraulic plant forces more fuel consumption
 11 at Holyrood and so on. We can't go and buy it
 12 from Hydro Quebec or Nova Scotia Power.
 13 Q. Well, the electronic is now 25 years old,
 14 correct?
 15 A. 26 years old, I assume, 1977.
 16 Q. And it hasn't failed yet.
 17 A. I could not say whether components have not
 18 failed. I mean there's been a couple of
 19 failures there of certain things.
 20 Q. Now, there's a reference in your project
 21 proposal to lengthy outage.
 22 A. To lengthy outage, yes.
 23 Q. And it's on page B-6.
 24 A. Yes.
 25 Q. The second paragraph it says that, "If parts

Page 19

1 specifications so that we can be in a position
 2 to award for delivery during our maintenance
 3 season in 2004.
 4 Q. And if a card had to be re-engineered, how
 5 long would you expect the outage to be?
 6 A. I could not say that, that would depend on the
 7 card that failed, it would depend on the
 8 availability of resources by GE or whomever.
 9 Q. Well let's go at it a different way and that
 10 is that if it failed and you were to replace
 11 the exciter -
 12 A. Yes.
 13 Q. And assuming that you had to start the
 14 engineering at that point, how long would it
 15 take to--would it be a year?
 16 A. I would suggest that if you were prepared to
 17 go to tender or direct order without going to
 18 tender, it would probably be in the period of
 19 six months, if the particular factory had a
 20 space available on the shop floor. You know
 21 that is also a matter of availability of shop
 22 space to fabricate that supply.
 23 Q. So roughly six months.
 24 A. I would suggest six months but basically we
 25 allow--our plan would be to enter a contract

Page 18

1 were to fail and spares were not available, it
 2 could result in a lengthy outage."
 3 A. Yes.
 4 Q. What do you mean by lengthy outage?
 5 A. If the parts were unavailable, we can't
 6 operate the exciter. Basically, there are
 7 certain things you can operate the exciter
 8 without. You can lose a component. You can
 9 lose one thyristor and you can continue to
 10 operate. If you lose a control card, you
 11 can't operate. If you don't have a spare,
 12 then we have to either find a card, reverse
 13 engineer or replace the exciter. And
 14 replacing the exciter is a long-term
 15 deliverable item because it's specifically
 16 designed for that specific generator. It's
 17 not--the Exciter on Unit No. 7 is not the same
 18 as the Exciter on Unit No. 1 to 6. It has
 19 different voltages and different current
 20 capabilities. It's designed for the specific
 21 generator that was installed.
 22 Q. But you've already had approved, the
 23 engineering.
 24 A. Yes, to do the specification and to go down
 25 through and basically prepare the

Page 20

1 early in 2004 and to install this, you know,
 2 before September or October, typically if
 3 there's any maintenance.
 4 Q. And if you were to get a card re-engineered,
 5 it would be less than six months?
 6 A. That depends on the availability of parts,
 7 components and people. And that would -
 8 Q. Have you had cards for other things re-
 9 engineered in the past?
 10 A. They did have a power supply card which I
 11 believe was stated there, redone. I think
 12 that was in the report you already referred me
 13 to. I don't know if it said the time frame.
 14 Q. And I'm not necessarily referring now to this
 15 particular exciter, I'm talking about any time
 16 you may have had, would it be normally less
 17 than six months?
 18 A. I can't say. It depends on the card, it
 19 depends on whether its exciter, the Governor,
 20 a computer. It's wide open. And if you were
 21 to go back and take that approach you would
 22 probably want to go back and re-engineer all
 23 the cards to ensure that you have a long term
 24 supply of spares.
 25 Q. And if the exciter was out of commission due

Page 21

1 to the failure of a card, the one I guess that
 2 can't be replaced at the present time, that
 3 would result in 150 megawatts out of service?
 4 A. That's correct.
 5 Q. Now I'd like you to go to Hydro's general rate
 6 application, this year's one, 2003 one, and
 7 your own evidence. Table 8 which is at page
 8 37.
 9 HUTCHINGS, Q.C.:
 10 Q. Which volume would that be?
 11 HENLEY ANDREWS, Q.C.:
 12 Q. I think it's Volume 1, that's what I'm looking
 13 at.
 14 CHAIRMAN:
 15 Q. Would you give us the reference again, Ms.
 16 Henley Andrews, it's the -
 17 HENLEY ANDREWS, Q.C.:
 18 Q. Yes, it's Volume 1 of this year's general rate
 19 application.
 20 CHAIRMAN:
 21 Q. Yes.
 22 HENLEY ANDREWS, Q.C.:
 23 Q. It's Tab 8 on page 37. Do you have that
 24 there? Yes, okay, that's fine. If you look
 25 at that table, Hydro is projected to have

Page 23

1 get into a loss of load expectation discussion
 2 but what I'm saying to you is that if you lost
 3 150 megawatts at Bay D'Espoir for a year -
 4 A. Yes.
 5 Q. Customers would not have their power affected.
 6 A. I couldn't agree with that because if you knew
 7 that you were going to have 150 megawatts
 8 unavailable for one year, you have a higher--
 9 you're still going to continue with the
 10 failure of probabilities of the other units
 11 and you will likely have other interruptions
 12 through the year because you're already
 13 starting off knowing that you're 150 megawatts
 14 shy. Now that can happen, obviously, if we
 15 have a major unit failure. But this is one
 16 that we think that we can prevent by being
 17 proactive on a replacement of aging and
 18 unsupported components.
 19 Q. But in answer to my question, if you look at
 20 the loss of load hours and you look at your
 21 own information in table 8 with respect to the
 22 capability of your system, right now in 2003
 23 and also in 2004 and 2005, your LOLH is much
 24 higher than your target.
 25 A. Yes, but if you were to regenerate that table

Page 22

1 surplus capacity for meeting its peak until
 2 what year?
 3 A. I guess 2009 we show a--I believe we show a--
 4 I'm sorry, that's the energy balance.
 5 Q. Yes, that's the energy balance and the actual
 6 peaking capacity would be when?
 7 A. I'm sorry, I'm -
 8 Q. Never mind. So right now Hydro has 150 extra
 9 megawatts.
 10 A. We plan a system based on loss of load
 11 expectation.
 12 Q. Yes.
 13 A. And basically the generation is added or
 14 purchase contracts with whomever are entered
 15 into as required to ensure that we have that.
 16 That covers off a certain probability of
 17 failure of equipment that we can basically--
 18 that we can supply our firm load and backstop
 19 basically any other load that we buy because
 20 there's no assurances, I guess, that they're
 21 going to be there. And if we were to change
 22 the reliability or the availability of any
 23 machines that we presently have, we would have
 24 to go back and reconsider that.
 25 Q. No, no, and I realize that. I'm not going to

Page 24

1 with 150 megawatts removed, that number would
 2 change.
 3 Q. It would change. And the table would change.
 4 But are you suggesting to me that it would
 5 change to the degree that you'd have a problem
 6 with that target in 2005?
 7 A. 150 megawatts is a significant load on our
 8 system. I really can't--obviously I can't
 9 regenerate that table, that's not my
 10 capability or expertise at all. But 150
 11 megawatts out of our system is a significant
 12 load, if you operate that way for a year and
 13 you have, you know, a failure at Holyrood, we
 14 will be in a difficult situation to meet
 15 customers' expectation of load.
 16 Q. So can you tell me that it would be a problem
 17 in 2005?
 18 A. Not without regenerating that particular
 19 table, I can't do that. It's not the way that
 20 we plan, it's not the utility practice to plan
 21 and operate a system that way. The load
 22 forecast is based on weather, you know,
 23 there's some normalization done, there are
 24 cold days, there are unexpected increases in
 25 load, it's a probabilistic thing but it takes

Page 25

1 into consideration many factors.
 2 Q. Let's just look at Tab 8 again for a minute.
 3 Your forecast peak in 2004 is 1,602 megawatts.
 4 A. Yes.
 5 Q. And your net capacity in 2004 is 1919.
 6 A. Yes.
 7 Q. So there is a 317 megawatt surplus in capacity
 8 to meet peak in 2004.
 9 A. And a loss of load expectation -
 10 Q. That's right.
 11 A. - of 1.1 hours.
 12 Q. Now the first time that--when you go onto
 13 2005, your peak only increases by five
 14 megawatts.
 15 A. That's the forecast increase, yes.
 16 Q. And for 2006, it increases by another six
 17 megawatts. So you're not forecasting any
 18 great increases in your peak requirements over
 19 the next number of years.
 20 A. No, it's a gradual, modest increase in load.
 21 Q. Has Hydro evaluated the cost of obtaining a
 22 re-engineered replacement card?
 23 A. I believe I answered that, I don't think we
 24 have.
 25 Q. So let's move on to the Governor Controls at

Page 27

1 nil. I was in contact with my colleagues in
 2 Switzerland at the time. At the time, 1983,
 3 the exciters were designed and built by BBC in
 4 Switzerland" -
 5 Q. I'm sorry, I haven't found it yet, where are
 6 we?
 7 A. It's an e-mail dated February 24, 2000 to Glen
 8 Winsor from -
 9 Q. Okay, just one second.
 10 A. ABB. It's following the section in that
 11 particular report where it talks about the Cat
 12 Arm exciters.
 13 Q. February -
 14 A. 24th.
 15 Q. Okay.
 16 A. And according to this, I guess, the previous
 17 page, we did purchase spares sometime prior to
 18 2000, additional spares.
 19 Q. Yes.
 20 A. And that particular--I don't know when we were
 21 informed that there were no more spares
 22 available, but basically there is no support
 23 available for those particular units at all.
 24 The company has basically disappeared, it's
 25 been bought by ABB.

Page 26

1 Cat Arm, which is B-10. Now if we look at the
 2 project justification, it says that the
 3 Governor on unit 2 at Cat Arm is the original
 4 equipment put in service in 1984.
 5 A. That's correct.
 6 Q. And it serves to regulate the speed of the
 7 generating unit and the Governor Controls are
 8 analogue electronic type that's been
 9 manufactured since 1974. "And the replacement
 10 is required due to the manufacturer's decision
 11 to discontinue repair or replacement of
 12 electronic cards by the end of 2004."
 13 A. Yes.
 14 Q. Does Hydro have replacement electronic cards?
 15 A. We have some.
 16 Q. When did Hydro become aware that the
 17 manufacturer was going to discontinue the
 18 repair or replacement of the cards?
 19 A. Just one second. If you refer back to the
 20 report that you were referring to before, I
 21 don't know the page number, but it's a letter
 22 from--it's an e-mail to Glen Winsor regarding
 23 the Cat Arm Exciters from Derek Monk and
 24 basically says, "Basically, the availability
 25 of spares for the BBC Exciters at Cat Arm are

Page 28

1 Q. And the recommendation that's contained in
 2 that e-mail in the third paragraph is that
 3 "it's suggested to eventually upgrade the two
 4 Cat Arm exciters to more recently technology."
 5 A. That's correct.
 6 Q. Does Hydro have spare parts for this, for the
 7 Governor Controls at Cat Arm?
 8 A. I'm sure we have some spare parts but we have
 9 fairly significant failure history. We've had
 10 three failures since the writing of this
 11 report and two control cards that we used
 12 since that particular time and there are no
 13 spares available, that's speed, set point and
 14 operating limit. We had two failures in 2002
 15 and one in 2003.
 16 Q. But if you look at the report that we've just
 17 been talking about it said that the Governor
 18 Controls for one unit should be replaced in
 19 2004 is what you suggest as a preventive
 20 measure to ensure supply of spare parts is
 21 available beyond 2004 for the remaining unit.
 22 A. Um-hm.
 23 Q. Correct?
 24 Q. If you look at page B-11?
 25 A. Of this year's proposal? Which paragraph, I'm

Page 29

1 sorry?

2 Q. B-11, the very first paragraph in this year's

3 Capital Budget.

4 A. Yes.

5 Q. It says that the report recommended that the

6 Governor Controls for one unit should be

7 replaced in 2004?

8 A. Yes.

9 Q. Now, there's a planned outage of that unit in

10 2004?

11 A. Typically there's a planned outage for all

12 machines, at least once a year for -

13 Q. Okay, so there'd also be a planned outage for

14 that unit in 2005?

15 A. Yes.

16 Q. Will the work to replace the Governor Controls

17 extend the planned outage beyond the norm?

18 A. It depends on how much work is done up front

19 and how much can be done when the machine is

20 energized, when workers can get in and do

21 certain preliminary work. It depends on the

22 availability. That particular plan is not

23 laid out as yet.

24 Q. But in the normal course of doing this kind of

25 work to replace something, like the Governor

Page 31

1 going to be supported and they have kind of a

2 time frame of continuous support after they

3 stop making. Not all vendors have it, in this

4 particular case that vendor was--their produce

5 line was bought by somebody else and

6 discontinued.

7 Q. Now, what's your experience been with ABB?

8 A. ABB haven't been bad, but we don't always

9 know. They have a myriad of components and

10 most vendors are trying to improve that, but

11 they certainly don't have a great track record

12 yet.

13 Q. So do you know whether with respect to the

14 Governor Controls for Unit 2 at Cat Arm,

15 whether you did receive any notification from

16 -

17 A. I don't know offhand, no.

18 Q. Now if we look at the 2004 Capital Budget and

19 we go to Appendix G--in Section G, Appendix 1,

20 page 5. Actually, we'll go to page 4 first.

21 And if you look at 4A, the third paragraph in

22 that section says that "Hydro has a good

23 supply of spare parts for the Governor

24 Controls"?

25 A. Yes.

Page 30

1 Controls during a regular planned outage?

2 A. Typically it would extend the outage by some

3 degree, not necessarily, it depends on the

4 machine, it depends on the pre-packaging by

5 the vendor and the amount of re-use of

6 cabinets and so on. But this is the control

7 section only, so there may be some increase,

8 it may be a week or two.

9 Q. So these Governor Controls or for Unit No. 2,

10 they've been in place for 19 years?

11 A. Well since the commissioning of the plant.

12 Q. Well it says it's in service since 1984 and

13 this is 2003, so that's roughly 19 years. Do

14 you know when the manufacturer decided to

15 discontinue manufacturing spare parts?

16 A. I'm not sure of the date.

17 Q. Is that something that Hydro would generally

18 receive information from its suppliers?

19 A. It often depends on the supplier. On some

20 suppliers, they have a very good record of

21 letting the customer know what their long-

22 term--Westinghouse, for instance, or Emerson

23 Controls basically have a very good system in

24 place, if you will, to advise the users of

25 their equipment when their equipment is not

Page 32

1 Q. And if you look at the service history, there

2 have been four cards and three power supplies

3 replaced since 1990?

4 A. Yes.

5 Q. And are those the repairs to the Governor

6 Controls that you've been talking about? You

7 said that there have been a number of

8 failures?

9 A. No, there have been failures since this report

10 was written. We've had three; two in 2002 and

11 one in just June of this year, which have

12 used, you know -

13 Q. This report says June of 2001, so you've had

14 three failures since then?

15 A. We have had three failures in 2002 and thus

16 far in 2003.

17 Q. Three in 2002.

18 A. No, two in 2002; one in 2003.

19 Q. Now, there's no mention of those additional--

20 well there's a mention in B-10, there's a

21 mention of a card repair on Unit 2 being the

22 replacement of the seed (phonetic) set point

23 control card on July 3rd of 2002.

24 A. Yes.

25 Q. But there's no reference in that to a second

Page 33

1 incident -

2 A. The second incident took place in October of

3 '02 and in June of '03.

4 Q. And were they on Unit 2 Governor Controls?

5 A. Yes, they were on Unit 2.

6 Q. Because when I look at the service history,

7 page 5 of 15 on that report that's attached--

8 that we were just talking about.

9 A. Yes.

10 Q. Most of the problems, well as a matter of

11 fact, six of the seven problems occurred on

12 Unit 1?

13 A. That's correct.

14 Q. And so the question that I had was why would

15 you have chosen replacing the Governor

16 Controls on Unit 2?

17 A. Unit No. 2 basically is scheduled out next

18 year to replace both the Exciter and the

19 Governor Controls. I think the spare parts

20 will become available will be available. I

21 don't know any particular reason why they

22 chose Unit No. 2, except the Governor was out

23 and the Exciter are both slated repair for one

24 outage, as opposed to two separate outages.

25 Q. It's just that, you know -

Page 35

1 A. We have some spares, I don't know the actual

2 quantities.

3 Q. The question is that if Hydro still has spares

4 for both units, why is it considered necessary

5 to replace the Governor Controls now?

6 A. Because there is little future support. The

7 long-term replacement of the long-term--the

8 opportunity or I guess the life unit getting

9 replacement parts if we use one is diminished

10 and we need these machines. We need them to

11 be available and reliable and we had three

12 failures in the last couple of years and I

13 mean, that's--one could assume that that's a

14 little bit indicative of, you know, more

15 ongoing problems, if you will.

16 Q. But the average service life that would be

17 expected of these exciters, including the

18 Governor Controls, was 25 years, right?

19 A. Yes, that would also assume some form of

20 reliable vendor support which is non-existent

21 for this particular unit.

22 Q. But that would have meant that they be in

23 service until 2011?

24 A. Yes. One of the things that Hydro, in all

25 these particular proposals, one of the things

Page 34

1 A. The most -

2 Q. To a person who is not familiar with the

3 technical side of it, it just seemed odd that

4 the Governor Controls would be replaced on the

5 unit that's had the least trouble with the

6 Governor Controls.

7 A. Yes, but, you know, as the page 5 indicates

8 too that the last problem was on Unit No. 2.

9 All the prior problems were 1995 and prior.

10 Q. Yeah, but look at what the problem was. The

11 second needle doesn't cut in until the first

12 is 100 percent. That doesn't--that, to me,

13 isn't quite the same as a defective power

14 supply and there's a lot--there's power supply

15 replaced twice -

16 A. Yes.

17 Q. For Unit No. 1. Anyway, I just raise the

18 question because it just struck me as odd.

19 A. It's the opinion of the generation engineer

20 and the plant personnel that the one to do

21 first was No. 2. I don't take exception to

22 their recommendation.

23 Q. Now if we look at page 7--no, sorry, it's a

24 wrong reference. So does Hydro still have

25 spares for both units?

Page 36

1 that we do talk about is the increase risk of

2 spill if the unit is not available and that is

3 a significant cost because basically all the

4 incremental energy from all of these Hydro

5 plants is not free, but it is very, very low

6 kilowatt hour rate. The alternative is to

7 burn fuel obviously at Holyrood, which is

8 significantly incremental rate.

9 Q. Now in terms of the vendor support, the

10 proposal in that report that we've been

11 looking at is that one set of Governor

12 Controls be replaced and that the one that's

13 removed then be used for spare parts for the

14 other one?

15 A. Yes, for some period of time which maybe a

16 year, it maybe two years, it depends.

17 Q. Does Hydro at the present time have any plan

18 to replace the second set of Governor

19 Controls?

20 A. It's on the horizon. I believe it says in one

21 of the reports there that there was an

22 anticipated time, but I mean, we have not

23 submitted, obviously, our 2005 Capital Budget,

24 but it will be reviewed. It may or may not be

25 there when we prepare that--when we do that

Page 37

1 review.

2 Q. Now, presumably if spare parts can be obtained

3 from this Governor Control System to be used

4 on the other, then Hydro has internal

5 resources who can take care of the repairs?

6 You're not anticipating difficulty getting the

7 repairs done?

8 A. If we have the spare components.

9 Q. Yes.

10 A. If we have the spare cards, but we do not--we

11 don't get down to board level and replace

12 specific components on cards to any great

13 degree, particularly with these -

14 Q. No, but I'm saying that as long as you have

15 the spare parts -

16 A. If it's determined that we have an adequate

17 supply of spare parts, then that will be

18 reviewed and will be a factor in the decision

19 whether we put forward in future years

20 replacement of the second Governor.

21 Q. Now you got a quote from Sulzer Hydro on

22 replacement of the Governor Controls?

23 A. When they did their preliminary estimates they

24 had quotes--no, not Sulzer. Sulzer no longer

25 do that, I don't believe. We have quotes in

Page 39

1 A. It says, yes.

2 Q. See that?

3 A. Yes, I'm sorry.

4 Q. So he says that it would be \$150,000.00 each,

5 is that how you interpret that?

6 A. Well it says two Governors, so I'm really

7 uncertain. I would have--that sounds like a

8 reasonable number for the Governor Controls,

9 but -

10 Q. And it says, "this includes about \$25,000.00

11 for the field work portion"?

12 A. Yes.

13 Q. "And we've assumed that the old ETRs would be

14 removed from the panel by yourselves"?

15 A. Uh-hm.

16 Q. And that the installation and the

17 commissioning is about ten days and delivery

18 is approximately ten weeks after clarification

19 of the technical details.

20 A. Yes.

21 Q. Have you obtained any recent estimates of

22 those costs?

23 A. I cannot--I would assume that when the Capital

24 Budget was put forward that the engineering

25 group would review those numbers and see if

Page 38

1 the report that are quotes from--and I can't

2 speak to the nuance of these systems, but

3 Atlas H mod (phonetic), Atlas HC, and Micronet

4 HC, there are three systems that were reviewed

5 as potential replacements and the estimate

6 that was put forward was based on what they

7 thought would be an appropriate replacement

8 system that meets the needs of that particular

9 Governor.

10 Q. Now if you look at one of the attachments to

11 that report, and it's in Appendix D, the first

12 page and it's dated July 26, 2000?

13 A. Yes.

14 Q. And from Keith Pomeroy to Rick Legg (sic.) of

15 Hydro?

16 A. Rick Leggo, yes.

17 Q. Okay, sorry. And it says, "we've prepared a

18 budget offer which we'll send by courier with

19 some literature about the DTL Governor System

20 and a reference list. And the basics of the

21 budgets in Canadian dollars are design,

22 program and supply to DTL 595 digital

23 Governors, including installation and

24 commissioning and documentation, \$150,000.00

25 per lot."

Page 40

1 they're still a rationale and appropriate

2 number. It will--obviously when we go to

3 tender, it will be what it will be.

4 Q. But you don't know?

5 A. I don't know specifically. We would often

6 take a number that we had and we would

7 escalate it based on escalation factors and do

8 it. Sometimes it was a confirmation with the

9 vendors these are still a reasonable number to

10 work with. We would go to tender in any case

11 and award to the most appropriate vendor.

12 Q. Now if you go to page 12 of--sorry, wrong

13 page. If you go to page 14 and 15 of the

14 report, which is the condition assessment that

15 we're referring to?

16 A. Yes.

17 Q. The technology that Hydro is proposing, do you

18 know whether you investigated or has anyone in

19 your department investigated its potential for

20 early obsolescence?

21 A. I'm sorry?

22 Q. Well, I mean, one of the problems we seem to

23 be having on a lot of these projects is that

24 equipment that originally has a predicted time

25 frame of, you know, 20 years, 25 years, 30

Page 41

1 years, the manufacturer discontinues or gives
 2 notice that it won't--it is no longer
 3 manufacturing spare parts, so I'm just asking
 4 that if you look at this report from 2000 and
 5 you look at what Hydro is currently proposing,
 6 is one of the things that you do to
 7 investigate how current what your proposal is?
 8 A. That depends. It happens, sometimes I think
 9 in response to one of the questions by the PUB
 10 was along the lines of how much do we expect
 11 if we looked at, you know, looking for a
 12 longer period of time. But if we go to a
 13 vendor for an electronic component and say--
 14 and we demand 20 or 25 years of support, we
 15 will pay a heavy price up front. Basically we
 16 anticipate at least 10 years of vendor support
 17 and being assured of spare parts. And a lot
 18 of vendors will go a lot longer, particularly
 19 if it's not electronic components. Once it
 20 goes to electronic, that support horizon is
 21 diminished.
 22 Q. Are there other systems besides the type of
 23 Governor Controls that you're looking at?
 24 A. For that particular unit you mean?
 25 Q. Yes.

Page 43

1 because we can't turbine the water.
 2 Q. And have you--what's the cost of doing
 3 nothing?
 4 A. The cost of doing nothing is basically just to
 5 increase--you pay a higher risk of failure and
 6 unavailability to meet customer load and
 7 obviously the cost of generating through
 8 Holyrood, for instance.
 9 Q. And have you projected what your maintenance
 10 costs would be expected to be?
 11 A. Not specifically no, not that I'm aware of.
 12 Q. Now if we go to B-12, that's the Exciter at
 13 Cat Arm?
 14 A. That's correct.
 15 Q. And that's a 518.5--well, \$518,500.00 project?
 16 A. Yes.
 17 Q. And you're proposing to replace the Static
 18 Exciter Unit 2 with ABB Unitrol F Model?
 19 A. That's correct.
 20 Q. If we go to the 2003 Capital Budget, Appendix
 21 G which we've referred to before, Tab 1, and
 22 in particular go to page 5. This report was
 23 done in 2000?
 24 A. I believe that's correct.
 25 Q. And with respect to the Cat Arm Units, those

Page 42

1 A. Well we have in here a proposal on the Exciter
 2 as well, which is basically the same issue,
 3 vendor obsolescence by ABB or
 4 (unintelligible), I'm not sure now, whichever
 5 the supplier was.
 6 Q. What would be the expected remaining life of
 7 the Governor Controls on Unit 1 as a result of
 8 replacing Unit 2 and getting the spares?
 9 A. I can't answer that questions. That's a
 10 judgment that I would have to leave to people
 11 who operate and maintain the plants.
 12 Q. So when looking at the cost of this project,
 13 you haven't assessed the cost benefits on the
 14 Unit 2 Governor Controls?
 15 A. We basically looked at Unit No. 1, all the
 16 spare parts that would be retrievable from
 17 that would be kept, obviously, for spares for
 18 Governor No. 2, but there would have had to
 19 have been an assessment done then on the
 20 number of spares that are available, the
 21 failure rates, the anticipated, you know, the
 22 consequences of not being able to repair the
 23 unit on time to a consideration, but not
 24 necessarily affecting the calculation would be
 25 the value of spill water around the structure

Page 44

1 Exciters were installed in 1984?
 2 A. With the original plant, yes.
 3 Q. And the performance of the Exciters over the
 4 last five years is described as excellent.
 5 A. Yes, and a very few failures.
 6 Q. And there has been, according to your current
 7 submission, only one problem since that time
 8 and that was in September of 2001 when the
 9 field breaker repeatedly open and closed?
 10 That's under "Operating Experience" on page B-
 11 12?
 12 A. Yes.
 13 Q. And that has been repaired?
 14 A. Yes.
 15 Q. And do you know what the cost was to repair
 16 it?
 17 A. I'm sorry, I don't know if I answered--no, I
 18 don't know the cost to repair the breaker.
 19 Q. Do you know how long it took to repair?
 20 A. No, I don't offhand.
 21 Q. Do you know if the unit was out of service for
 22 any period of time as a result of that repair?
 23 A. It would have been out of service long enough
 24 to effect the repair, however long that took.
 25 Q. Hydro acquired spare parts in 1999 for those

Page 45

1 two Exciters, is that correct? If you look at
 2 page 8 of--page 7 of the report, the 2000
 3 report, Section 3.3.
 4 A. Of the--which report, I'm sorry?
 5 Q. In the 2003 Capital Budget Hearing, Section G,
 6 Tab 1.
 7 A. Yes. Page?
 8 Q. Page seven.
 9 A. Yes.
 10 Q. So, you can see that in Section 3.3, the
 11 second paragraph, Hydro generation, procured
 12 spare parts in 1999 for the exciters.
 13 A. Yes.
 14 Q. And are those spare parts still in inventory?
 15 A. They would have to be.
 16 Q. So, both of these exciters were expected to be
 17 in service until 2011, isn't that right?
 18 A. On average, I guess, that's what we've agreed,
 19 yes.
 20 Q. And Unit No. 1 was replaced in 2002.
 21 A. Yes.
 22 Q. And that too would have generated spare parts,
 23 isn't that correct?
 24 A. Yes, that's correct.
 25 Q. Has Hydro explored any other options?

Page 47

1 Q. So, the maintenance capability is there, isn't
 2 it?
 3 A. Yes, but diminishing from the point of view
 4 of--I mean, often when you get into, you know,
 5 any significant problems on these machines,
 6 you will also ask for vendor support. If we
 7 cannot resolve the problem ourselves, if it's
 8 not just a card swap, you know, we often will
 9 bring in the vendor and that service and
 10 availability is diminished greatly.
 11 Q. But it's still there?
 12 A. They'll make the best effort.
 13 Q. So, what's the cost of doing nothing for 2004?
 14 A. The cost of doing nothing?
 15 Q. Yes.
 16 A. It would just be--carry on with the
 17 maintenance that we're doing right now and
 18 accept a higher risk of unavailability if
 19 parts do fail or if there's a major failure,
 20 you have to replace multiple cards.
 21 Q. Well, now, there's not a big risk of
 22 unavailability in parts given what you must
 23 have in store based on our previous discussion
 24 to the parts for both in 1999 -
 25 A. They should be there, yes.

Page 46

1 A. You mean than replacing the exciters?
 2 Q. Yes.
 3 A. Such as? We would have to have an exciter,
 4 obviously.
 5 Q. Have you looked at the cost associated, the
 6 maintenance cost associated with keeping the
 7 existing exciter?
 8 A. No, we haven't specifically, we've only talked
 9 about it in generality, basically you increase
 10 your spares, you increase your training and
 11 your troubleshooting costs are doubled and
 12 there's a limited number of staff there and we
 13 do have some desire to have a minimum number
 14 of different types, but there's not specific
 15 dollar value assigned. There obviously is an
 16 increase in training, orientation,
 17 troubleshooting expertise required for each
 18 different type.
 19 Q. Okay, but Hydro procured spare parts for both
 20 exciters in 1999.
 21 A. Yes.
 22 Q. And Hydro procured, effectively got additional
 23 spare parts since 2002 as a result of the
 24 replacement of the first Cat Arm exciter.
 25 A. That's the logical assumption, yes.

Page 48

1 Q. Now, if we go on to B14 which is the upgrades
 2 of controls of the spherical valve No. 3 at
 3 Bay D'Espoir, that's 183,000.
 4 A. Yes.
 5 Q. And three of the six systems have already been
 6 upgraded?
 7 A. One was done this year for a total of three,
 8 yes.
 9 Q. Now, if you look at page B14 under operating
 10 experience, it says, this generating unit
 11 which is unit number 3 typically operates for
 12 5500 hours each year.
 13 A. Yes.
 14 Q. And by my math, that is 229 out of 365 days?
 15 A. Well, it would be done on hours, not days.
 16 Units are started and stopped, basically they
 17 could be started and stopped two or three
 18 times a day depending on where the customer
 19 load is going, so.
 20 Q. Is there a particular time of year when this
 21 unit would be used more than other times?
 22 A. Usually in the wintertime. In the summertime,
 23 basically the load is down and it stays up a
 24 fair bit because our attempts are to shut down
 25 Holyrood and minimize field use as soon as

Page 49

1 possible and then basically run from Holyrood.
 2 It moves around, but in the winter, we'd like
 3 to have all machines available to meet peak
 4 load, that's our prime goal.
 5 Q. Now, it says that there's 28 maintenance
 6 events for this control system in the last
 7 five years.
 8 A. Yes.
 9 Q. And I noted that in 2003 when we were dealing
 10 with the system for the unit 1, there'd been
 11 36 maintenance events in five years. So, this
 12 one -
 13 A. For that particular one that was proposed last
 14 year, yes.
 15 Q. That's right. So, this one has a somewhat
 16 better performance than that.
 17 A. Yes.
 18 Q. The other two units at Bay D'Espoir as shown
 19 as being scheduled for future years, is their
 20 maintenance history any better than for this
 21 unit?
 22 A. I don't specifically know. I know that just
 23 since the report was done, we've have two
 24 other failures on unit number 3 and we've had
 25 one failure on unit number 5, but to respond

Page 51

1 valves and control systems and so. It was
 2 probably put together from sources from
 3 several different vendors to actually make
 4 that.
 5 Q. Now, it says, replacement parts have to be
 6 reverse engineered and custom made.
 7 A. Um-hm.
 8 Q. Who actually does that work? Is that done
 9 internally at Hydro or is that sourced?
 10 A. No, we would usually go to some source. I
 11 mean, Bay D'Espoir does have some capability
 12 to do certain things within the machine shop
 13 and so on, but typically for something like
 14 that, they would go back out and get some
 15 shops elsewhere to do that.
 16 Q. Okay. Now, if we look at the bottom of that
 17 page, it says, the failure of the existing
 18 control system can result in the following
 19 events.
 20 A. Yes.
 21 Q. And it says, single unit outage, 75 megawatts,
 22 due to the spherical valve not operating, with
 23 loss of generation and an extended outage.
 24 So, with the problems, the maintenance events
 25 that have occurred in the last five years, has

Page 50

1 to how many failures we've had on number 5 and
 2 number 6, I can't answer. That's detail I
 3 don't have.
 4 Q. Who manufactured this system?
 5 A. I have no idea who manufactured the original
 6 system. The system's been changed to a, I
 7 think, PLC controlled and we were replacing
 8 the valves and the piping. I don't know a
 9 particular vendor, it was probably supplied by
 10 GE at the time or Dominion Bridge, probably,
 11 but the new system is basically PLC controlled
 12 and replacing the piping and the valving.
 13 (10:15 a.m.)
 14 Q. So, if you look at the project justification,
 15 is says the control system for spherical valve
 16 number 3 is obsolete and unreliable. When did
 17 it become obsolete?
 18 A. I don't know when it became obsolete.
 19 Q. Because on most of your other projects, when
 20 there's a reference to something being
 21 obsolete, there's specific detail with respect
 22 to the manufacturer's support and parts.
 23 A. It's usually a much smaller--larger piece of
 24 equipment whereby we have a specific vendor
 25 who sold a package, this basically is pipes,

Page 52

1 that occurred?
 2 A. Yes, when we have a maintenance event in the
 3 spherical valves, the valve--the unit would
 4 not be operating. It depends on whether it
 5 cannot open or it cannot close for the number
 6 of units that would be shut down.
 7 Q. Okay. Now, with respect to B, on any of those
 8 outages, did you deal with a unit runaway
 9 condition?
 10 A. I can't answer that question, I don't know.
 11 Q. Now, how common is a unit runaway condition?
 12 A. It's a rare condition. One that we avoid at
 13 any expense because usually there's other
 14 damage. You're hitting design speeds and when
 15 we commission a machine, we usually test it
 16 once and we don't ever want to go there again.
 17 Q. Okay. So, when was the last time that you can
 18 recall a unit runaway condition?
 19 A. I don't know of any runaway condition in Bay
 20 D'Espoir. He would have been operated to
 21 critical speed or tested usually to that
 22 particular speed during commissioning and that
 23 would be a worse case event where basically we
 24 have no control over the water going to the
 25 unit.

Page 53

1 Q. So, you don't know of any since 1967?
 2 A. I'm not aware.
 3 Q. And on option C, the loss of all six units in
 4 powerhouse number one, if the spherical valve
 5 or the seals fail while the door is open for
 6 maintenance resulting in flooding with
 7 potential for loss of life. Are the spherical
 8 valves and the seals inspected?
 9 A. Yes.
 10 Q. How often are they inspected?
 11 A. They would be done at least on the annual
 12 inspection.
 13 Q. So, if there's a seal showing sign of wear,
 14 then presumably it can be replaced?
 15 A. I would think, yes.
 16 Q. So, have you ever had this type of thing
 17 occur?
 18 A. The seal is--what the control system does, the
 19 valve closes and the seals come in to actually
 20 stop the flow of water. So, it's not a static
 21 piece of equipment, basically--I don't
 22 remember if it's there, whatever, but
 23 basically I think there's water that goes into
 24 some kind of a thing that actually expands it
 25 so there's not discharge. If you are working

Page 55

1 problems with this unit in, 28 maintenance
 2 events for this control system and there were
 3 more than that for the previous control
 4 system, but none of them resulted in these
 5 types of very serious problems?
 6 A. No, they would result in unavailability of the
 7 unit, but not necessarily in a catastrophic
 8 loss, maybe some more fuel at Holyrood or less
 9 efficient operation.
 10 Q. Now, if we go on to B16--I only have a couple
 11 of questions on this one, but if--I notice
 12 that there was again, a difference between
 13 what's in the 2004 Capital Budget on this item
 14 and what had been in the 2003 to some extent.
 15 So, the 2003 at B20. In the 2003 Capital
 16 Budget, it said that corrective maintenance
 17 costs on this machine for the past three years
 18 have been \$27,000.00 excluding preventative
 19 maintenance and routine maintenance costs.
 20 And in the current one it says, the corrective
 21 maintenance costs on the machine have been
 22 averaging \$9,000.00 annually. What were the
 23 maintenance costs on this machine in 2002?
 24 A. I don't know the specific number, I would say
 25 that since February of this year, maintenance

Page 54

1 on one machine--in Bay D'Espoir you have two
 2 generators on one penstock. So, in the
 3 powerhouse there are these two large five or
 4 six foot diameter valves which basically allow
 5 you to isolate the machine. We provide,
 6 obviously--the work permit system, we have to
 7 ensure the employees a safe working
 8 environment, the isolation is done and we rely
 9 on the control system to close that.
 10 Q. Yes.
 11 A. Because the other machine can be operated and
 12 if you open the scroll cage doors and if the
 13 valve were to let go or the control system
 14 were to fail, the water would come in and
 15 would actually flood that particular area and
 16 possibly the powerhouse. It would be a
 17 possible, but rare, hopefully never to happen,
 18 event.
 19 Q. Okay. And it certainly hasn't happened in the
 20 past?
 21 A. No, we've had floods in the powerhouse. We've
 22 actually flooded the powerhouse or portions of
 23 the powerhouses before, but not to the extent
 24 of that particular event there.
 25 Q. Okay. And as you indicated, you've had 28

Page 56

1 costs have been roughly \$11,000.00. I did not
 2 specifically ask the question, what were 2002
 3 number, but it's still an ongoing issue. And
 4 since mid February, it's been roughly
 5 \$11,000.00.
 6 Q. And what would be the anticipated maintenance
 7 costs per year for a new loader excluding
 8 preventative maintenance and routine
 9 maintenance?
 10 A. I would think 2 or \$3,000.00 a year. I mean,
 11 if it's operated and taken care of, there
 12 should not be any major breakdown.
 13 Q. Okay. Would the proposed new loader have any
 14 additional features?
 15 A. Not that I'm aware of, it's just a direct
 16 replacement for what we have which is used
 17 fairly extensively for all the Hydro plants.
 18 Q. Okay. Have you looked at contracting out the
 19 services of a loader?
 20 A. We've contracted from Bay D'Espoir various
 21 things at different times. This particular
 22 unit is used in all the powerhouses and
 23 basically it's on an as required basis. It's
 24 used for, you know, dyke repair, dam repair,
 25 finger drains, it's used for a limited amount

Page 57

1 of snowclearing in small areas. It's
 2 basically used on a very, very frequent basis
 3 and there was not specific evaluation done.
 4 So, it would be very unlikely that the, for
 5 the amount of requirement to have for that
 6 machine, it would be cost effective to lease
 7 and we need it available for any dyke or dam
 8 event that comes up on a short-term notice.
 9 Q. Do you know how many hours of use there are on
 10 this?
 11 A. I did not ask that question. I do--I was sure
 12 that it's a very heavily used machine. It's
 13 used, you know, if not daily, it's used, you
 14 know, weekly.
 15 Q. Now, if we go to B17, that's upgrading the
 16 control system at Holyrood and your proposal
 17 is for 1.5 million dollars in 2004 with an
 18 expectation that you'll be looking for another
 19 million in 2005, right?
 20 A. Yes.
 21 Q. For a total of 2.5 million?
 22 A. Yes.
 23 Q. The first paragraph says that there's obsolete
 24 distributed control systems on each of the
 25 three units?

Page 59

1 documents.
 2 HENLEY ANDREWS, Q.C.:
 3 Q. Okay. So, you don't have the attachments.
 4 MR. O'RIELLY:
 5 Q. It doesn't appear that way.
 6 HENLEY ANDREWS, Q.C.:
 7 Q. Well then, it's a good thing I have a copy.
 8 CHAIRMAN:
 9 Q. Would this be a good point to break, Ms.
 10 Henley Andrews?
 11 HENLEY ANDREWS, Q.C.:
 12 Q. Yes, this would be a really good point to
 13 break.
 14 CHAIRMAN:
 15 Q. Okay, we'll be back in 15 minutes.
 16 (BREAK - 10:27 A.M.)
 17 (RESUME - 10:45 a.m.)
 18 CHAIRMAN:
 19 Q. Ready to continue?
 20 HENLEY ANDREWS, Q.C.:
 21 Q. Yes, Mr. Chairman. I had just referred to PU-
 22 19, 1999-2000, Mr. Haynes.
 23 MR. HAYNES:
 24 A. Yes.
 25 Q. And do you have that in front of you there

Page 58

1 A. Yes.
 2 Q. Now, am I correct--because when I go back and
 3 forth between the reports, there's some
 4 slightly different terminology that if a
 5 report refers to stage one, then it's
 6 referring to units one and two. And if it
 7 refers to stage two, it's looking at unit
 8 three.
 9 A. Yes.
 10 Q. Okay. Now, units one and two are WDPF level
 11 6.
 12 A. Yes.
 13 Q. And they were installed in 1988?
 14 A. Yes.
 15 Q. And unit number three is WDPF level 7 and it
 16 was installed in 1992.
 17 A. That's correct.
 18 Q. Now, there was \$476,000.00 spent on units one
 19 and two in 2000? Let me refer you to PU-19,
 20 1999/2000 and I think that Mr. O'Rielly has
 21 that on the system and if he doesn't, I have
 22 copies. If we go to the generation budget -
 23 MR. O'RIELLY:
 24 Q. There appears to be five pages in the
 25 document, Ms. Greene. (Inaudible) supporting

Page 60

1 now?
 2 A. Yes, I believe.
 3 Q. If you go to page A-5, you can see in line 3
 4 under thermal plant construction projects,
 5 purchase and install distributed processing
 6 units for Unit 1 and 2 WDPF system, Holyrood.
 7 A. Yes.
 8 Q. Four hundred and seventy-six thousand dollars?
 9 A. Um-hm.
 10 Q. And was this done as part of the 2000 budget?
 11 A. Yes.
 12 Q. Are those the same units that you are planning
 13 to replace now?
 14 A. They are part of the system. They were
 15 actually additions to enhance the system for
 16 additional control points and additional
 17 memory. It's not a--the overall system will
 18 be replaced, yes.
 19 Q. Now Hydro, as I understand your proposal, is
 20 proposing to use the same supplier, and I'm
 21 going to refer to it as Emerson Westinghouse
 22 because my understanding is that -
 23 A. That changed hands.
 24 Q. - it was originally Westinghouse and it's now
 25 Emerson?

Page 61

1 A. Correct.
 2 Q. Okay. And Hydro is also proposing to go to
 3 the Ovation system?
 4 A. Yes.
 5 Q. Mr. O'Reilly, could we go to the Request for
 6 Information IC-27? And go to page 1 of the
 7 report that's attached, and this report, as I
 8 understand it, was prepared by Emerson
 9 Westinghouse?
 10 A. On the IC-27, yes, that's correct.
 11 Q. Yes. It's called life cycle planning program
 12 sales evaluation and report guide.
 13 A. Yes.
 14 Q. And on the very first page of it, it indicates
 15 that it's dated March of 2001?
 16 A. Yes.
 17 Q. Now if we look at the introductory paragraph,
 18 the first sentence talks about the goal of
 19 their system life cycle program is to help
 20 users of WDPF and Ovation systems develop the
 21 best short and long term process automation
 22 strategies for their plants, correct?
 23 A. Yes.
 24 Q. And in the last sentence, it says "final
 25 decisions regarding strategy will need to be

Page 63

1 also retired?
 2 A. Yes.
 3 Q. WDPF level 8 was current in 2001, and it's now
 4 described as active?
 5 A. Yes.
 6 Q. And if we go to the preceding page, the
 7 transition to active status marks the ten-year
 8 product support commitment?
 9 A. Yes.
 10 Q. And my understanding is that WDPF level 8 will
 11 be supported until 2012?
 12 A. That's likely.
 13 Q. Yes, that's also in -
 14 A. Yes.
 15 Q. - the thing. And the PCH platform at the
 16 bottom is now described as maintained. It was
 17 active in 2001?
 18 A. That's my understanding.
 19 Q. And again, if we go to the preceding page,
 20 active means that it's been functionally
 21 replaced by the most current product, but
 22 remains available with published pricing,
 23 normal lead times and complete support?
 24 A. Um-hm.
 25 Q. So in 2001, when it was active, you could

Page 62

1 determined within the greater context of the
 2 customer's system functionality requirements,
 3 plans for future expansion, budgetary
 4 constraints and overall business strategy."
 5 Correct?
 6 A. Yes.
 7 Q. If we look at page 2, there is a description
 8 of the various terminology that they use with
 9 respect to their products?
 10 A. Yes.
 11 Q. Things that are current, things that are
 12 active, maintained and then retired. Now page
 13 3 deals specifically with WDPF levels 6 and 7,
 14 amongst other things, right? You see down at
 15 the bottom of page 3, under the Quick
 16 Reference table?
 17 A. Yes.
 18 Q. And there's a reference in that particular one
 19 to WDPF 6 and it's shown as maintained, but
 20 there's an update later in the material that
 21 shows that it's now retired?
 22 A. Yes.
 23 Q. Which was what was expected. And WDPF level 7
 24 was shown in 2001 as maintained, but we
 25 understand from the evidence that it is now

Page 64

1 still buy it. It just wasn't the most up to
 2 date?
 3 A. Just the PCH.
 4 Q. But it's no longer active. It's now still
 5 supported until January of 2005, but it's no
 6 longer available for purchase?
 7 A. Yes.
 8 Q. So if we look at page 3 again, given the
 9 understanding of the ten-year product support
 10 commitment expiration date, if level 7 is
 11 maintained to January of 2003, then it would
 12 have gone to maintained status in January of
 13 1993, correct?
 14 A. I would assume.
 15 Q. Now you only put the Unit 3 system in place in
 16 1992?
 17 A. Yes.
 18 Q. So at that time, it would have been active?
 19 A. I don't know that offhand, but -
 20 Q. But do you know whether, at that time, it was
 21 the most up-to-date system?
 22 A. I suspect at that particular time it probably
 23 was. Matter of fact, if you don't mind, I
 24 wouldn't mind redirecting part of that
 25 question to Mr. Downton, who was actually at

Page 65

1 the plant during that time, if his memory can
 2 serve him, and I apologize, Eric, but he was a
 3 plant engineer at the time and who oversaw
 4 this installation. Eric, I'm sorry to put you
 5 on the spot. Do you recall if that was the
 6 most active at that time?
 7 MR. DOWNTON:
 8 A. I have--no.
 9 MR. HAYNES:
 10 A. Okay. Sorry.
 11 MR. DOWNTON:
 12 A. It was fifteen years.
 13 Q. Okay. Well let's go to -
 14 MR. HAYNES:
 15 A. There would be a desire though, at that
 16 particular plant, given the complexity, to
 17 have the systems the same, you know, the same-
 18 -install a system to ease operational
 19 maintenance and so on.
 20 Q. Okay. So let's go to Section G of the
 21 Application, Appendix 2 or Tab 2, page 1. So
 22 that will answer the question for you. If you
 23 look at the very first paragraph, the second
 24 sentence says "the existing DCS on stage 1 is
 25 a Westinghouse distributed processing family

Page 67

1 and in 2000, to purchase and install DPUs for
 2 Units 1 and 2 -
 3 A. Additional DPUs for Units 1 and 2.
 4 Q. Okay. But they were obsolete at that time,
 5 weren't they?
 6 A. They would have in the--I assume they would
 7 have been in the active or maintained product
 8 category.
 9 Q. Now -
 10 A. But it was not thought to have--I would assume
 11 that it was not thought appropriate to upgrade
 12 that whole system at that particular time.
 13 Q. Now when I look at the justification for this
 14 project, it says that "the manufacturer has
 15 informed Hydro that parts of the DCS are
 16 obsolete and the system is no longer
 17 supported." So is the whole system obsolete
 18 or just parts of it?
 19 A. There are several components of the system.
 20 Our plan is to reuse the input/output. If you
 21 go to page 3 of the vendor document there that
 22 was in the IC-27 -
 23 Q. Yes.
 24 A. - it says that the Q line I/O, input/output
 25 stuff, is still a current product. That was

Page 66

1 level 6 system implemented in 1988. The
 2 existing DCS on stage 2 is WDPF level 7,
 3 implemented in 1992," and it shows "active
 4 technology, but was used primarily to maintain
 5 consistency with stage 1."
 6 A. That's what it says.
 7 Q. Okay. So it was available for purchase, but
 8 was not the most recent product, according to
 9 their definition?
 10 A. That would be a reasonable assumption.
 11 Q. Okay.
 12 A. And if you go back to page 2 of the vendor
 13 document, it does say "for active products,
 14 these products are intended for expansion of
 15 existing systems where the need for product
 16 consistency outweighs the features,
 17 performance, and longer term potential of the
 18 current product." So it was a logical
 19 approach at the time.
 20 Q. Or you believe it would have been, yes.
 21 A. I believe it was the best, based on the
 22 maintenance and the criticality of Holyrood in
 23 our generation links.
 24 Q. Now it was roughly a half million dollars,
 25 four hundred and seventy-six thousand dollars,

Page 68

1 all part of the installation in 1988 and 1992.
 2 That will be retained so that we don't have to
 3 go and replacement all that. That is one of
 4 the reasons why we think it's--why we
 5 obviously think it's preferred to go to the
 6 Ovation, because we can reuse all that
 7 equipment, as opposed to turfing that out and
 8 replacing the whole. So you know, at the end
 9 of this particular project, we will have--all
 10 this equipment will be on the maintained and
 11 current--the maintained, sorry, get the right
 12 word here, will be a current product line.
 13 Q. Now -
 14 A. The Ovation will be continued for some period
 15 of time.
 16 Q. - if you look at page 4 of the vendor document
 17 -
 18 A. Yes.
 19 Q. - that's a discussion of the life cycle
 20 evaluation report for Units 1 and 2?
 21 A. Yes.
 22 Q. Up at the top. And it shows that there are
 23 ten DPUs, two engineer MMIs, eight operator
 24 MMIs, and one HDR?
 25 A. Yes.

Page 69

1 Q. Now with respect to the DPUs, it says "the
 2 short term planning recommendation is upgrade
 3 to 486 level DPU, and a long term planning
 4 recommendation is consider migration to
 5 Ovation."
 6 A. Yes.
 7 Q. Have you considered upgrading to the 486 level
 8 DPU?
 9 A. I think the 486 is more along the lines of--I
 10 just don't remember now. I did read that
 11 information. One is an 88; one is a 286 and
 12 one is a 486. I don't know if the 486 is a
 13 level 8, WDPF level 8. I suspect it is.
 14 Q. Okay. I think it is, okay, but -
 15 A. But it has a very finite time horizon. It's
 16 already been classified as a product they will
 17 not continue in excess of ten years.
 18 Q. But if you look at it, and you look at WDPF 8,
 19 it's currently active, because we just
 20 discussed that, and its maintenance support is
 21 guaranteed to 2012.
 22 A. Yes.
 23 Q. So it's guaranteed for eight years beyond
 24 2004, correct?
 25 A. Yes.

Page 71

1 to sourcing issues and short term planning
 2 recommendations, upgrade to PCI Bios on work
 3 station if replacements of S Bios is needed,
 4 and no long term planning recommendations."
 5 So if we--with respect to units 1 and 2 and 3,
 6 has Hydro analyzed the cost of upgrading on
 7 the short term planning recommendations rather
 8 than migrating?
 9 (11:00 a.m.)
 10 A. What we did, we looked at three options, from
 11 a long term costing point of view for this
 12 particular project. We looked at the carry on
 13 and make the best of it. We looked at moving
 14 to the--going to WDPF 8 and we looked at going
 15 to Ovation, and going to the Ovation was the
 16 long term most economic thing to do, with a
 17 fair degree of present worth benefit up until
 18 2020.
 19 Q. So if we look at Option 2 in your analysis -
 20 A. Yes.
 21 Q. - which is, I think, Section D, Tab 2.
 22 A. Page 5.
 23 Q. Yes. Is alternative 2 the upgrade?
 24 A. Alternative 2 is to gradually move to WDPF
 25 level 8.

Page 70

1 Q. And similarly, if you look at the classic
 2 engineer MMI, the short term planning
 3 recommendation is upgrade to PCH for WESTation
 4 engineer's station and a long term planning
 5 recommendation is to consider migration to
 6 Ovation.
 7 A. Um-hm.
 8 Q. Right?
 9 A. Yes.
 10 Q. And when you look at this page 5, similarly
 11 for the operator MMI and the HDR, short term
 12 planning--there's a short term planning
 13 recommendation and a long term planning
 14 recommendation, and the long term is
 15 considered migration to Ovation.
 16 A. Um-hm.
 17 Q. Right?
 18 A. Yes.
 19 Q. And what Hydro is proposing to do is to
 20 migrate to Ovation?
 21 A. Yes.
 22 Q. Now on WESTation, which is mentioned down
 23 below, it says "current support status,
 24 current, ten years' support commitment, no
 25 expiration date set yet." There's a reference

Page 72

1 Q. So gradually move to Level 8?
 2 A. Yes. And if you look in the table of values,
 3 you'll see the varying cash flows there and
 4 different capital expenditures for the next
 5 number of years.
 6 Q. Okay. Now in looking at the gradually
 7 migrating to Level 8, do you consider that or
 8 is that analysis the same as following the
 9 short term planning recommendation?
 10 A. I did not go down to that level of detail or
 11 examine that. They put forward an alternative
 12 to carry on and make the best of it of moving
 13 to WDPF 8 and basically going to a long term
 14 maintained system, alternative 3, and the cost
 15 analysis that was done clearly indicates that
 16 alternative 3--I'm sorry, alternative 1 had a
 17 very, very reasonable crossover period and was
 18 long term economic. I did not get down and
 19 ask the engineer questions on whether he's
 20 going to replace this terminal and that
 21 terminal.
 22 Q. So you don't know--you can't tell the Board
 23 whether any of these options demonstrates the
 24 cost of following the manufacturer's short
 25 term planning recommendations?

Page 73

1 A. Not down to each individual particular sub-
 2 component. That is way down--that's very,
 3 very deep.
 4 Q. But I'm not asking you to go down into each
 5 individual component. What I'm saying to you
 6 is that which of the alternatives, presented
 7 on page 5 of Hydro's net present cost
 8 analysis, if any, reflects the cost of
 9 following the manufacturer's short term
 10 planning recommendations?
 11 A. Just one second, please. If you refer to page
 12 4 of the report -
 13 Q. Yes.
 14 A. - that's in Tab 3 and on the first complete
 15 paragraph, it is a gradual migration, and
 16 basically, there are a number of things in
 17 there from the point of view of we're going to
 18 have mixed and matched components. There are
 19 obviously some savings in training because we
 20 can delay that. The parts procurement may not
 21 be guaranteed over the life of the expansion,
 22 depending on their particular plans. You
 23 know, it's not a viable alternative for us to
 24 take at Holyrood. We'll spend all our time
 25 doing that particular job and then require a

Page 75

1 5 analyzes the cost of following the
 2 manufacturer's recommendations for short term
 3 planning? And if you can't, that's fine, but
 4 I'm asking, can you tell me?
 5 A. I cannot specifically answer that question. I
 6 would suggest that the fellow, the engineer
 7 who looked at that, reviewed that material and
 8 made a considered opinion or judgment on what
 9 he thought was the best operating--what was
 10 the best capital replacement for the plant.
 11 He did look at a gradual migration and it's
 12 not economic.
 13 Q. I'm going to ask you to undertake to find out
 14 if any of the alternatives that are shown on
 15 page 5 reflect the costs of following the
 16 manufacturer's short term planning
 17 recommendation. (UNDERTAKING) Can you do
 18 that?
 19 A. I will attempt to.
 20 Q. And if one of them does, then to let me know
 21 which one. Now if we go to page 6 of -
 22 A. Just if you don't mind, what you're asking me
 23 to do is particularly, I would suggest that
 24 alternative two is the closest to that.
 25 You're asking me to be specific to go down and

Page 74

1 lot of other resources just keeping track and
 2 doing an annual review. It's not--the viable
 3 alternative is to move to the Ovation system,
 4 which will have long term support by the
 5 vendor and assure us of continued good
 6 operation of the plant.
 7 Q. Well, the thing is that what you are proposing
 8 here is a Capital Budget item for 2004, right?
 9 A. That's correct.
 10 Q. And under the legislation, as we explored
 11 yesterday, the Board has to not only be
 12 satisfied that it's reasonably necessary, but
 13 also that it's the least cost option, correct?
 14 A. And it assures--yes, and it assures reliable
 15 operation of the plant.
 16 Q. Okay. Now the manufacturer has made a
 17 recommendation, short term planning
 18 recommendations and long term planning
 19 recommendations, correct?
 20 A. Yes.
 21 Q. And its short term planning recommendation is
 22 to upgrade some things to 486 level DPU and
 23 other things to PCH or WESTation, correct?
 24 A. Yes.
 25 Q. And can you tell me if alternative two on page

Page 76

1 go down to each of these subsystems, the
 2 manned machine interface, et cetera, et
 3 cetera, and specifically ask the question if
 4 they were phased in as specifically per pages
 5 4 and 5 of the Westinghouse--or the Emerson
 6 document?
 7 Q. Well, I don't know what you have to do to do
 8 it. All I'm--my question -
 9 A. We're getting down now to building the box, so
 10 I really need to know what I'm -
 11 Q. Okay. Well, what I want an answer to, what I
 12 think is a fairly simple question, which is,
 13 when you look at the document that you have
 14 submitted at Tab 2, which is Hydro's life
 15 cycle planning and you look at page 5,
 16 somebody did the financial analysis, correct?
 17 A. They did a technical evaluation followed by
 18 the financial, yes.
 19 Q. Okay. So all I want to know is do any of
 20 those alternatives, were they specifically
 21 costed -
 22 A. Okay. I understand.
 23 Q. - using the short term recommendations from
 24 the manufacturer?
 25 A. Okay.

Page 77

1 Q. Now if we look at page 6 of the manufacturer's
 2 report, and you can see that it talks about
 3 the system migration alternatives.
 4 A. Yes.
 5 Q. That's from IC-27, I'm sorry, page 6. So it
 6 talks about the fourth--the third bullet is
 7 that the migration alternatives are WESTation
 8 or Ovation platforms. Do you have that?
 9 A. Yes.
 10 Q. And the fourth bullet under system migration
 11 alternatives is to upgrade to WESTation and
 12 later upgrade to Ovation, if a gradual
 13 migration is desired.
 14 A. Yes.
 15 Q. And then there's a discussion below that of
 16 the benefits of upgrading to the WESTation
 17 platform, and it talks about the life of the
 18 current system being extended and that it does
 19 provide a migration path to Ovation, right?
 20 A. Yes.
 21 Q. The Q line I/O was fully supported, whatever
 22 that is, and all the various other things that
 23 WESTation platform can offer, right?
 24 A. Yes.
 25 Q. Now if WDPF 8 is WESTation, and we believe

Page 79

1 been using for most things that we're doing
 2 now, yes.
 3 Q. Okay. And you would agree that the net
 4 present value calculations are affected or do
 5 you know whether the net present value
 6 calculations are affected by the life that you
 7 choose for the individual pieces of equipment?
 8 A. The net present value calculation that we do
 9 here, we basically look at the capital cost
 10 and the operating maintenance cost throughout
 11 the expected life of the product, the thing.
 12 The thing that will change mostly, the long
 13 term net present value analysis is if you have
 14 to spend more money in the future period of
 15 time.
 16 Q. Depending on your options?
 17 A. Yes. And if you go to the intermediate level
 18 in 2014, they anticipate, and in one case
 19 2010, I don't have the colours thing in front
 20 of me, but I think it's the--if you go to
 21 alternative two, which is gradual migration,
 22 it is anticipated in 2014 you will actually
 23 spend a significant piece of net present value
 24 dollars to buy you more time. If you go with
 25 alternative three, which is expend the life

Page 78

1 that it is, then there's eight years remaining
 2 after 2004, right, because it's being
 3 supported to 2012. And as I understand the
 4 material, Ovation is expected to have a life
 5 of ten to fifteen years?
 6 A. At least, yes.
 7 Q. So we're looking at eight years versus ten to
 8 fifteen years?
 9 A. And possibly longer, depending on where
 10 they're going. They're still--they are still
 11 selling that particular product to new
 12 installations.
 13 Q. But now, but you see the thing is that might
 14 very well be true, but for the purpose of
 15 doing the cost analysis, you have to pick a
 16 number of years, right?
 17 A. We've done the -
 18 Q. To do a net present value.
 19 A. - we've done the economic evaluation to 2020,
 20 as we normally do most things for Hydro, for
 21 the Holyrood plant of late.
 22 Q. Okay. But 2020 is because that's the expected
 23 life of the Holyrood plant, right?
 24 A. Well, the plant will last, I'm sure, longer
 25 than that, but that is a number that we've

Page 80

1 and analyze migration annually, which is the
 2 worst case, which is, you know, along the
 3 lines, I think, of what you're proposing, we
 4 have to spend a significant amount of money in
 5 2010 and 2011.
 6 (11:15 a.m.)
 7 Q. Let's go to page 2 now, change direction a
 8 little bit and go to page 2 of Section G at
 9 number 2, which is your internal report on the
 10 life cycle planning alternatives.
 11 A. Yes.
 12 Q. And if we go to the very last paragraph on
 13 that page, it talks about existing cabinets,
 14 et cetera, preserved when upgrading to level 8
 15 or migrating to Ovation, and it saves
 16 equipment and labour costs and reduces outage
 17 time. It says "labour related to
 18 commissioning I/O terminations can usually
 19 match equipment costs. Upgrading or migrating
 20 is more cost efficient than implementing a DCS
 21 from a different supplier."
 22 A. Yes.
 23 Q. What is the cost of implementing a DCS from a
 24 different supplier?
 25 A. I doubt if he actually went and actually

Page 81

1 worked out the detail, because we would have
 2 to replace all the I/O cabinets and so on, and
 3 that would be--I think basically his
 4 experience and what he has there, clearly
 5 indicates that that would be just not economic
 6 to do. You would have to go back -
 7 Q. So that we don't have -
 8 A. - and field test every input back over, all
 9 over again, which for thousands of inputs to
 10 the DCS, this would be an inordinate amount of
 11 labour on the part of the technicians at the
 12 plant and extend the outage a considerable
 13 amount of time.
 14 Q. But in terms of the cost of implementing a DCS
 15 from a different supplier, we don't have that,
 16 do we?
 17 A. We have not evaluated that option. It was
 18 clearly in their view, in their experience, it
 19 was clearly the most logical route for life
 20 extension was to replace it with the Ovation
 21 system from the current supplier for reuse of
 22 so many common parts.
 23 Q. But if you don't investigate it, then you
 24 don't ever know whether your assumptions are
 25 correct, do you?

Page 83

1 A. I think we've--I don't--I cannot confirm that,
 2 but I would suspect we've covered that off in
 3 alternative--in the gradual migration in
 4 alternative two and three, particularly number
 5 three, where we basically just go along and we
 6 extend it as we go, all of which are more
 7 expensive than just replacing it with a
 8 current supported system used by over sixteen
 9 thousand other particular generators.
 10 Q. The net present value calculations, if we go
 11 back to page 6 of that report, you can see
 12 that option two includes the purchase of used
 13 and/or last buy spares.
 14 A. Yes, that's on--this is the vendor's document
 15 or our document?
 16 Q. Your document.
 17 A. Page 6?
 18 Q. Page 6.
 19 A. Paragraph?
 20 Q. Paragraph, the first paragraph, "capital costs
 21 for alternative two -
 22 A. Okay.
 23 Q. - include the purchase of used and/or last buy
 24 spares."
 25 A. Yes.

Page 82

1 A. Well, I guess, when we went in 1988, 1992,
 2 there used to be a Bailey system, and I guess
 3 at that particular time, that particular
 4 system was competitive with the vendors.
 5 Q. We know that this technology is changing?
 6 A. Oh yes.
 7 Q. And that's why you're looking at this upgrade
 8 in the first place.
 9 A. I would not support going out--what they have
 10 proposed makes perfect sense to me, based on
 11 my experience, and it makes perfect sense to
 12 the engineering department and to the plant
 13 operating personnel to take this approach.
 14 Q. How does the Board determine whether it's
 15 least cost?
 16 A. We have provided three scenarios to extend the
 17 life of the system. This is a least cost.
 18 Q. But you haven't looked at the cost of getting
 19 something other than Emerson Westinghouse?
 20 A. In this particular case, no. We don't think
 21 it's justified or worth doing.
 22 Q. And at the moment, you don't know whether
 23 you've investigated the cost of the short term
 24 planning recommendations by Emerson
 25 Westinghouse?

Page 84

1 Q. And we know that WPDF 8, its status is
 2 currently active, so its products are
 3 available?
 4 A. Yes.
 5 Q. So you wouldn't be purchasing used and/or last
 6 buy spares if you were migrating to that
 7 system, right, because the components are
 8 still available for purchase? Active is
 9 system products that have been functionally
 10 replaced by the most current product, but
 11 remain available with published pricing,
 12 normal lead times and complete support.
 13 A. Okay.
 14 Q. So -
 15 A. They may be new, yes.
 16 Q. And you can see that and in that option for
 17 alternative two, it says that between 2004 and
 18 2011, the capital costs are to purchase and
 19 install parts of a WDPF level 8 system?
 20 A. Yes.
 21 Q. And that 2015 capital costs is to purchase and
 22 install new equipment for stage one and
 23 allocate the retired WDPF level 8 equipment as
 24 spares for stage two?
 25 A. Yes.

Page 85

1 Q. So that option does not appear to include what
 2 the manufacturer has recommended for the short
 3 term, does it?
 4 A. Well, I have undertaken to find out that
 5 information and get back to you.
 6 Q. And similarly, if you look at alternative
 7 three, it includes the purchase again of used
 8 and/or last buy spares. So if we go down a
 9 little further, on page 6, or actually and
 10 even in relation to page 5, you would agree
 11 that the net present value calculation
 12 includes a lot of assumptions?
 13 A. They always do. We will not know the
 14 definitive price for any of this until we go
 15 to tender. It's based on engineering
 16 judgment, experience, from the people who are
 17 doing the work.
 18 Q. Okay. But you would agree that the
 19 manufacturer, Emerson Westinghouse, has
 20 indicated that you can go to WEstation and
 21 then migrate to Ovation?
 22 A. They say that in their documentation, yes.
 23 Q. And that that system provides a migration
 24 path?
 25 A. Yes.

Page 87

1 information from the vendor, if new
 2 technology, would have guaranteed support for
 3 ten years and it's expected that with minor
 4 software upgrades, it will serve the plant for
 5 the next fifteen years?
 6 A. Yes.
 7 Q. Which would bring it to 2019?
 8 A. Yes.
 9 Q. But in your analysis of the alternative,
 10 there's no major capital outlay factored in
 11 for 2020.
 12 A. No.
 13 Q. I'm going to move on to the Ambient Monitoring
 14 System at B-19. Am I correct in interpreting
 15 this project as installing fine particulate
 16 and NOx and SOx monitoring at the existing
 17 Ambient Monitoring stations?
 18 A. Fine particulate and NOx. SOx is already
 19 there.
 20 Q. Okay. Now according to the information that's
 21 provided on page B-20, there were four
 22 permanent Ambient Monitoring stations
 23 installed to measure SO2 and total suspended
 24 particulates in 1996?
 25 A. Yes.

Page 86

1 Q. Now if we look at Option one and page 6 of
 2 your internal analysis, the fourth paragraph,
 3 the last sentence says "an Ovation system,
 4 with minor software upgrades, will serve the
 5 plant over this time frame," which is until
 6 2020, "unless an foreseeable major
 7 technological advancement stops production of
 8 compatible components for spare parts," right?
 9 A. Yes.
 10 Q. And the history with Emerson Westinghouse is
 11 that that's fairly likely, isn't it?
 12 A. As with any vendor, although they have done a
 13 very good job of letting us know when changes
 14 are, and they publish it on their web site, so
 15 we know what their plans are. We have some
 16 assurance that we have, at least, a ten to
 17 fifteen year horizon of maintainability. The
 18 Holyrood plant basically is a 500 megawatt
 19 plant and Hydro is not prepared to dicker and
 20 jeopardize the reliability of that plant.
 21 It's crucial for Newfoundland and Labrador
 22 Hydro to meet its winter peak.
 23 Q. So 2020 is sixteen years from 2004, and if we
 24 look at your justification for the project at
 25 page B-18, it says that based on the

Page 88

1 Q. Do you know what the cost of that was?
 2 A. Not offhand.
 3 Q. Can you find out? (UNDERTAKING) Because your
 4 budgets weren't approved by the Board until
 5 1997. I don't have that information
 6 available. Then in 1999 and 2000, opacity
 7 meters were installed on the stacks to monitor
 8 visible emissions which it says is smoke
 9 density of the exit gases?
 10 A. Yes.
 11 Q. Now according to PU-32 in 1998-99, the amount
 12 budgeted for 1999 to do that was four hundred
 13 and three thousand dollars. But when I looked
 14 at the budget for 2000, I couldn't find
 15 anything in the 2000 budget to deal with
 16 opacity meters. Are you aware of any specific
 17 project in 2000?
 18 A. Not offhand, no.
 19 Q. Can you check that as well? (UNDERTAKING) And
 20 then in 2002, you got approval, and that's for
 21 the 2002 Capital Budget, approval for
 22 continuous emission monitoring system for NOx,
 23 SO2, CO2 and a variety of things at the
 24 stacks, right?
 25 A. That's correct.

Page 89

1 Q. And to manage emissions through the control of
 2 the combustion process?
 3 A. Yes.
 4 Q. And that's not yet completed?
 5 A. That is near completion. That was delayed
 6 because we were late getting our approval. It
 7 will be operational in the fall. The units
 8 are shut down at the moment.
 9 Q. And I'm sure you will recall that during the
 10 2002 hearing, the necessity for that was hotly
 11 contested?
 12 A. I wouldn't use those words. The
 13 justification, it was a justified project.
 14 Q. And that cost eight hundred and one thousand?
 15 A. That's the estimate, yes.
 16 Q. So excluding the 1996 expenditure that you've
 17 indicated that you'll get, and you're checking
 18 out for 2000, we got four hundred and three
 19 thousand in 1999 and eight hundred and one
 20 thousand in 2002, and in the 2003 Capital
 21 Budget, there is a Mobile Ambient Monitoring
 22 station to monitor fine particulate, including
 23 NOx?
 24 A. Yes.
 25 Q. Okay. And SOx?

Page 91

1 air emissions including particulates from the
 2 Holyrood thermal plant?
 3 A. Yes.
 4 (11:30 a.m.)
 5 Q. So when I add together the 403,000, 801,000,
 6 the 184 and 150,000, then from 1999 to 2003
 7 the Board has approved \$1,538,000 for
 8 monitoring air quality at Holyrood?
 9 A. Yes. Very small in relation to the \$ 100
 10 million worth of fuel that we actually burn.
 11 Q. So now you're proposing an addition 728, 000
 12 for monitoring of fine particulate and other
 13 things, the NOx, in particular, at the
 14 existing monitoring station?
 15 A. Yes.
 16 Q. So that will bring the total, if you get that
 17 approved, the total over five years, just for
 18 monitoring, to \$2,266,100? Right?
 19 A. I didn't add it up. I assume you're correct.
 20 Q. But you don't have any results yet from the
 21 mobile fine particulate monitoring station,
 22 correct?
 23 A. No, we don't. And one of the justifications
 24 and one of the reasons we need to do all this
 25 is that in the Cantox study that was done in

Page 90

1 A. And fine particulate, I believe.
 2 Q. Yes. And the cost of that was a hundred and
 3 eighty-four thousand dollars?
 4 A. Yes.
 5 Q. And based upon F-5, four thousand dollars of
 6 that has been spent as of May 31st of 2003?
 7 A. I think there's more now. The contract has
 8 been awarded, so it's in progress.
 9 Q. So you are in the process of acquiring that
 10 Mobile Ambient Monitoring station?
 11 A. Yes. The contract has been awarded.
 12 Q. And the justification for that Mobile Ambient
 13 Monitoring station was that it could be moved
 14 from place to place to facilitate monitoring
 15 those various things at different locations?
 16 A. Over a longer period of time, the intention is
 17 to install that at Seal Cove for some--I won't
 18 say months, for some years, and if at some
 19 point in time, we rationalize that or solve
 20 those particular issues, it may be moved to
 21 other areas where there's a lot of customer
 22 complaints.
 23 Q. Now, if you--in 2003 you also requested and
 24 got approval for the cost of \$150,000 for a
 25 study to investigate technologies to reduce

Page 92

1 1997 there was a lot of assumptions made with
 2 respect to relationships between SO2 and NO2
 3 and assumptions made with particulate, and
 4 basically these things are to fine tune so we
 5 know exactly what we're doing. Because there
 6 is no doubt in the next two, five, fifteen
 7 years, we will have other Capital Budget
 8 proposals to address emission problems. And
 9 we don't have the real in situ data, we do not
 10 want to be in the position to propose \$ 100
 11 million project or 150 or \$30 million project
 12 to clean up something and not clean up the
 13 right thing. We need to address the issues
 14 that are apparent.
 15 Q. But -
 16 A. The CEM system, we will know exactly what we
 17 discharge into the environment, and these
 18 ambient stations, we will know where it falls
 19 in the vicinity of the plant and in the
 20 outlying areas so we can address it. Most of
 21 the emissions we have suggested we have -
 22 Q. But, Mr. Haynes, my question required a very
 23 simply answer, which was that you don't have
 24 any results yet from the mobile fine
 25 particulate and NOx monitoring because it's

Page 93

1 not yet installed, right?

2 A. I'm sorry?

3 Q. My question had been do you have any results

4 yet from the mobile unit, the mobile Ambient

5 Monitoring Unit?

6 A. No, we don't. We had a temporary system

7 installed a few years ago. We had several

8 excursions above the regulations.

9 Q. Yeah. So you don't have any results from that

10 yet?

11 A. No. And I don't think we need it to enhance

12 these projects.

13 Q. And if we--and that mobile system was

14 justified on the basis that it was movable,

15 could be moved from place to place?

16 A. It could be moved, yes. But it was not

17 envisaged to move it on a monthly or, you

18 know, a quarterly basis. It would be

19 installed in Seal Cove so we'd get a good

20 operating history of how many times we have an

21 inversion, how many times we exceed the air

22 quality regulations in a local area.

23 Q. Now, when we look at Granite Canal and the

24 power purchase agreements coming on stream,

25 the use of Holyrood is going to decrease for

Page 95

1 application that--I mean, my understanding

2 with Holyrood is that Holyrood has--is

3 basically operated, not always, but primarily

4 operated to meet peaking capacity?

5 A. No, that's not really correct. I mean, it's

6 there for peak. We cannot survive peak

7 without the plant.

8 Q. That's right.

9 A. But it's an essential part of our generation

10 mix portfolio.

11 Q. I'm not suggesting that. All I am suggesting

12 to you is that you're bring on how many

13 megawatts at Granite Canal?

14 A. That's 40 megawatts.

15 Q. And how many megawatts through the power

16 purchase agreement?

17 A. It's not--the megawatts won't drive the

18 production at Holyrood; it's the energy

19 capability which will drive the production at

20 Holyrood. But at the--it's 40 megawatts at

21 Granite Canal, it's, I think, 32 at Abitibi

22 and 15 at Corner Brook Pulp and Paper.

23 Q. Okay. And how many gigawatt hours -

24 A. I don't recall, it's in Schedule 2, offhand.

25 I don't recall, offhand.

Page 94

1 the next several years, right?

2 A. It's insignificant.

3 Q. Pardon me?

4 A. It's insignificant. It's a significant amount

5 of energy, but on the whole Holyrood pictures,

6 in the middle of the winter we would run that

7 plant for 500 megawatts with Granite Canal,

8 with these power purchase contracts -

9 Q. The overall amount of fuel that is going to be

10 burned at Holyrood, based upon your 2003

11 general rate application, will be

12 significantly less in the next couple of years

13 than it has been in the last couple of years

14 as a result of these two projects?

15 A. No. I'm sorry, that's not correct. It will be

16 a little bit less because of those projects.

17 It will be significantly less because it's

18 based on average inflow conditions. The last

19 two years we have not had average water

20 situations. The average production in

21 Holyrood in the last two years have been

22 exceptionally high records.

23 Q. So you're tell me that notwithstanding the

24 document that we looked at earlier, which is

25 your evidence of in the 2003 general rate

Page 96

1 Q. Well -

2 A. It's in the GRA and Schedule 2. If I could

3 see that, I could quote the number.

4 Q. Do you have that there? So we've got--if we

5 look at the average annual energy, based upon

6 Schedule 2, Granite Canal will generate 224

7 gigawatt hours?

8 A. Yes.

9 Q. And the non-utility generation, but we have to

10 back out Starlight because that's already been

11 included in the past, right?

12 A. Yes.

13 Q. Pardon? And Rattle Brook. So there'll be an

14 extra 237.2 gigawatt hours from Corner Brook

15 and the Exploits River? Correct?

16 A. Well, there's approximately less than 500

17 megawatt hours that will be generated by

18 those.

19 Q. Gigawatt hours?

20 A. Gigawatt hours. No--yes, I'm sorry, gigawatt

21 hours.

22 Q. Gigawatt hours. And that will reduce, to some

23 extent -

24 A. Yes.

25 Q. - the need for generation from Holyrood?

Page 97

1 A. It will reduce some of the emissions, yes, on
 2 an annual basis. Not necessarily on a daily
 3 or weekly or monthly basis, depending on how
 4 the plant is utilized.
 5 Q. Now, if we go to page B-21, it says that the
 6 current emissions are by and large below the
 7 statutory limits?
 8 A. Yes.
 9 Q. And that a health risk assessment report by
 10 Cantox in 1999 concluded that further
 11 quantification of admissions--of emissions is
 12 required?
 13 A. Yes.
 14 Q. And some of that is what was included in the
 15 2003 Capital Budget projects, correct?
 16 A. Being the mobile site?
 17 Q. Yes.
 18 A. Yes, that would provide one point of
 19 impingement data.
 20 Q. Then on top of that the 2002 project, which
 21 was the continuous emission monitoring system,
 22 which is also going to be completed this year?
 23 A. Yes.
 24 Q. At the stacks and the management of the
 25 emissions through the control of the

Page 99

1 right?
 2 A. Well, we won't know that, obviously, until we
 3 get X number of years of data or some -
 4 Q. Yeah. But, if you see a big difference in one
 5 year, you may see differences or you may not
 6 see differences over a short period of time,
 7 correct?
 8 A. Because there are so many -
 9 Q. You just don't know yet?
 10 A. There are so many variables.
 11 Q. That's right. So, if we go to IC-28, this was
 12 the answer to our question about copies of
 13 orders of the Department of Environment
 14 requiring that monitoring capability be
 15 expanded. The answer is that there hasn't
 16 been an order to expand the sites to include
 17 NOx and fine particulate?
 18 A. Not a direct order, as such, no.
 19 Q. No. And then there's a reference in a letter
 20 dated March 31st of 1999 from Derrick
 21 Maddocks?
 22 A. Yes.
 23 Q. Right. And if we go to IC-29, we can see that
 24 in that letter there are a number of things
 25 discussed, correct?

Page 98

1 combustion process, that also, in part, helps
 2 to quantify emissions?
 3 A. The total discharge to the environment; not
 4 necessarily impingement on the ground level.
 5 Q. That's right. No, not the ground level; I
 6 acknowledge that. But it does, nevertheless--
 7 that 2002 project on the monitoring system is
 8 intended or was intended at the time to
 9 monitor emissions at the stacks, but also to
 10 allow Hydro to manage the emissions?
 11 A. There is some flexibility, as was stated in
 12 that particular justification. The primary
 13 justification besides that was economics
 14 because we would make the boiler process a
 15 little bit more efficient because the operator
 16 had immediate feedback as to what the
 17 combustion process -
 18 Q. Okay. That's right.
 19 A. - was doing.
 20 Q. So the thing is that that would be you'd
 21 manage the emissions through the control of
 22 the combustion process?
 23 A. Yes.
 24 Q. And that may or may not have an impact of
 25 emissions--on emissions at the ground level,

Page 100

1 A. Yes, there are.
 2 Q. One of them is continuous emissions
 3 monitoring?
 4 A. Yes.
 5 Q. And although it says, "We would encourage
 6 Hydro to consider this, but we don't view it
 7 as a requirement at this time," that has been
 8 approved?
 9 A. Yes.
 10 Q. And that will be done?
 11 A. Yes.
 12 Q. And then it says on particulate monitoring
 13 they are satisfied with the TSP program
 14 operated by Hydro for the past number of
 15 years. And then in the next paragraph it says
 16 that they'd like the program re-configured to
 17 monitor fine particulate?
 18 A. Um-hm.
 19 Q. But you've already put in place the funds for
 20 at least one station to monitor fine
 21 particulate which is the mobile station,
 22 right?
 23 A. One new station, yes.
 24 Q. And if we go to the minutes from the December
 25 11th, 2000 meeting and which is page 4 of 9 of

Page 101

1 IC-29, TL, who I gather is Terry LeDrew?
 2 A. That's correct.
 3 Q. Indicated that Hydro was planning on
 4 instituting pollution prevention measures
 5 which is the CEM and the particulate screens,
 6 and they've already been dealt with?
 7 A. Not the particulate screens.
 8 A. No. Well, the CEM has?
 9 A. CEM, yes.
 10 Q. Before enhancing the existing monitoring
 11 equipment. And again, the CEM's, the reducing
 12 emissions thing is dealt with. And also
 13 advises, on page 5 of 9, that monitors were
 14 installed in the stack to monitor effluent
 15 opacity, which we've seen as one of the
 16 projects?
 17 A. Um-hm.
 18 Q. And that MGL, a fuel additive, is currently
 19 being used and is reducing particulate
 20 emission. And that trials are planned to
 21 evaluate the use of a combustion catalyst to
 22 reduce particulate emissions. Has that been
 23 done?
 24 A. I'm not certain.
 25 Q. So then when we get to the May 8th, 2002

Page 103

1 that you distributed a draft brief entitled,
 2 "SO2 emissions at Newfoundland and Labrador
 3 Hydro's Holyrood Generating Station". And it
 4 says a final copy of the brief is attached,
 5 but there is no final copy of the brief that's
 6 attached.
 7 A. It was attached to the Mines and Energy
 8 Department--I'm sorry, the Department of
 9 Environment, we did give them a copy. I
 10 shouldn't say it was finalized. We had a lot
 11 of discussion. All that was done when the
 12 Provincial Government were looking at changing
 13 the sulphur content that we were allowed to
 14 buy from 2.2 percent to 1.8 percent, there was
 15 considerable lobbying done by the Industrial
 16 Customers and by Newfoundland and Labrador
 17 Hydro. And I guess our view is that we don't
 18 necessarily disagree that there needs to be
 19 change, we just want to be aware of what the
 20 cost implications are. And what we were
 21 proposing was that maybe--you know, don't tell
 22 us what you--don't tell us what we can buy,
 23 tell us what you want at the stacks and let us
 24 manage that we can do it the most economic way
 25 to meet those targets, which may be a

Page 102

1 meeting the DM and KD, who seem to be
 2 described as Ken Dominie and Derrick Maddocks,
 3 under Holyrood air emissions noted the need to
 4 reduce emissions. And then they talk about--
 5 they go down through discussing the 25,000
 6 tonnes and steps that Hydro has taken in terms
 7 of fuel specs related to sulphur, right?
 8 A. Yes.
 9 Q. And when you see on page 7 of 9 that you, I
 10 think, yeah, you indicated that the new fuel
 11 contract is flexible and you can order any
 12 sulphur contract with a premium on 28 days'
 13 notice?
 14 A. Yes.
 15 Q. So you can actually give further reductions
 16 A. On SOx only, yes.
 17 Q. Yes, okay. Now, it says down the fourth line
 18 from the bottom that there was discussion on
 19 air monitoring for fine particulate and NOx.
 20 And then two lines down, that Derrick Maddocks
 21 suggested one site this year, which is 2002,
 22 and two in each of the next two years, but it
 23 was only as a suggestion?
 24 A. That's all.
 25 Q. Okay. And the meeting July 5th of 2002 says

Page 104

1 combination of pollution control equipment on
 2 the back end or it maybe just mean simply
 3 buying a cleaner fuel.
 4 Q. Okay. So can you provide a copy of that
 5 brief? (UNDERTAKING)
 6 A. I don't know if we will have a copy of the
 7 final. I'm not sure if it's relevant to this
 8 particular application.
 9 Q. I just like--since it's considered to be
 10 attached to it, I'd like to have the full
 11 record, that's all.
 12 (11:45 a.m.)
 13 A. I'll see if I can find it, and I don't know if
 14 I can find it.
 15 Q. Okay.
 16 A. And -
 17 Q. Now, there's nothing in those minutes of the
 18 meeting on July 5th, 2002 about fine
 19 particulate action, is there?
 20 A. The meetings cover various topics at different
 21 times. Sometimes it's SOx, sometimes it's the
 22 cap. We used to have a 25,000 tonne cap the
 23 Provincial Government Department of
 24 Environment want us to reduce over time. And
 25 what we were looking at in the report that

Page 105

1 we're doing and the study that we're doing
 2 this year is we're trying to look at the whole
 3 gambit of pollution and how best to do it,
 4 whether it's buying a different quality of
 5 fuel, both for the SOx--sulphur content and
 6 other content was dry of particulates, whether
 7 we should be putting it back in--and give us
 8 an order of magnitude of cost. The cost of -
 9 Q. But my question is, is there anything in this
 10 minute -
 11 A. On that particular meeting of July 5th?
 12 Q. Yes.
 13 A. No. It's mostly to deal with the priorities
 14 and the SOx situation at Holyrood.
 15 Q. Now, when you get to page 2 of that document,
 16 which is page 9 of 9 of IC-29, it says it was
 17 agreed that the next meeting would be in
 18 September, 2002?
 19 A. Yes.
 20 Q. Did that meeting occur?
 21 A. We have regular meetings with the Department
 22 of Environment.
 23 Q. Okay. So there are no minutes for those?
 24 A. I presume there was nothing in there pertinent
 25 to this discussion.

Page 107

1 our total environmental footprint at Holyrood
 2 plant, which is one of the biggest polluters
 3 in the province, subject to many customer--
 4 consumer complaints.
 5 Q. Now, your project for 2003, which was the
 6 mobile system?
 7 A. Yes.
 8 Q. That was projected to cost \$184,000?
 9 A. Yes.
 10 Q. So the cost of an extra one of those or two of
 11 those would be less than half of what's
 12 proposed here, correct, less than half of
 13 \$728,000?
 14 A. For one more system.
 15 Q. For one more system it should be roughly
 16 \$184,000?
 17 A. Yes, for that particular style--for that
 18 particular installation I assume that would be
 19 a reasonable assumption.
 20 Q. And two of them should be double that?
 21 A. I'm not sure. I don't know. I'd have to go
 22 back to the specifics of what's at the
 23 existing sites.
 24 Q. Yes.
 25 A. That's a level of detail that I'm really not

Page 106

1 Q. So what's the cost of doing nothing with
 2 respect to fine particulate and NOx monitoring
 3 at those stations in 2004?
 4 A. The cost of doing nothing?
 5 Q. Yeah.
 6 A. I guess we will eventually get--we have to
 7 negotiate with the Provincial Government an
 8 operating certificate for the plant, because
 9 we do not meet the current legislation on
 10 emissions, on all emissions, so we have to
 11 negotiate that with the government. They may--
 12 the more information that we have, the better
 13 we are able to make a case for rational and
 14 logical expenses from the point of view of
 15 controlling emissions.
 16 Q. But there is no cost, is there, of doing
 17 nothing, because you are at the moment -
 18 A. No, there is no cost except that we have less
 19 information to make viable future Capital
 20 Budget proposals.
 21 Q. But you still don't have the information, any
 22 information, from the projects that were
 23 approved in 2002 and 2003, right?
 24 A. No, we don't. But I don't think that's
 25 relevant. What we're trying to establish is

Page 108

1 prepared to discuss.
 2 Q. But I'm just talking about if a mobile ambient
 3 system for monitoring NOx and fine particulate
 4 is \$184,000, then two of them should be twice
 5 that?
 6 A. Depends, depends on whether we lease the land,
 7 whether we rent the land, whether it's our
 8 installation, depending on the installation of
 9 the tower height. You may do different things
 10 for a mobile station than you would for a
 11 permanent station.
 12 Q. Okay. The permanent stations, are they on
 13 your own land?
 14 A. I'm not quite sure if they're on our property
 15 or not. We certainly have it leased, if
 16 nothing else. I suspect that we probably own
 17 it. There are four sites.
 18 Q. Okay. And the last one--project on the
 19 generation project is to upgrade the civil
 20 structures in Holyrood?
 21 A. Yes.
 22 Q. And all you're proposing for 2004 is \$78,500
 23 for the engineering?
 24 A. Yes.
 25 Q. And stack No. 1 is being done in 2003, right?

Page 109

1 A. As we speak.
 2 Q. Yeah. At a cost of nearly \$2 million?
 3 A. Roughly.
 4 Q. Is it going to be completed in 2003?
 5 A. Oh, yes, absolutely.
 6 Q. Now, for the 2003 budget all of the expenses,
 7 including the engineering and the work itself
 8 will propose to be done in one year, in other
 9 words, with a one year project? If you look
 10 back at B-32 in the 2003 Capital Budget?
 11 A. Yes.
 12 Q. So for the second stack I noticed that the
 13 engineer cost is lower than for the first one.
 14 So can I assume that a certain amount of the
 15 work done in connection with stack No. 1 can
 16 be carried over into the work for stack No. 2?
 17 A. I presume the specification would be largely
 18 reusable, because basically it's a different
 19 unit, it's a different physical location in
 20 the plant. There are a few other things that
 21 have to be considered, but by and larger,
 22 that's reasonable.
 23 Q. So why can't all the expenditures for stack
 24 No. 2 be put in the 2005 Capital Budget since
 25 that's the year you plan to do the work?

Page 111

1 A. It's better to plan it on a two year basis.
 2 You have more time to plan, you can utilize
 3 your engineering resources a bit better rather
 4 than cramming it all into one year and hiring
 5 more temporaries or consulting when we could
 6 do it in house. It also depends on the
 7 average -
 8 Q. But it's not going to affect reliability if
 9 you put it all in 2005, right?
 10 A. As long as it doesn't lengthen the window. It
 11 will affect availability if it lengthens the
 12 outage window.
 13 Q. But if you could do stack No. 1 in the 2003
 14 capital year, there's nothing peculiar, is
 15 there, about stack No. 2 that would make it
 16 impossible to do that in the 2005 capital
 17 year?
 18 A. Possibly. But you have to look at the whole.
 19 These particular stack remediation work is
 20 done on a major unit overhaul, which we do
 21 each--roughly, at the moment, every six years.
 22 No. 6 will be done on a six year--we're
 23 calling for a six year overhaul in 2005. At
 24 that particular time--for instance, this year,
 25 besides doing the stack, we're also doing the

Page 110

1 A. I'm not exactly sure. I guess presumably they
 2 want to have a better planning horizon from
 3 the point of view of planning the job, getting
 4 better prices, possibly, for the vendor. The
 5 sooner we go--you know, the sooner we do the
 6 preliminary work and go to tender, not rushing
 7 a closing time of tender is usually the better
 8 price we'll get.
 9 Q. But you know that the--I mean, you would--the
 10 bigger job that you were doing was stack No.
 11 1?
 12 A. I don't know if it was a bigger job there.
 13 Comparable job.
 14 Q. Well, the same job?
 15 A. Comparable jobs.
 16 Q. But it had a bigger engineering component?
 17 A. Yes. And it would have been done very early
 18 in the year with--and depending on the number
 19 of resources we had in the engineering
 20 department, what other jobs were on the go,
 21 how much time they had to spend at it.
 22 Q. And since you're not planning to do any of the
 23 installation of stack No. 2 in 2004, it's just
 24 the engineering part, there's no real reason
 25 why it couldn't all be done in 2005, is there?

Page 112

1 electro--the hydraulic governor. I'm not sure
 2 which particular components on a critical path
 3 there right now, but they look at the whole to
 4 minimize the outage time. We're trying to
 5 assure 75 percent availability of the thermo
 6 units.
 7 Q. But again, from what I understand of the
 8 project, only \$78,500 of it is proposed to be
 9 done in 2004?
 10 A. Yes. So we can plan the job, get ready to
 11 execute in 2005.
 12 Q. And the maintenance history for stack No. 2
 13 isn't as bad as for stack No. 1, right?
 14 A. That may be, but they're both of the same
 15 vintage, they both see approximately the same
 16 number of operating hours.
 17 Q. Well, when I look at the report that was done
 18 on the two stacks and the information that was
 19 contained in the 2003 budget, it certainly
 20 seems to indicate that the more urgent one was
 21 stack No. 1?
 22 A. That's quite possible.
 23 Q. I'm just about finished with Mr. Haynes, and
 24 then Mr. Hutchings would take over. So, I
 25 know it's a couple of minutes to 12, but if

Page 113

1 you'd bear with me, it would probably be good
 2 if I could finish up my couple of questions.
 3 Is that fine, Mr. Chairman?
 4 CHAIRMAN:
 5 Q. How much time do you think you will need, Ms.
 6 Henley Andrews?
 7 HENLEY ANDREWS, Q.C.:
 8 Q. I don't expect to be any longer than five
 9 minutes.
 10 CHAIRMAN:
 11 Q. Okay.
 12 HENLEY ANDREWS, Q.C.:
 13 Q. Does Hydro expect any improved operational
 14 efficiencies as a result of the replacement of
 15 the Holyrood control system?
 16 A. There may be some. There were none talked--
 17 there were none reflected in the economic
 18 evaluation. There'd be--I think they expect
 19 some boiler efficiency improvements based on a
 20 faster processing and some purchases on that
 21 particular system have indicated that, but
 22 it's not been quantified or taken into
 23 consideration in the economic evaluation.
 24 It's a -
 25 Q. So it hasn't been quantified?

Page 115

1 estimates are basically plus or minus ten
 2 percent. And the detailed engineering for
 3 most projects is not completed until we get
 4 approval and we actually get into writing
 5 specification and doing the detailed design
 6 drawings, etcetera.
 7 (12:00 p.m.)
 8 Q. So could there be a situation where--I mean,
 9 what I'm trying to get a handle on is that if
 10 you haven't done a particular job for 20 years
 11 -
 12 A. Well, I would suggest that they would go back
 13 and get some order of magnitude costs from
 14 various vendors and then put in a reasonable
 15 number.
 16 Q. Okay. And what about if it was ten years?
 17 A. I would suggest they would probably go back
 18 and do it then for some rare thing like that,
 19 okay. It depends on the item.
 20 Q. Okay. But you're not sure? Who would be the
 21 right person to answer that question?
 22 A. Well, that's--I'm quite confident that they
 23 would do that. They will look at and use
 24 their judgment based on their experience the
 25 way the quotations have gone recently and

Page 114

1 A. No. And it would only make it look better, if
 2 anything. It wouldn't be less than we already
 3 had.
 4 Q. Now, if we take a look at P.U.B. 9, the answer
 5 to the question is that Hydro uses historical
 6 prices realized from previous tenders. What
 7 do you mean by "historical prices"?
 8 A. If we've done similar work before from recent
 9 tenders or evaluations. This is B 9?
 10 Q. Yeah, P.U.B. 9.
 11 A. P.U.B. 9, I'm sorry. Okay. We have a--
 12 depending on our capital and operating
 13 program, engineering departments and TRO and
 14 generation engineering do maintain, you know,
 15 a record of what the contracts were, what
 16 pricing is for various labour contracts,
 17 supply contracts, and it's an engineering
 18 judgment what the anticipated cost is.
 19 Q. Okay. Well, how far--when you say you use
 20 historical prices, how old a price would you
 21 be prepared to use?
 22 A. I'm sure that they would escalate those
 23 numbers or if there was any doubt, they would
 24 go back for a quick evaluation by a vendor
 25 just give them a ball park number. The

Page 116

1 decide whether their estimates that they have
 2 in their back pocket, for the lack of a better
 3 word, are useful, or if they need to get a re-
 4 -preliminary quotation from a vendor. And
 5 that is often ongoing by the engineering
 6 department who are conversing with these
 7 vendors, I won't say on a daily basis, but
 8 quite often, to get an updated price, ball
 9 park numbers, and they will put together their
 10 best guess. And at the end of the day what
 11 will go into the Capital Budget will be what's
 12 actually spent to do that particular job. And
 13 our track record has not been bad.
 14 Q. In some of the questions that the Industrial
 15 Customers posed in their RFI's we asked about
 16 hazard identification and assessment study?
 17 A. Yes.
 18 Q. Are you familiar with those concepts?
 19 A. A little. We use it for some health issues,
 20 but we do not get into it for a lot of
 21 equipment sort of things, but we use it for -
 22 Q. Do you use it for safety?
 23 A. We have not--our target, obviously, is to have
 24 zero loss of life. That would be the ideal
 25 target. We do not plan a--we do not plan or

Page 117

1 operate our system that we expect that we
 2 would cause injury over X number of operating
 3 hours. We don't operate that way; we never
 4 have, as do most Canadian utilities.
 5 Q. So you don't have any target levels of safety
 6 for reliability?
 7 A. Safety for reliability? We have target
 8 reliability for generators, we want to make CE
 9 -
 10 Q. Okay. So, well, you don't have any target
 11 levels of safety?
 12 A. We have a target level of safety that we want
 13 all injury--CEA, the Canadian Electrical
 14 Association monitor several safety trends, if
 15 you will, of Canadian utilities, and we
 16 subscribe to that. And basically we want all
 17 injury frequency rate--we have a target number
 18 for that, which I don't know offhand, but
 19 there is a number that we would like to meet
 20 or beat; beat, hopefully.
 21 Q. And you don't have--you haven't established
 22 target levels for environmental impacts, have
 23 you?
 24 A. We have internal target levels for
 25 environmental reporting the number of non

Page 119

1 little rest after his contributions. Mr.
 2 Downton, I want to start with looking at B- 59
 3 which is a project entitled "Corporate
 4 Applications Environment". In light of the
 5 withdrawal of the project that was going to
 6 deal with migration from JD Edwards, is it
 7 still intended to upgrade the JD Edwards
 8 software?
 9 A. Yes, it is.
 10 Q. Okay, so essentially what this project is
 11 providing for are for new--for software
 12 programs, for updates?
 13 A. Yes, overall, yes. JD Edwards, Showcase,
 14 Lotus Notes and 400.
 15 Q. Okay, and looking at the project cost
 16 breakdown, we have 30,000 for labour, 352, 000
 17 in engineering and 132,000 in project
 18 management. Is this basically an entirely
 19 labour project?
 20 A. Yes, pretty much labour, total labour project.
 21 Q. Okay. So there's no actual cost in here for
 22 the software?
 23 A. Basically no.
 24 Q. So can you just essentially describe for me
 25 then what this project involves? I mean, is

Page 118

1 compliancies with respect to our ISO 14,000
 2 program.
 3 Q. But in terms of the establishing a set of
 4 targets, that has not yet been done?
 5 A. Can you give me a for instance?
 6 Q. For example, what would be your target with
 7 respect--at the present time, with respect to
 8 NOx emissions at Holyrood?
 9 A. We don't have a NOx. We have SOx of less than
 10 25,000 tonnes per year for Hydro as a whole,
 11 or metric tonnes per year.
 12 Q. Those are my questions. And Mr. Hutchings
 13 will follow after the break.
 14 CHAIRMAN:
 15 Q. Okay. We'll break for 15 minutes and come
 16 back for Mr. Hutchings.
 17 (12:05 p.m. Break)
 18 (RESUMED AT 12:20 P.M.)
 19 CHAIRMAN:
 20 Q. Mr. Hutchings, are you ready to proceed?
 21 HUTCHINGS, Q.C.:
 22 Q. Yes, thank you, Mr. Chairman. Gentlemen, most
 23 of my questions, I think will be directed to
 24 Mr. Downton and he will be free to farm them
 25 out as he sees fit and give Mr. Haynes a

Page 120

1 this simply people loading new software on
 2 various machines?
 3 A. Basically in the case of JD Edwards, we will
 4 be moving from what JD Edwards calls CUME 12
 5 version of their World software to CUME 14,
 6 which is the latest release and what is
 7 involved in this particular initiative will be
 8 to load test, test with the business and
 9 finalize the upgrade from 12 to 14. And
 10 likewise for Showcase Strategy, Lotus Notes
 11 and O/S 400.
 12 Q. How many people would be involved in this
 13 project?
 14 A. Basically in the case of JD Edwards, you'll
 15 probably have probably three to four people in
 16 IS & T involved and the various business
 17 analysts involved and likewise for Showcase
 18 Strategy. Lotus Notes will be primarily all
 19 IS & T staff and the O/S 400 will be primarily
 20 all IS & T staff.
 21 Q. Now the AS 400 Operating System is it not
 22 intended to be replacing those machines in
 23 total, in the near future?
 24 A. Yes. The operating system still has to be,
 25 the purchase of the, I guess, the I series

Page 121

1 services is only for the hardware and the way
 2 that IBM works is that the software is
 3 separate again and that's why the O/S 400
 4 release is in here.
 5 Q. So you're going to be upgrading the software
 6 on the AS 400 in 2004 and when then will that
 7 hardware be replaced?
 8 A. In 2004.
 9 Q. Okay, and will the software from the AS 400 be
 10 compatible with your new server?
 11 A. Yes, it will.
 12 Q. Okay. So, is there something more involved in
 13 this project than simply installing an upgrade
 14 for each of these programs on various
 15 machines?
 16 A. Well basically installing an upgrade and the
 17 upgrade will bring additional functionality
 18 and features that we don't currently have now
 19 and also provide fixes for current problems
 20 that we have now. In particular, the Lotus
 21 Notes will provide collaboration
 22 functionality, also resolve some issues we
 23 have with calendaring featuring, also, I
 24 guess, improve performance to the end-user and
 25 also provide significant administrative tools

Page 123

1 client, that's done by the system
 2 administrators in IS & T.
 3 Q. I mean, don't you have a record of what
 4 version of Lotus Notes everybody has at this
 5 point?
 6 A. Yes. Now basically everyone is on 5.11.
 7 Q. And, I mean, presumably people are not allowed
 8 to change their own at this stage, are they?
 9 A. No. Agreed.
 10 Q. Okay, so I mean, what's involved in finding
 11 out what's there now in order to be able to do
 12 the upgrade? I mean, you should have all of
 13 that at hand.
 14 A. See, the client software is only a portion of
 15 it, the significant portion is to test all of
 16 the Lotus Notes databases of which we have
 17 between 50 and 70 databases we use for
 18 everything from software request applications
 19 to other databases to support environmental
 20 management throughout the country, policy and
 21 procedure manuals are kept on Lotus Notes
 22 databases, so all of those databases have to
 23 be tested to ensure that they're compatible
 24 with the new release of JD Edwards--or Lotus
 25 Notes.

Page 122

1 for rolling out of client software, as well as
 2 providing from a security perspective, some
 3 built in, what we call Spam Software to reduce
 4 the impact on unsolicited junk e-mail is
 5 having on the organization.
 6 Q. That's probably worth something. How many
 7 person hours are involved in this project?
 8 A. I'd have to go back in and generate the detail
 9 from the project management and engineering
 10 numbers.
 11 Q. I mean, certainly JD Edwards I would
 12 understand is a somewhat specialized system,
 13 but something like Lotus Notes, I would think
 14 that most users of the program themselves
 15 could simply install an upgrade on their
 16 machine?
 17 A. No, that's not the way it's done. Basically
 18 you would take the upgrade, you would
 19 basically--you have to ensure that before you
 20 do an upgrade that all of the Lotus Notes
 21 databases that you currently have are tested
 22 and can be migrated to a new version, make any
 23 changes if necessary and then basically,
 24 again, run that through a test and then deploy
 25 the software and that's not done by the

Page 124

1 Q. I mean, what could make them non-compatible?
 2 A. Basically there's always feature sets,
 3 software changes included in any roll out and
 4 I know when we upgraded from 4.6 to 5.11 about
 5 two and a half, three years ago, basically the
 6 effort in testing of the Lotus Notes database
 7 was significant.
 8 Q. And is it on that basis that you've come up
 9 with the numbers that are shown for this
 10 project now?
 11 A. Yes, yes.
 12 Q. In respect of the JD Edwards System itself and
 13 I understand from your latest evidence that or
 14 not from the evidence but rather from Ms.
 15 Greene's opening remarks on Monday, that the
 16 migration project has been essentially
 17 withdrawn. What, if any, are the negative
 18 impacts of not proceeding with that migration
 19 study?
 20 A. The migration really has not stopped in that
 21 sense. The migration strategy was to do an
 22 audit of the business and the processes that
 23 we currently have within the World product, JD
 24 Edwards World Product and then to do an
 25 assessment on, I guess, JD Edwards new release

Page 125

1 of one World and to do an assessment on what
 2 additional improvement from a process
 3 perspective we can implement and at the same
 4 time, to look at the technology issues that
 5 would be entertained as part of the migration
 6 and also to do a detailed costing of it. So
 7 the impact that, I guess, deferring that
 8 particular initiative will have on this,
 9 basically they're not related.
 10 (12:30 p.m.)
 11 Q. So what's happened in respect of that JDE
 12 Migration Assessment Study is that there's
 13 been an external event as a result of which
 14 you've chosen not to proceed with the project?
 15 A. Yeah, well I guess what has happened is that
 16 Peoplesoft and JD Edwards, I guess, came
 17 together and, to form one company, and I guess
 18 that put a certain amount of apprehension on
 19 the horizon as far as what the future of One
 20 World will be. And then, of course, Oracle
 21 came in and they basically wanted to buy out
 22 Peoplesoft, so right now, it's in a state of
 23 flux for 2004.
 24 Q. But these are all things that are totally
 25 external to any consideration of what Hydro is

Page 127

1 Q. And presumably, you know, in a year's time,
 2 perhaps, you know, Peoplesoft and Oracle and
 3 everything will have settled down and you will
 4 do this study or some sort of study like it?
 5 A. Yes.
 6 Q. Okay, but for 2004, you're going to get along
 7 fine without having done that study, correct?
 8 A. Yes.
 9 Q. In respect of the JD Edwards release, I refer
 10 you to IC-30, relative to actually each of the
 11 four upgrades that are planned, there are
 12 attachments that relate to the highlights and
 13 the upgrades. Did you have an alternative to
 14 either, in respect of JD Edwards specifically
 15 in the first instance, not do the update or go
 16 to a lower level of update?
 17 A. Well, yes, what we have found is that--and JD
 18 Edward encourages its users to not fall any
 19 more than two CUME levels behind, primarily
 20 because it becomes an issue of getting support
 21 for the product. They do support the product,
 22 but what we had found is that the support for
 23 the current product is better than when you're
 24 much further behind in releases. And also
 25 there are problems which we currently have

Page 126

1 doing itself, correct? There's nothing to do
 2 with Hydro's operations? These are all
 3 totally foreign events?
 4 A. That's right, yes. These are all foreign
 5 events that we do try to keep informed on, so
 6 that we make proper decisions.
 7 Q. But from the point of view of this Board here,
 8 looking at whether or not this Migration
 9 Assessment Study was necessary in 2004,
 10 obviously it wasn't, wouldn't you agree?
 11 A. I'm not sure the -
 12 Q. You're not doing it.
 13 A. I'm not doing it, no.
 14 Q. No, and it has nothing to do with your own
 15 operations, nothing has happened within Hydro
 16 to make you decide not to do it, correct?
 17 A. I'm not sure what the question is. I guess
 18 from our perspective to go and--the real,
 19 again, the focus of the Migration Study was to
 20 do an assessment on migrating to One World and
 21 to do a business and a technology assessment,
 22 and based on the uncertainty in that
 23 environment at this particular time, we felt
 24 it prudent to not move forward with that
 25 particular initiative.

Page 128

1 which, based on our assessment, this upgrade
 2 will resolve.
 3 Q. Of the enhancements that are shown here in
 4 Attachment 1, are there any of them that would
 5 have impelled you to get this release, if
 6 there wasn't an issue about simply keeping up
 7 to date with a more current release?
 8 A. I guess I should note that the release will
 9 effect basically every module that we do have
 10 and I didn't go down through all of the detail
 11 on the modules, but basically the first one
 12 FASTR downloads, account ledger inquiry,
 13 depreciation start dates are things that we're
 14 looking at. Integrity details for general
 15 ledger and accounts payable, those were
 16 basically some of the initial ones that I
 17 looked at, going down through the upgrade.
 18 Q. There are quite a few of these that -
 19 A. Yeah, there's a 150 of enhancements that CUME
 20 12--or CUME 14 released.
 21 Q. There are quite a few of them that have
 22 nothing to do with you at all, right?
 23 A. Oh yeah, well basically that is the way that
 24 they roll it out is to fix issues and provide
 25 enhancements across a full range of users.

Page 129

1 Q. You'd have no interest, presumably, in
 2 administration of 401 ks which don't exist in
 3 this country. What are the specific problems
 4 that you said you thought you might solve by
 5 implementing this release?
 6 A. We're basically having some issues with
 7 regards to assets and work management. As far
 8 as what is in the system, I don't have the
 9 exact details.
 10 Q. And these are the ones dealt with on page 2 in
 11 terms of simplification of management of fixed
 12 assets?
 13 A. No, that's--sorry, say that again, on page?
 14 Q. Page 2 of the attachment No. 1, talks about
 15 simplification of management of fixed assets.
 16 A. Page 2 of Attachment 1?
 17 Q. Yes. Attachment 1 to IC-30.
 18 A. Okay, I've got Attachment 1, and could you
 19 read that out?
 20 Q. It's on the screen there under heading "Fixed
 21 Assets, simplified management of fixed
 22 assets." And then it talks about depreciation
 23 and omitting entries and so on.
 24 A. Well we're looking at more along the lines of
 25 configuration issues for the assets.

Page 131

1 stations or are they simply network
 2 installations?
 3 A. JD Edwards, Showcase and Lotus Notes, they
 4 basically, from my understanding, they
 5 basically will be installed on a server, but
 6 they also have implications on client software
 7 as well.
 8 Q. Yes, but it doesn't require a visit to each
 9 work station to perform a separate
 10 installation?
 11 A. Well, the way I would phrase it is each one of
 12 those will have an impact on the client PC.
 13 Q. I mean, when you turn on your PC in the
 14 morning, you will notice something different
 15 after the installation has been done.
 16 A. Yes.
 17 Q. Yes, but that doesn't involve somebody from
 18 IS&T physically going to each work station and
 19 doing an installation?
 20 A. In some cases yes, and in some cases no.
 21 Q. When you say in some cases, do you mean in
 22 respect to certain of the software or in
 23 respect to certain of the work stations?
 24 A. Basically some of the software you will find
 25 as part of the corporate image and in other

Page 130

1 Q. So what is described in this attachment is not
 2 solving the problem that you have relative to
 3 asset management, does it?
 4 A. I don't know without doing a detailed analysis
 5 on it.
 6 Q. As regards to the Showcase update, are there
 7 any of the enhancements from Attachment 2 that
 8 are going to provide any specific benefits to
 9 Hydro?
 10 A. I guess some of the obvious ones will be more
 11 efficient database maintenance. Basically,
 12 again, this is an application that runs on the
 13 I series or AS 400, a FASTR calculation as far
 14 as the S base where we use the cube (phonetic)
 15 to support our CAPM Application.
 16 Q. Is there an inadequate turn-around time now on
 17 those batch operations?
 18 A. Basically we're looking for improvements to
 19 complete the calculations and I guess the
 20 issue with most of these products is that if
 21 you do not keep current, then basically you'll
 22 find that you will not be able to get support
 23 from the vendors.
 24 Q. Do each of the first three upgrades have to be
 25 installed individually on particular work

Page 132

1 applications, they are not part of the
 2 corporate image, so basically someone would
 3 have to go to the desktop and actually load in
 4 the new version of software.
 5 Q. Can you determine for me the number of person
 6 hours that are contemplated for completion of
 7 that project?
 8 A. I can take that as an undertaking, if you
 9 want.
 10 Q. Yes, okay, thank you. (UNDERTAKING) Moving on
 11 to B-60, this appears to me to be essentially
 12 three somewhat related projects combined into
 13 one. And I'll deal with them separately.
 14 Item 1, unforeseen modification enhancements
 15 and additions to software to address required
 16 changes and so on, I take it that is
 17 essentially an annual allotment?
 18 A. It's an annual allotment for unforeseens, yes.
 19 Q. Okay. And have you been able to identify from
 20 your historical experience the right number to
 21 attach to that particular cost?
 22 A. Well, typically, it will basically change
 23 depending on how we feel what the business
 24 will be looking for in a particular instance.
 25 I guess, based on our projections for the 2004

Page 133

1 and with the current initiatives in place,
 2 working on business process changes, we
 3 basically see that the focus for allotment
 4 number one, if you want to call it that, would
 5 be related to asset and work management and
 6 work order routing improvements. And that's
 7 consistent with--where other utilities
 8 worldwide are focusing for 2003/2004.

9 Q. So you have particular things in mind to do
 10 under this heading of unforeseen modifications
 11 at this point?

12 A. Well, basically, as part of the business
 13 process improvement, we do know that we are
 14 working on various areas and we basically see
 15 the possibility for work to have to be done in
 16 those particular areas and I guess then some
 17 is really unforeseen.

18 Q. So, it's not correct to say that all of the
 19 items that come under that heading are, in
 20 fact, unforeseen; some of them are actually
 21 planned.

22 A. Well, they're unforeseen in a sense that we,
 23 based on what we see happening in the
 24 business, there are possibilities that some of
 25 this may happen and some of it may not happen

Page 135

1 place and I have an unforeseen, at this point
 2 in time, I really don't know, it's basically
 3 all unforeseen.

4 Q. My concern here, to some extent, is related to
 5 potential duplication in that sense that there
 6 is an allowance for unforeseen matters of a
 7 million dollars in the budget already. What -

8 A. No, that's not my interpretation of what that
 9 million dollars is for. My interpretation, I
 10 could be corrected, is that that is for
 11 "emergency allocations".

12 MR. HAYNES:

13 A. If I could, the million dollars has not been
 14 used last year, but basically is for emergency
 15 that we don't have time to come back to the
 16 regulatory for approval for something about
 17 \$50,000.00. Things that are below \$50,000.00
 18 that come up that we have no choice but to do,
 19 we can go ahead and advise the PUB at the next
 20 quarterly report or whatever. So, we don't
 21 bother them for small amounts. What we've
 22 tried to do here is that we know that in the
 23 IS & T there's going to be a number which are
 24 going to add up to be in excess of 50. So,
 25 rather than go with 2 or 3 or 4 or 5 small,

Page 134

1 and then there are other foreseens which may
 2 come about as part of their regulatory
 3 process.

4 Q. In IC31 you've provided a breakdown of costs
 5 for each of the three categories in the
 6 proposed project. How did you come up with
 7 the breakdown for minor enhancements?

8 A. I basically made an estimate based on the fact
 9 we would be looking at three minor
 10 enhancements that we typically done before and
 11 the cost of those enhancements will run
 12 anywhere from 25 to \$40,000.00 each. So,
 13 really it's an estimate based on doing three
 14 minor enhancements.

15 Q. Okay. So, where's the allowance for the
 16 unforeseen ones then?

17 A. Well, basically, as far as I'm concerned, in
 18 an unforeseen and a minor enhancement, we have
 19 to base an unforeseen on something, so we
 20 based it on the fact it would be considered
 21 the same size as a minor enhancement.

22 Q. Okay. You identified three minor enhancements
 23 that you expect to do anyway.

24 A. I mean, I identified three, I guess all I'm
 25 saying is that whether the three of those take

Page 136

1 20, 30, \$40,000.00 items and then come back to
 2 the Board and see a \$200,000.00--that's not
 3 appropriate, that's not being upfront and
 4 clear with the Board. The million dollars is
 5 for things we have no choice, but to move and
 6 to act and to commit to meet customer load, et
 7 cetera.

8 Q. So, is this subproject, as I would refer to
 9 it, does it show up in every years Capital
 10 Budget.

11 MR. DOWNTON:

12 A. Basically, it didn't show up in last years
 13 Capital Budget primarily because where we got
 14 late approval of 2001, it flowed over in 2002.
 15 And so basically, I guess, we've resubmitted
 16 this particular Capital Budget for 2004 and we
 17 look at this as pretty much an annual
 18 occurrence.

19 Q. Is there a separate account maintained in
 20 Hydro's records for this particular subproject
 21 or is it any costs that are incurred under
 22 this just spread out over your IT budget?

23 A. Well basically, if--as a for instance, if I
 24 identified a particular piece of work that I
 25 needed to do, say, on work flow for work

Page 137

1 orders, then basically I would cut a work
 2 order and track the cost related to that.
 3 Q. Okay. In terms of reporting back to Board as
 4 to what you've done, if they choose to approve
 5 85.5 thousand dollars for minor enhancements,
 6 how do you report to the Board as to whether
 7 that was spent and what it was spent on?
 8 A. Well, basically, I guess in the reporting, I
 9 don't think that we report to that level of
 10 detail. We report to the level of detail that
 11 the monies were expended under the -
 12 MR. HAYNES:
 13 A. Capital job costs.
 14 MR. DOWNTON:
 15 A. - capital job costs.
 16 Q. You'll have one capital job cost presumably
 17 for application enhancements, is that correct?
 18 A. Yes.
 19 Q. So, all of this gets lumped in together
 20 whether it's the Enterprise Management
 21 Software application of some unforeseen
 22 modification?
 23 A. Well basically, yes, three of those have been
 24 submitted as one capital job cost. I guess
 25 that's consistent with what we've done before.

Page 139

1 existing inability to do, we'll say, content
 2 management and to deal with some security
 3 issues we have.
 4 Q. I mean, how do you decide what's in this
 5 project and what, for instance, is in the
 6 Secure Remote Access Project?
 7 A. Well, I guess the work that's defined as the,
 8 say, \$226,200.00 is specific to developing the
 9 internet and the intranet.
 10 Q. But equally the Secure Remote Access Project
 11 is the same thing, is it not?
 12 A. The Secure Remote Access Project is a security
 13 project that we're looking at providing secure
 14 access to Hydro's infrastructure.
 15 Q. Um-hm. I mean, you're doing or proposing to
 16 do in the 2004 Capital Budget a number of
 17 things to you intranet and internet, correct?
 18 A. Yes, and those are dealt under the
 19 \$226,000.00, yes.
 20 Q. Yes, but one of the other things you're doing
 21 is Secure Remote Access.
 22 A. Yes.
 23 Q. And you're also refreshing your servers and
 24 software and so on.
 25 A. Yes.

Page 138

1 Q. And there is no methodology in place that will
 2 allow the board to look back afterwards and
 3 say what was spent on the unforeseen
 4 modifications, what was spent on the
 5 continuing design of the internet or what was
 6 spent on the Enterprise Project Management
 7 software?
 8 A. If the Board has a specific question, then
 9 that level of detail can be provided.
 10 Q. Enhancements to the internet and intranet, how
 11 does the money sought under this particular
 12 heading relate to the several other projects
 13 that I would regard in generic terms as being
 14 enhancements to the intranet or internet
 15 including the Evergreen Project, the Secure
 16 Remote Access Project, the Centralized
 17 Monitoring System, I mean, all of these are
 18 enhancements to your intranet or internet, are
 19 they not?
 20 A. Basically, with regards to the intranet, what
 21 we are looking at in that particular portion
 22 is to build additional sites which don't exist
 23 right now for different divisions within the
 24 Company. And likewise, the internet would be
 25 a total redesign of the internet because of

Page 140

1 Q. So, it's a question of transparency in terms
 2 of what, from the point of view of a capital
 3 project, you're actually doing with your
 4 internet or intranet in a given year. And the
 5 question is why we get bits and pieces of it
 6 in three or four different projects?
 7 A. I don't understand what you mean by getting
 8 bits of it in three or four different project.
 9 Basically the internet development costs are
 10 in this particular capital job costs, the
 11 secure access really has nothing to do with
 12 "the internet development" as such.
 13 Q. What we're talking about is secure remote
 14 access to your internet thought.
 15 A. We're looking at secure remote access to
 16 Hydro's infrastructure. Once you get into the
 17 infrastructure, whether you go to an internet
 18 site or to go a file server, that basically is
 19 determined by the level of access that you
 20 have and what you want to do.
 21 Q. But I mean, your access is to the internet and
 22 intranet, is it not?
 23 A. Yes, well that will be one of the things that
 24 you will have access to. You will also--if
 25 you come in from, through secure access,

Page 141

1 you'll also have access to JD Edwards or you
 2 can have access to Lotus Notes.
 3 Q. Yes, but your access is through the internet,
 4 correct?
 5 A. No.
 6 Q. Is it through the intranet?
 7 A. With regards to secure access?
 8 Q. Yes.
 9 A. You basically come in to Hydro's network and
 10 once you're on the network, then you decide
 11 where you go.
 12 Q. Okay. So, what's Hydro's network? What do
 13 you mean when you say Hydro's network?
 14 A. I guess when you come into our "woeful area
 15 network" or Y area network. Once you gain
 16 access to the network, depending on the level
 17 of security that you have and what you've been
 18 granted permission to do, you may have
 19 permission to go to Hydro's "intranet". You
 20 may have capability to go to a particular file
 21 drive, if you want to call it that, a common
 22 drive where you basically have access to
 23 specific information or you can come in and
 24 get access to your e-mail or you can go in and
 25 start up a word application.

Page 143

1 program to allow you to monitor and log
 2 individual user and work station activity?
 3 A. No, not really intended to that degree. What
 4 is intended is to access the various security
 5 systems on our infrastructure whether it be
 6 firewalls, server, security logs from the
 7 servers and to bring that together so that we
 8 can monitor the security issues related to our
 9 infrastructure.
 10 Q. The material supply component for the 2004, is
 11 that simply the acquisition of the server?
 12 A. That is basically--I'm not sure of the detail,
 13 whether it's the server and/or some software,
 14 I can check on that, if you would -
 15 Q. Yes, I'd appreciate it if you would.
 16 (UNDERTAKING). I take it from the description
 17 of the project that you've determined that you
 18 require a dedicated server for this purpose,
 19 is that correct?
 20 (1:00 p.m.)
 21 A. That's what the word says there, I'll
 22 basically check to see what is in the material
 23 supply.
 24 Q. Did you have any outside advice to the effect
 25 that a dedicated server was required to have

Page 142

1 Q. So, what do you refer to then when you refer
 2 to Hydro's intranet?
 3 A. Basically, it's--right now, Hydro's intranet
 4 consists of some of Lotus Notes databases.
 5 Basically, we've developed an HR site for
 6 access to specific HR information. And I
 7 guess, on a go forward basis, what we're
 8 proposing is to add information for
 9 environment and customer service.
 10 Q. And when you refer in this project to
 11 internet, are you simply referring to Hydro's
 12 external web site?
 13 A. Yes.
 14 Q. Okay. So, that is simply one site and that's
 15 what you're talking about here when you say
 16 internet?
 17 A. Yes.
 18 Q. Okay, all right. If we can look for a moment
 19 at B62, it's a project you call security
 20 program centralized log monitoring and
 21 analysis system. This, I take it, doesn't
 22 relate either to the internet or the Intranet
 23 as you define them, is that correct?
 24 A. That's correct.
 25 Q. Okay. Now, this is basically a monitoring

Page 144

1 this functionality?
 2 A. Well, from the security perspective, we
 3 basically felt it prudent to look at a
 4 separate server for security rather than have
 5 it laid on top of other existent servers.
 6 Q. Can you explain to me how you reached that
 7 conclusion?
 8 A. I guess in discussion amongst, I guess, my
 9 management group and the security team, we
 10 basically felt that it would be prudent to
 11 have the security type of features on a
 12 separate server.
 13 Q. Is that somehow related to the sensitivity of
 14 the information that's going to be on this
 15 particular -
 16 A. The sensitivity of the information that's on
 17 that particular server, yes.
 18 Q. Is that more sensitive than anything else
 19 you've got?
 20 A. I guess it's an accumulation of a lot of very
 21 sensitive data, yes. Is it, at the end of the
 22 day, is it more sensitive than other pieces?
 23 I guess all I would say is that we're bringing
 24 all that information together in one place and
 25 we felt that this was the proper way to

Page 145

1 install the software and have it secured.
 2 Q. Have you established a level of priority in
 3 terms of the sensitivity of information on
 4 particular servers?
 5 A. To that degree, I guess the answer is, no.
 6 Q. Okay.
 7 A. But when it comes to security and the
 8 firewalls, we basically take those aspects
 9 very seriously and we consider it to be high
 10 priority issue.
 11 Q. Um-hm, okay. So, this is not a question of
 12 capacity of the server, it's a question of the
 13 decision that particular information should be
 14 on a separate server from any other
 15 information that you have.
 16 A. Yes.
 17 Q. And you're going to get me the breakdown of
 18 the material supplies so we can see what's
 19 actually being paid for the server here.
 20 A. Yes.
 21 Q. Okay, thank you. B64 then is the secure
 22 remote access project that we spoke about
 23 earlier. Is this intended to operate by the
 24 way of a virtue of private network?
 25 A. Some of it will, it will give you the

Page 147

1 Q. I think we discussed at the last hearing, the
 2 issue of your web server being outside the
 3 firewall. Will this project correct that
 4 situation?
 5 A. I don't know. I will have to check that
 6 detail.
 7 Q. Okay. I'd appreciate if you could get that
 8 answer for me. (UNDERTAKING) The new material
 9 that's in this project for thirty-five
 10 thousand dollars, do you know what that is?
 11 A. Primarily some of the costs will be additional
 12 secure ID tokens and some of the additional
 13 cost have yet to be defined.
 14 Q. Is there an intent to have a separate server
 15 for this as well?
 16 A. No. Basically we currently have a server that
 17 provides or runs the secure ID software. The
 18 intent of this particular program is really to
 19 evaluate, design and implement products to
 20 provide secure methods of accessing
 21 information. And this is one of the, again,
 22 this token type technology is one of the
 23 aspects we're looking at.
 24 Q. Okay. So, you're going to get me, again, a
 25 breakdown of the material supply here -

Page 146

1 capability to have secure access through VPN,
 2 yes, but that's not all of component of this
 3 particular project.
 4 Q. There's reference also to the RSA, can you
 5 just explain for us what you mean when you say
 6 RSA secure ID technology?
 7 A. Well, basically RSA is "a brand name" much the
 8 same as IBM or Hewlett Packard and we
 9 currently use their technology for secure log
 10 in. What it is, it's a token like this and
 11 basically, it provides a very distinctive
 12 password or number, I should say, which
 13 substitute as a password and you have your own
 14 dedicated pin to give you much the same
 15 reliability as you would if you went to an
 16 ATM. So this is what's referred to as a RSA
 17 secure ID token.
 18 Q. Okay. So you would need that physical token
 19 or you would just use the number from it?
 20 A. No, you have to have the physical token
 21 because the password on it changes every
 22 minutes.
 23 Q. Okay.
 24 A. And it's synchronized with the passwords of
 25 the server that you log on to.

Page 148

1 A. Yes.
 2 Q. - so we can see what's involved. We'll move
 3 then to B66. Okay. The end user and Server
 4 Evergreen Program, this is described as a
 5 second year of a five-year program and I
 6 believe there was a project in 2003 Capital
 7 Budget for 8 or \$900,000.00 which was
 8 basically similar sorts of things, correct?
 9 A. Yes.
 10 Q. Do we have an estimate of the total cost of
 11 the five year project?
 12 A. In as far as our five year plan, Hydro's five
 13 year capital plan, we would have that.
 14 Q. Do you know what that number is?
 15 A. Yes.
 16 Q. Can you tell me?
 17 A. Well, I don't know it to tell you now, no.
 18 Q. No, okay. Can you get that number for me?
 19 (UNDERTAKING)
 20 A. Yes.
 21 Q. Yes, okay. I'm trying to get a handle, I
 22 guess, on exactly what is to be replaced under
 23 this particular project. There's discussion
 24 about moving to thin client devices and so on.
 25 In respect of the two point eight million

Page 149

1 dollars that we're dealing with here, I mean,
 2 do we have an indication of what portion of it
 3 will relate to thin client devices and what
 4 will relate to desktops or laptops?
 5 A. The desktop, I guess what I call the desktop
 6 portion, again is to replace two hundred and
 7 twenty units, and there are approximately one-
 8 third, one-third and one-third of per laptop,
 9 desktop and thin client devices. So that
 10 basically those costs will cover the supply
 11 and install of those particular end user
 12 devices.
 13 Q. Okay. So -
 14 A. So that's the desktop portion.
 15 Q. Well, you say two hundred and twenty devices,
 16 one-third laptops, one-third desktops and one-
 17 third thin clients.
 18 A. Yes, so roughly seventy something, seventy,
 19 seventy.
 20 Q. Yes, okay. And what type of thin client
 21 devices are you contemplating acquiring?
 22 A. We're basically--I think it's called Neoware.
 23 Q. Neoware?
 24 A. Neoware, N-E-O-W-A-R-E.
 25 Q. And what can that do?

Page 151

1 A. Yes. We did look at one other device. I
 2 don't know the name of it, but we did look at
 3 one other device.
 4 Q. And what led you to conclude that Neoware was
 5 the way to go?
 6 A. Basically we had looked at what we have seen
 7 in the industry and plus the testing that we
 8 had done on the particular device to ensure
 9 compatibility.
 10 Q. So was the other device that you looked at
 11 incompatible with your system?
 12 A. I don't know that level of detail.
 13 Q. Okay. Do you know how the price of the other
 14 device compared to the Neoware device?
 15 A. From what I understand, I don't think that
 16 there was any cost difference, any significant
 17 cost difference.
 18 Q. And you only looked at one other alternative
 19 device?
 20 A. I'll confirm that. (UNDERTAKING)
 21 Q. Okay. All right. Do you know the model
 22 number or type of Neoware device that you're
 23 talking about?
 24 A. No.
 25 Q. Can you confirm that for us? (UNDERTAKING)

Page 150

1 A. Basically, in very simplistic terms, the
 2 Neoware device is a dumb terminal. Basically
 3 all of the applications run on the server.
 4 What you basically get for it is a screen very
 5 similar say to the one in front of you, plus a
 6 keyboard, and a box probably about twice the
 7 size of the Bible, in the sense of that's the
 8 physical size of the Neoware box. All it
 9 provides is the ability to communicate with
 10 the server. Again, all the intelligence is on
 11 the server. That's where all the software
 12 runs and the Neoware box just provides the
 13 information refresh back and forth to the
 14 screen from the server.
 15 Q. And what are you paying for one of those?
 16 A. I don't know the exact number, somewhere in
 17 the order of maybe twelve to fifteen hundred.
 18 Q. Twelve to fifteen hundred dollars per
 19 terminal?
 20 A. Yes. I can confirm those numbers.
 21 Q. Okay. Well, you can get back to me in the
 22 morning and let me know if that is, in fact,
 23 the right number. (UNDERTAKING) Have you
 24 looked at any competitive devices, other than
 25 Neoware?

Page 152

1 A. Yes.
 2 Q. Okay. In respect of the desktop devices, what
 3 is the plan for what's going to be acquired to
 4 replace desktop devices?
 5 A. You mean what kind of desktop units they're
 6 going to be?
 7 Q. Yes.
 8 A. Basically, they will be IBM desktops.
 9 Q. IBM, and what models?
 10 A. I don't deal with that level of detail.
 11 Q. Okay. All right. But you can get that for
 12 us, can you? (UNDERTAKING)
 13 A. Yes.
 14 Q. Yes, okay. Do you know the price of those?
 15 A. I'll get the estimate of that as well.
 16 (UNDERTAKING)
 17 Q. Okay. All right. And have you--who is
 18 responsible for making the decision basically
 19 as to what type of desktop device is going to
 20 be acquired?
 21 A. Basically from mobile end user perspective, we
 22 go to tender to basically get costs, to get
 23 the best competitive cost for the end user
 24 infrastructure.
 25 Q. Okay. But I mean, when you go to tender, are

Page 153

1 you going to tender for an IBM device or are
 2 you going to tender for a PC?
 3 A. When we went to tender, we went to tender for
 4 basically desktop devices, which met certain
 5 specifications, and I guess, the award, the
 6 last award was to IBM, based on cost.
 7 Q. Okay. I take it you'll be issuing another
 8 tender now, in the event that this project is
 9 approved?
 10 (1:15 p.m.)
 11 A. No. Basically we have a tender now that the--
 12 we're on the--the last time we went to tender
 13 was for a five-year program, and so we're
 14 basically picking up years four and five
 15 options on that particular tender.
 16 Q. Okay. I thought we were in now the second
 17 year of a five-year program.
 18 A. We are, but I guess the thing is, when we
 19 started the initial Evergreen refresh, it was
 20 back in 2000. That was, yes, it was year
 21 three. So this would be--so I guess all I'm
 22 saying is that we're just continuing with the
 23 same tender for the purchase of the desktop
 24 equipment.
 25 Q. So this is basically a standing order type of

Page 155

1 Q. Okay. I take it you can get that information
 2 for me?
 3 A. Yes. (UNDERTAKING)
 4 Q. Yes, okay. Together with the cost per unit
 5 that are associated with those?
 6 A. Yes. (UNDERTAKING)
 7 Q. Yes, okay. Have the specifications for either
 8 of these three types of devices changed since
 9 you gave your standing order three years ago?
 10 A. I would suspect that they have.
 11 Q. And you have that capability under your
 12 arrangement that you can change the specs?
 13 A. Yes.
 14 Q. I take it you can't hold the price if you
 15 change the specs, can you?
 16 A. Basically there is a formula in there for best
 17 holding price and there's also--we basically
 18 look at the best practices put forward by
 19 Gartner as to what the configuration of the
 20 end user device should be. So we basically
 21 look at that on a consistent basis and, if
 22 need be, we'll apply the new standard to
 23 whatever infrastructure we're bringing in.
 24 Q. You said best practices put forward by whom?
 25 A. By Gartner Group. They're probably the

Page 154

1 thing you have now?
 2 A. Yes.
 3 Q. Okay. And does that apply both to the Neoware
 4 as well?
 5 A. I believe it does, but I'll check on that.
 6 Q. Okay. The simplest thing might simply be to
 7 provide the standing order contract that you
 8 have, (UNDERTAKING) given that it should
 9 specify the numbers that are -
 10 A. I'll provide the information I think is
 11 appropriate to answer your question.
 12 Q. Okay. In respect of the laptops then, are you
 13 committed to a standing order for those as
 14 well?
 15 A. Yes.
 16 Q. Okay. And with whom?
 17 A. Basically it's with IBM.
 18 Q. Okay. Do you know what specific laptops
 19 you'll be acquiring?
 20 A. No, because they usually change every six
 21 months, so it's hard to keep track of exact
 22 model number.
 23 Q. Okay. Do you know which was the last ones
 24 that you got?
 25 A. No.

Page 156

1 largest IT analyst company in the world. They
 2 basically publish best practices standards for
 3 this type of application.
 4 Q. And your contract is for the acquisition of
 5 devices that are consistent with Gartner's
 6 Group, Gartner Group's best practices?
 7 A. Well, we basically look at their
 8 recommendations and we basically look at our
 9 own requirements and make the best decision.
 10 Q. So do you have the ability to access this type
 11 of device now outside of this five-year
 12 arrangement with your supplier?
 13 A. I mean, what type of device?
 14 Q. The laptops, the desktops or the thin client
 15 devices.
 16 A. Do we have the -
 17 Q. Can you go to somebody else and look for a
 18 better deal?
 19 A. I guess if we felt that there was a better
 20 deal, then, I guess, we would not have to
 21 continue with the Evergreen Program.
 22 Q. I'm not so much concerning with the Evergreen
 23 Program as your contractual -
 24 A. Or I shouldn't say the--as far as the entering
 25 into the second--to the last two years of the

Page 157

1 contract.
 2 Q. So you have an option to get out of that
 3 contract?
 4 A. Yes.
 5 Q. Okay. When did you last survey the market to
 6 see whether or not the prices you were getting
 7 were the least cost to you?
 8 A. I would say that we looked at within the last
 9 number of months.
 10 Q. Okay. And who within the organization would
 11 have done that?
 12 A. Mr. Nichols would have done that.
 13 Q. What's his position?
 14 A. He's the manager of technology planning and
 15 project delivery.
 16 Q. And is that a continuing obligation of his to
 17 check every few months on the prices of
 18 devices of this -
 19 A. It's a continuing obligation. Every time
 20 we're going to refresh or to purchase, then he
 21 will basically have a look at the costing for
 22 different pieces of infrastructure.
 23 Q. Are these purchases spread out over the year
 24 or are they all done at once?
 25 A. We will--I guess as we go from office to

Page 159

1 So of course, that would be an initial
 2 commitment of approximately say eight hundred
 3 and fifty units over three years, and then
 4 there was options in there for two additional
 5 years, so that we could continue with the IBM
 6 product if we so choose.
 7 Q. So the eight hundred and fifty units you refer
 8 to over three years, what proportion of
 9 Hydro's total assets in that category does
 10 that represent?
 11 A. Basically, that will represent we'll say
 12 virtually a hundred percent of the desktops.
 13 Q. And did that program proceed so that
 14 everything was replaced in that three-year
 15 period?
 16 A. Yes, that was replaced in--when was it? I'm
 17 just trying to think what year this is.
 18 Q. It was 2003 when I got up this morning.
 19 A. Yes, I know that. I have so -
 20 Q. I know we've been here a long time.
 21 A. I have so many budgets and so many time
 22 frames, I got to work backwards to figure out
 23 when I should have started. So basically,
 24 that refresh program ended in 2002.
 25 Q. So the devices that are planned to be replaced

Page 158

1 office, depending on what the implementation
 2 schedule specifies, we may buy them all at
 3 once or we may buy them in specific
 4 allotments. It really depends on what the
 5 implementation schedule specifies and what
 6 makes sense, because typically, we don't want
 7 to have "ninety units" when we're only ready
 8 to install forty-five now.
 9 Q. So Mr. Nichols would do some sort of survey at
 10 any point where there were any significant
 11 number of units to be acquired? Is that--am I
 12 understanding this right? I just want you to
 13 explain to me how it works.
 14 A. Well, basically, we have the--again, we have
 15 the standing order with, if you want to call
 16 it that, with IBM, and then he will basically
 17 assess what other things he sees in the
 18 market.
 19 Q. Did you have to give IBM a commitment to any
 20 specific number of units in order to get this
 21 arrangement?
 22 A. When we entered into the--or when we went out,
 23 I guess, just think in '99 or 2000, I think it
 24 was 2000, we went out for a complete refresh
 25 of Hydro's infrastructure over three years.

Page 160

1 in 2003 and 2004 would all be -
 2 A. Three years old.
 3 Q. - three years old or less?
 4 A. Three years old.
 5 Q. Okay. So three years, every three years the
 6 devices are replaced?
 7 A. Every three years, they were replaced based on
 8 first refresh, I guess, based on what we
 9 submitted to the Board last year. What we are
 10 proposing for "the Neoware boxes" or the thin
 11 client boxes, the refresh in future on that
 12 will be five years. The refresh on
 13 traditional desktop in future will be four
 14 years, and based on, again, the practices and
 15 what we see in the industry, refresh on
 16 laptops will be at three years.
 17 Q. Okay. In establishing these refresh periods,
 18 are you considering solely the functionality
 19 of the device?
 20 A. No, we're basically looking at, I guess, what
 21 we've seen in best practices from if you keep
 22 the device any longer, what is your incurred
 23 costs and also what are--so the best practices
 24 look at not just functionality. They look at
 25 if you keep it any longer than this, then it's

Page 161

1 really not the right decision for you. So
 2 basically, we use Gartner's best practices as
 3 far as refreshing end user infrastructure.
 4 Q. Is that best practice policy reduced to
 5 writing somewhere?
 6 A. There are a series of Gartner best practices.
 7 Q. And do you have those available to you?
 8 A. Yes, we have those available.
 9 Q. Okay. I'd like an undertaking that they be
 10 produced, so that we can have a look.
 11 (UNDERTAKING)
 12 GREENE, Q.C.:
 13 Q. With respect to the refresh program?
 14 HUTCHINGS, Q.C.:
 15 Q. Yes.
 16 GREENE, Q.C.:
 17 Q. Because there are--Gartner provides on
 18 numerous topics in the IT industry.
 19 HUTCHINGS, Q.C.:
 20 Q. Yes. No, no, understand that.
 21 GREENE, Q.C.:
 22 Q. We'll have to see. I'm not sure if there's a
 23 copyright issue or whatever. I'm not going to
 24 be sure until I actually see the actual
 25 documents.

Page 163

1 Q. Yes.
 2 CHAIRMAN:
 3 Q. And it looks as if we might sit starting at
 4 the usual time, at 9:00, and going until I
 5 think 12:30, we'll break for lunch, and come
 6 back and sit until 4:00. So I just thought
 7 I'd let you know that, in case you wanted to
 8 make any plans.
 9 HUTCHINGS, Q.C.:
 10 Q. That's very helpful.
 11 GREENE, Q.C.:
 12 Q. And reconvening after lunch is at 2:00, is it?
 13 HENLEY ANDREWS, Q.C.:
 14 Q. Or 1:30?
 15 GREENE, Q.C.:
 16 Q. Or 1:30? You didn't mention reconvening.
 17 CHAIRMAN:
 18 Q. Well -
 19 GREENE, Q.C.:
 20 Q. In the afternoon.
 21 CHAIRMAN:
 22 Q. If you're going to pick up any time, I think
 23 we're going to have to reconvene at 1:30.
 24 GREENE, Q.C.:
 25 Q. That's fine.

Page 162

1 HUTCHINGS, Q.C.:
 2 Q. I understand. In respect of the market
 3 surveys that Mr. Nichols does, would there be
 4 written reports in respect of those?
 5 A. Probably not.
 6 Q. Probably not?
 7 A. No.
 8 Q. So would they be--would those reports be made
 9 to you verbally or who would he pass them on
 10 to?
 11 A. He would just do an analysis and we'd have a
 12 discussion. Typically, we do not--we may not
 13 go out and formal analysis of it, at this
 14 particular point, in the middle of the
 15 contract with IBM, and Mr. Nichols has been
 16 working in this area for twenty odd years and
 17 he has a very good understanding of what the
 18 pricing is in this particular area.
 19 Q. I think, Mr. Chair, that might be the
 20 convenient time to break for the day.
 21 CHAIRMAN:
 22 Q. Okay, Mr. Hutchings. I think Mr. Kennedy may
 23 have spoken with you in connection with
 24 tomorrow's hours.
 25 HUTCHINGS, Q.C.:

Page 164

1 CHAIRMAN:
 2 Q. Otherwise, the lengthened day becomes a
 3 little--well -
 4 GREENE, Q.C.:
 5 Q. Yes, exactly.
 6 HUTCHINGS, Q.C.:
 7 Q. Not much lengthened.
 8 CHAIRMAN:
 9 Q. Anyway, we will try and do that tomorrow and
 10 possibly on Friday, if it's necessary, but
 11 we'll take stock of that and see how far we
 12 get tomorrow. Thank you.
 13 HUTCHINGS, Q.C.:
 14 Q. Thank you, Mr. Chairman.
 15 ADJOURNED AT 1:30 P.M. TO 9:00 A.M. JULY 9, 2003

CERTIFICATE

1
2 I, Judy Moss, hereby certify that the foregoing is a true
3 and correct transcript in the matter of Newfoundland and
4 Labrador Hydro, 2004 Capital Budget Application, heard
5 before the Board of Commissioners of Public Utilities,
6 Prince Charles Building, St. John's, Newfoundland and
7 Labrador on the 8th day of July, A.D., 2003 and was
8 transcribed by me to the best of my ability by means of
9 a sound apparatus.
10 Dated at St. John's, Newfoundland and Labrador
11 this 8th day of July, A.D., 2003
12 Judy Moss