

Page 1	Page 2
<p>1 (9:09 a.m.)</p> <p>2 CHAIRMAN:</p> <p>3 Q. Good morning, counsel. Mr. Ludlow, Mr.</p> <p>4 Delaney. Ms. Newman, any preliminary matters</p> <p>5 before we begin this morning?</p> <p>6 MS. NEWMAN:</p> <p>7 Q. No, Chair, no preliminary matters, just to</p> <p>8 comment for the record, I guess that our</p> <p>9 breaks will be at 10:30 and 12:00 a.m. this</p> <p>10 morning.</p> <p>11 CHAIRMAN:</p> <p>12 Q. Thank you.</p> <p>13 CHAIRMAN:</p> <p>14 Q. Mr. Kennedy, you can continue with your cross.</p> <p>15 Thank you.</p> <p>16 MR. EARL LUDLOW AND MR. PHONSE DELANEY CROSS-EXAMINATION</p> <p>17 BY MR. MARK KENNEDY (CONT'D)</p> <p>18 MR. KENNEDY:</p> <p>19 Q. Chair, Commissioners, your indulgence. Mr.</p> <p>20 Ludlow, Mr. Delaney, I wonder if we could just</p> <p>21 turn to the issue of meters as a project and</p> <p>22 this is project B36. And as per--I wonder if</p> <p>23 we could just go to page B36. So the project,</p> <p>24 if I'm gathering correctly, calls for the</p> <p>25 installation of new meters and the replacement</p>	<p>1 of some existing meters and the total cost for</p> <p>2 doing that is estimated at \$1,174,000, is that</p> <p>3 correct?</p> <p>4 MR. LUDLOW:</p> <p>5 A. That's correct.</p> <p>6 Q. Okay. And we have the absolute numbers there</p> <p>7 of the number of meters at 8,000 regular</p> <p>8 domestic meters and 3,000 AMR meters, but</p> <p>9 that's not the total number of meters that are</p> <p>10 actually being switched out, is it? There's</p> <p>11 more meters than that being switched out? I</p> <p>12 guess if we could go to PUB-42 and if you</p> <p>13 could just scroll down, please. So, in actual</p> <p>14 fact, if I'm gathering correctly, there's</p> <p>15 9,800 meters to be replaced and that there's</p> <p>16 8,800 meters being retired. So the schedule</p> <p>17 we're looking at before showed 8,000 regular</p> <p>18 domestic meters and 3,000 AMR meters for</p> <p>19 11,000 as the total. And then if we could</p> <p>20 look at just one more, PUB-41, immediately</p> <p>21 preceding. Okay, so here we have a total of</p> <p>22 11,000 new meters to be replaced which jives</p> <p>23 with the B36 page that we were looking at a</p> <p>24 minute ago, correct?</p> <p>25 MR. LUDLOW:</p>
Page 3	Page 4
<p>1 A. That's correct.</p> <p>2 Q. And it gives us the breakdown of the number of</p> <p>3 each; 3,000 AMR meters and a total of 8,000</p> <p>4 regular meters, so that's as per B36. So if</p> <p>5 you'd just go back to PUB-42. Could you just</p> <p>6 explain, if you could, what this table is, is</p> <p>7 this an all inclusive table or is this just</p> <p>8 the number of meters to be replaced and</p> <p>9 retired as per the five reasons above? There</p> <p>10 seems to be--yes, if you could help sort of</p> <p>11 shed some light on that for us, that might -</p> <p>12 MR. DELANEY:</p> <p>13 A. Okay, let's just look at the Math here. I'm</p> <p>14 going to follow it back and--okay, we need</p> <p>15 3,000 AMR meters next year, this is on PUB-41,</p> <p>16 and those are meters that we're replacing for</p> <p>17 existing customers due to safety and access</p> <p>18 reasons. So that's that 3,000. The regular</p> <p>19 domestic meters are 8,000. We need 2,200 for</p> <p>20 new customers that will come on line next</p> <p>21 year, to service their needs. And 5,800 for</p> <p>22 existing customers. Now they would be</p> <p>23 replacements due to--well there are a number</p> <p>24 of items mentioned there, the most significant</p> <p>25 of which is the government re-test order</p>	<p>1 that's required every year. So--let me just</p> <p>2 read this paragraph to -</p> <p>3 Q. Sure.</p> <p>4 A. - get my thoughts clear. Yes, it's quite</p> <p>5 clear to me here, the 9,800 meters that will</p> <p>6 be replaced, okay--I'm still reading.</p> <p>7 Q. Yes, no problem, take your time.</p> <p>8 MR. LUDLOW:</p> <p>9 A. As I look at these two RFIs, Mr. Chairman,</p> <p>10 there's several things happening. First of</p> <p>11 all, if I take you to PUB-41, this breaks down</p> <p>12 the new customers and existing as Mr. Delaney</p> <p>13 said, totalling in to 11,000. In here in the</p> <p>14 AMR category we have two different types of</p> <p>15 meters; one being domestic meters for access</p> <p>16 and safety and the second being in the area of</p> <p>17 general service demand. That's a very small</p> <p>18 number, approximately 100 comes to mind, Mr.</p> <p>19 Chairman. Now, what's happening in these</p> <p>20 numbers as I see it, Mr. Kennedy, between</p> <p>21 there and PUB-42 is that that AMR process,</p> <p>22 combined with new customers, combined with the</p> <p>23 government re-test order process which would</p> <p>24 come back to item number one, we are basically</p> <p>25 in a process here of--how would I say it--I'm</p>

Page 5	Page 6
<p>1 MR. KENNEDY:</p> <p>2 going to have to go away from the numbers as I</p> <p>3 can't do it in my head at this point, it's not</p> <p>4 working for me, I'm sorry, I may have to</p> <p>5 straighten that out later. But we retired a</p> <p>6 bulk of these meters as highlighted. There is</p> <p>7 no intent here to increase inventory of</p> <p>8 meters, either in AMR or anything else.</p> <p>9 That's not the premise. We will only replace</p> <p>10 meters that are causing issues through AMR, as</p> <p>11 I said earlier, of safety and access and new</p> <p>12 customers and those dictated under the GRO</p> <p>13 process. My mind is not clicking as to why</p> <p>14 there's a discrepancy of 1,100 meters, 1,200</p> <p>15 meters.</p> <p>16 MR. DELANEY:</p> <p>17 A. I think I know that it is there, just looking</p> <p>18 at the Math. Just to clarify the question, if</p> <p>19 you look at it, we're going to--you would</p> <p>20 think on PUB-41, the numbers should add up to</p> <p>21 9,800, but we're going to salvage 1,000 meters</p> <p>22 from the AMR project and we used them. So</p> <p>23 that's--if you can consider that, the Math all</p> <p>24 adds up.</p> <p>25 Q. So, the total number retired per PUB-42 is</p>	<p>1 8,800. Per PUB-41, the total of new customer</p> <p>2 meters is 2,200 so that would be the 11,000,</p> <p>3 correct? Am I gathering correctly then that</p> <p>4 this replaced 9,800 as you say, the 8,800 is</p> <p>5 the net of actual new meters that you need to</p> <p>6 purchase so you're getting--you're re-</p> <p>7 installing 1,000 of the meters that you've got</p> <p>8 here as replaced or -</p> <p>9 MR. LUDLOW:</p> <p>10 A. Exactly, Mr. Kennedy, Mr. Chairman. If I take</p> <p>11 you to PUB-42, reason number four, replace</p> <p>12 versus retired is 1,000 differential and in</p> <p>13 effect, what that means is we're able to, and</p> <p>14 I think we used the word "scrounge" yesterday,</p> <p>15 I would use the word "salvage", three--one-</p> <p>16 third of those meters that are re-tested,</p> <p>17 rechecked and approved for re-service. And</p> <p>18 hence that's taking that number to</p> <p>19 approximately 11,000. That's the basis.</p> <p>20 Q. So of those 1,000 meters that are being</p> <p>21 salvaged as its being put, am I gathering</p> <p>22 correctly that we could say that another way</p> <p>23 that 1,000 of the domestic meters that you</p> <p>24 currently have in service, you intend to</p> <p>25 replace with AMR meters. They're functioning</p>
Page 7	Page 8
<p>1 normal, regular meters, but you're replacing</p> <p>2 them with new AMR meters?</p> <p>3 MR. LUDLOW:</p> <p>4 A. Well, I think the point here is that we will,</p> <p>5 Mr. Chairman, replace 3,000 meters with AMR</p> <p>6 meters. 1,000 of the 3,000 we're installing</p> <p>7 and replacing will be re-used elsewhere.</p> <p>8 Q. And so, presumably, 2,000 of the 3,000 you're</p> <p>9 replacing are not useable, not salvageable.</p> <p>10 A. That is correct, Mr. Chairman in that the</p> <p>11 2,000 would then be retired for various</p> <p>12 reasons. They would be from broken glass,</p> <p>13 dials, holes drilled in them, etcetera,</p> <p>14 etcetera, etcetera.</p> <p>15 Q. What is an AMR meter?</p> <p>16 MR. DELANEY:</p> <p>17 A. An AMR meter is "automated meter read".</p> <p>18 MR. LUDLOW:</p> <p>19 A. This is a new process and it's bringing</p> <p>20 technology into metering in Canada and in</p> <p>21 effect, the whole metering industry is in a</p> <p>22 state of change, Mr. Chairman. In particular,</p> <p>23 under the leadership of Mr. Allan Johnson and</p> <p>24 Measurement Canada, he is responsible for the</p> <p>25 Weights and Measures Act. And as such, Canada</p>	<p>1 is still governed by the laws that would apply</p> <p>2 to the electro-mechanical meters which are the</p> <p>3 old springs, dials and magnets which are</p> <p>4 pretty much--well, by far the majority of what</p> <p>5 we have in our service territory. Now, the</p> <p>6 industry internationally, south of the border</p> <p>7 and Europe, has moved towards the age of</p> <p>8 electronics, Information Technology. And one</p> <p>9 of the key areas there is the ability for a</p> <p>10 meter to communicate to a remote device. And</p> <p>11 AMR provides the Utility, be it a water meter</p> <p>12 or in our case an electricity meter, to</p> <p>13 communicate through--I'm not sure if it's the</p> <p>14 right word, but Mr. Kennedy you'd know more</p> <p>15 about this, a wireless modem by VHF or by</p> <p>16 radio signal or some kind of signal back to a</p> <p>17 remote site and you can group read a meter.</p> <p>18 For example, in this case, I could read</p> <p>19 Sobey's meter from here through the proper</p> <p>20 hand held device. My signal would go out, it</p> <p>21 would download its information back to me.</p> <p>22 The problem that has come in is that the</p> <p>23 regulatory regime in Canada is still based on</p> <p>24 the government re-test order process which is</p> <p>25 a six year sampling. And that's what's</p>

Page 9	Page 10
<p>1 MR. LUDLOW: 2 described in PUB-42 under the item number one. 3 That is the sampling process to ensure the 4 accuracy of meters. Right now, personally, 5 I'm Chairing this for the utilities in Canada 6 on the issue of regulatory change regarding 7 electronic meters. And as such, to get that 8 regulation changed such that the sampling and 9 testing protocol, as it applies to electro- 10 mechanical meters, does not apply to the AMR. 11 But today, and that's an engineering term, but 12 today, under the laws of the land, it still 13 applies. So we have to be very cautious as to 14 how we migrate into the AMR piece. 15 So, right now, that's underway. The next 16 stage of this would be AMT, which permits 17 services of disconnects and other services 18 that a utility would use. That is not what's 19 being proposed here. Safety and access, to 20 give you an example, has been the driver of 21 our process here for AMR. Example being, 22 early first quarter this year, a meter reader 23 broke his leg in two places. Effectively, I'm 24 not sure if he fell into the stairwell that 25 was covered with ice, cased with snow, or snow</p>	<p>1 cased with ice. Dogs--I know in a GRA here I 2 had a lot of grilling on the issue of use of 3 binoculars for reading meters due to 4 inaccessible backyards. Those would be the 5 types where we would bringing AMR into place. 6 Q. I just wonder if we could go back for a moment 7 to B36 on that application itself, actually, 8 the second page of that. 9 MR. LUDLOW: 10 A. B37 - 11 Q. It would be actually B37, yes. There we go, 12 second page, yes. Okay the paragraph under 13 "Operating Experience" says "The purchase of 14 new meters", I guess that's "are necessary to 15 accommodate customer growth and to replace 16 deteriorated meters. The quantity of meters 17 for a new customer is based on the company's 18 forecasted customer growth. Quantity for 19 replacement purposes is determined using 20 historical data for damaged meters and 21 sampling results from previous years." Okay, 22 so then when we look at the project cost for 23 the period 1999 to 2003, self-evident 560, 24 564,000 and so on up to 674,000 for the last 25 two years; 2002 and 2003, if we can just go</p>
Page 11	Page 12
<p>1 back a page, the proposal for this year is a 2 1,174,000. Then we're back in 2005 to more 3 normal; 700,000, if I could say that. And the 4 forecast for the following three-year period 5 is similar. So could you explain to me what's 6 driving the cost up this year to a 1,174,000 7 above what would appear to be your historical 8 averages, if as it's stated under the 9 "Operating Experience", the quantity for 10 replacement purposes is determined using 11 historical data? 12 MR. DELANEY: 13 A. The million one seventy-four, of course, 14 includes the AMR meters that were installed in 15 2004 at a price of \$360,000. The amount for-- 16 and that's a replacement program to handle 17 safety issues, access issues. The regular 18 Domestic which would be more in line with the 19 history, in terms of regular replacements for 20 GROs and installations for new customers, that 21 value is \$814,00. And it's based on the 22 customer growth. 2004 we see it to be a high 23 year for customer growth and that's the 24 answer. The spike or the increase is mostly 25 due to AMR.</p>	<p>1 Q. Now your customer growth is only in the order 2 of one or two percent a year, but your budget 3 is up for this item, almost 50 percent. Or 4 more than that, 100 percent. 5 MR. LUDLOW: 6 A. The government re-test order process is not 7 something that we control, I'll start with 8 that point as well. And the government re- 9 test order process is based upon a series of 10 specifications, testing and sampling dictated 11 by the federal government under their 12 regulatory regime. It will, in fact, hit the 13 various types, makes and batches of meters 14 that go back six, eight, ten years ago and 15 they will in turn say you pull X number of 16 meters and depending upon the failures, then 17 it will determine where you go with respect to 18 change-out of those meters. So that is 19 something--well, that's basically the way it 20 is operating. It is purely a statistical 21 sample and order process, then moving to the 22 change out or customer sampling order which is 23 the basis of that test procedure. Now, it 24 hasn't changed in the last three, four years, 25 that is one factor affecting it. And as Mr.</p>

Page 13	Page 14
<p>1 MR. LUDLOW: 2 Delaney did say, in the area of AMR, we do 3 have a problem with respect to reading meters. 4 MR. KENNEDY: 5 Q. Okay. 6 MR. LUDLOW: 7 A. And with respect to the safety of our 8 employees, that is first and centre. 9 Q. Sure. And just before we get to that safety 10 issue, I just wanted to look at the cost a 11 little bit more. I'm wondering if we could 12 turn to, and I believe you just had the 13 numbers there, but it might assist the panel 14 to see where they can find them. And this is 15 in Volume III, Distribution, Appendix I, 16 that's it. So this is where we have the 17 breakdown between the regular domestic meters 18 and associated equipment costing 814 and the 19 AMR safety and access costing 360,000. Are my 20 calculations right that if you're replacing 21 8,000--purchasing 8,000 new regular domestic 22 meters and the project cost is \$814,000, does 23 that work out to 100 bucks a meter, roughly? 24 MR. LUDLOW: 25 A. Two things. First of all your Math is--I</p>	<p>1 don't usually bring calculators with me any 2 more, I learned that a long time ago here. 3 But I would think your Math is pretty much in 4 the ballpark. I would think, as well--but 5 there's a point to be remembered here and in 6 my first explanation, I didn't bring it up. I 7 refer you to your screen in front under "A" is 8 regular Domestic meters and associated 9 equipment. And the associated equipment 10 that's involved here would include things such 11 as--what's a word that's going to make sense-- 12 metering tanks or totalizers or current 13 transformers. Mr. Chairman, by far the bulk 14 of this category is new meters, but there is 15 equipment involved with metering that's in 16 here as well. And the reason it is here, it 17 has always been here and what has happened, we 18 have been finding that some of our metering 19 tanks have been failing. In the past number 20 of years we have revised our metering 21 accordingly. But, this then brings in new 22 equipment. This category of domestic meters 23 and associated equipment, you need to be 24 careful, it is not just straight meters. The 25 cost of a new AMR meter, if it will be</p>
Page 15	Page 16
<p>1 helpful, is approximately \$86 and the cost of 2 a domestic meter would be approximately, I'd 3 give it - 4 MR. DELANEY: 5 A. \$35.00. 6 MR. LUDLOW: 7 A. \$35.00. I don't know if that will help your 8 calculation, Mr. Kennedy. 9 Q. Sure, because if we take the 360 and we divide 10 it by the 3,000 new AMR meters, you get 11 \$120.00 a meter. So - 12 MR. DELANEY: 13 A. There's another component that we have to look 14 at. It's the balance of demand meters inside 15 of that equation. And the difference between-- 16 a demand meter is a meter that we put on a 17 general service customer, a customer with much 18 higher load where we could measure the demand. 19 And in the AMR balance of 3,000 meters, 20 there's only 100 demand meters involved there, 21 whereas in the 8,000 domestic meters, except 22 for the regular meters, there's 800 demand 23 meters. So you'd have to, in terms of doing 24 your calculation as to what the per unit cost 25 was, you'd have to look at that demand meter</p>	<p>1 component within the two groups as well. And 2 to give you an example there, an AMR demand 3 meter costs \$600 as opposed to the regular AMR 4 meter which is \$85 or \$86 and a regular 5 domestic meter would cost \$300 as opposed to-- 6 a regular domestic demand meter would cost 7 \$300 versus 37, 35 dollars for the regular 8 non-demand meter. 9 Q. So it's clear then that the AMR meters are, 10 even on a unit basis, can be significantly 11 more than the cost of a regular meter. 12 MR. DELANEY: 13 A. Yes, that's correct. 14 Q. Okay. And the rationale provided or 15 justification provided for the purchase of 16 these more expensive AMR meters is for the 17 safety of your workers? 18 MR. DELANEY: 19 Q. Two issue here, Mr. Chairman. It's safety and 20 access. And first of all, it is in the area 21 of safety. Again, I gave an example, there 22 are others. And the access problem is in the 23 area of, I'm going to use the word at the 24 danger of it probably coming back to me, it's 25 the estimating area. We are finding areas</p>

Page 17	Page 18
<p>1 MR. DELANEY: 2 that it's near impossible to get access to, 3 either without going over fences or through 4 people's houses and also some houses that have 5 internal meters that we just can't read. So 6 that's the basis of the two-prong drivers 7 behind those 3,000 meters. 8 Q. Okay, if we could go to NLH-67 and NLH-67 9 asked to describe the employee safety 10 improvements that would be obtained by using 11 the new AMR meters, "Please list and describe 12 any significant safety incidents that have 13 occurred in the past five years that could 14 have been prevented by use of an AMR." And 15 the reply goes on to describe the safety and 16 access issues that you've just described, Mr. 17 Ludlow. Let's just leave the access issue 18 aside for the moment and just look at the 19 safety issue. Now, the question asked for, 20 "Please list and describe any significant 21 safety incidents that have occurred in the 22 past five years." The reply to that seems to 23 begin at line 19, "There have been a number of 24 incidents reported over the past five years." 25 Now that's not in reply to the question, is</p>	<p>1 it. The question asks "how many in the past 2 five years", so was it that that number is not 3 tracked by Newfoundland Power or is there a 4 reason why Newfoundland Power didn't provide a 5 clear answer to that question? 6 MR. LUDLOW: 7 A. Bear with me one second, Mr. Kennedy, please. 8 MR. KENNEDY: 9 Q. Okay. 10 MR. LUDLOW: 11 A. It's my understanding, Mr. Chairman, that the 12 question reads, "Please list and describe any 13 significant safety incidents that have 14 occurred in the past five years that could 15 have been prevented by the use of AMR." And 16 then we actually provided the individual 17 incidents and described them--am I missing 18 your question, Mr. Kennedy? 19 MR. KENNEDY: 20 Q. Yes, I think so because I guess the question 21 then is, is this an all inclusive list of the 22 incidents in the past five years that 23 Newfoundland Power feels could have been 24 avoided by using AMR meters. And if not, then 25 it wasn't an answer to the question that was</p>
Page 19	Page 20
<p>1 asked. 2 MR. LUDLOW: 3 A. I think the hinge of this question and the 4 answer may be on "significant". When we talk 5 in terms of accidents, we usually have a 6 tendency to talk in terms of end results. 7 These that I read here in my scan, represent 8 lost time injuries or time that was not--the 9 employee was not available for the next 10 regular scheduled shift, rather than medical 11 aid injuries, slips, trips, falls, soft-tissue 12 injuries, as well as replacements to other 13 jobs. And that's basically--it's certainly 14 not intending to be misleading, Mr. Chairman. 15 When we talk about significant accidents, we 16 have a tendency to lean towards the lost time 17 end. 18 MR. KENNEDY: 19 Q. Okay, so - 20 CHAIRMAN: 21 Q. Are you saying, Mr. Ludlow--excuse me - 22 MR. KENNEDY: 23 Q. Yes, sure. 24 CHAIRMAN: 25 Q. - that a punctured tire would be considered</p>	<p>1 significant, but a soft-tissue injury would 2 MR. KENNEDY: 3 not? 4 MR. LUDLOW: 5 A. No. I guess where I was going there, Mr. 6 Chairman, as I read through these, if you'd 7 bear with me a second here, a dog was bitten 8 by a meter reader (sic.)--I think I said that 9 backwards again. I hope the record gets 10 corrected on that. I have the distinct feeling 11 I'm going to hear that again. 12 MR. KENNEDY: 13 Q. Possibly once. 14 MR. LUDLOW: 15 A. Sorry. Let's try again. The meter reader was 16 bitten by a dog. In that case, that was a 17 Newfoundland dog that effectively, almost 18 removed the calf of a meter reader. So what I 19 was getting in that point, in the case of a 20 soft tissue injury, Mr. Chairman, what I was 21 saying is if the meter reader slipped and had 22 a sprained shoulder, he could be displaced to 23 other work or would be put in other areas. So 24 I wasn't demeaning the seriousness of the 25 injury, but in this answer we've provided</p>

Page 21	Page 22
<p>1 MR. LUDLOW: 2 primarily what I would call the more 3 substantive lost time injuries which is the 4 way we would refer to these. And I'm trying 5 to get that balance in place. 6 (9:40 a.m.) 7 MR. KENNEDY: 8 Q. Okay, but for instance, the second reply 9 there, "In May 2002 a meter reader suffered a 10 knee injury as a result of falling into a 11 snow-covered fence post hole." Now, that's 12 not an access issue, that's just a hidden 13 danger issue, correct? 14 MR. LUDLOW: 15 A. That's a fair assessment. 16 Q. So, it's not a safety issue that could have 17 been resolved by the introduction of an AMR 18 meter, unless you have an AMR meter on every 19 single house. 20 MR. LUDLOW: 21 A. In this case, I have no idea where the fence 22 post hole was and, generically, the way you're 23 presenting it, or Mr. Kennedy is presenting 24 it, Mr. Chair, I would have to agree. 25 However, in this case, I don't know where this</p>	<p>1 was, if this was the case of an enclosed 2 fence, then I would say an AMR meter would 3 have prevented it. 4 MR. KENNEDY: 5 Q. And the third one, "In March 2003, a meter 6 reader slipped on an incline and landed on his 7 back", but that really doesn't tell us whether 8 the incline was of such a nature that it was 9 an obvious danger that you would have wanted 10 to avoid in the access issue. But it doesn't 11 speak to how an AMR meter would have solved 12 that issue, does it? 13 MR. LUDLOW: 14 A. No, I agree again with you that the wording 15 presented in the response does not speak to 16 whether this is a generic response or a 17 specific one. 18 Q. And number one and number four are dog issues. 19 So in the case where there's a dog that's 20 preventing you from being able to have 21 unencumbered access to someone's premises so 22 that they can read the meter, is that not the 23 problem of the person with the dog rather than 24 all of our problems by having to foot the bill 25 for more expensive meters to be put in their</p>
Page 23	Page 24
<p>1 house so we don't encounter the dogs? 2 MR. LUDLOW: 3 A. It's a good question, Mr. Kennedy. But, Mr. 4 Chairman, in reality, and I would say here, 5 the amount of work and effort and the number 6 of dogs that are actually connected to meter 7 bases in this province is incredible. And as 8 you move around, it's one thing to sit here 9 and say yes, we get the dog put down. I'm 10 sorry, we've tried that, that don't work. 11 We've tried to get the dogs removed. Then we 12 estimate the meters. But that can only go on 13 for so long. And in effect, the ones that are 14 highlighted here, are, you know, a few of the 15 dog bites that we've gone into. This whole 16 issue of dogs and meter readers and if you 17 want to expand that to post--I'm going to say 18 postman, no sexist comment--postal workers, 19 the same type of problems they're running 20 into. Now the reality of this is, this is 21 much broader than just AMR and dogs. This is 22 a by-product of it. 23 Q. But wasn't it the case that Newfoundland Power 24 applied and received approval for purchasing 25 these dog umbrellas a couple of years ago that</p>	<p>1 you were going to hand out to your meter 2 readers, which I believe the Company indicated 3 were working quite well in order to fend off 4 dog attacks? 5 MR. LUDLOW: 6 A. That's correct, called a bit terminator. 7 Q. And so this is another project that's based on 8 dog bites? 9 MR. LUDLOW: 10 A. No, sir, I think the extension, Mr. Chairman, 11 that's been applied here is incorrect. This 12 is--we were asked to respond to one question 13 that dealt with the injuries that would have 14 been prevented. This project is being based 15 upon two issues: safety and access. 16 Q. Okay, let's go to the access - 17 MR. LUDLOW: 18 A. No, let me--if I may finish please. The 19 safety of our meter readers is something that 20 is front and center. Getting to those back 21 lots to read in a summer day is one thing; 22 climbing fences is prohibited. These are the 23 trouble spots we're into. So this is not 24 hinged purely on safety, but it is certainly a 25 factor.</p>

Page 25	Page 26
<p>1 MR. KENNEDY:</p> <p>2 Q. Okay, so let's just go to the access issue,</p> <p>3 we've got NLH-67 up, yes. And it's the second</p> <p>4 sentence in the reply. "These locations</p> <p>5 include back lot developments, row housing</p> <p>6 with fenced back yards, lots bordering on</p> <p>7 treed areas or slopes, inside meters, raised</p> <p>8 meter locations accessed by stairs or patios</p> <p>9 and customer specific issues, such as locked</p> <p>10 gates and roaming dogs." Okay, so the dogs</p> <p>11 are not an access issue per se, that's a</p> <p>12 safety issue?</p> <p>13 MR. LUDLOW:</p> <p>14 A. Well, I guess one could turn into the other,</p> <p>15 Mr. Kennedy.</p> <p>16 Q. Fair enough. But in the case of back lot</p> <p>17 developments and row housing with fenced back</p> <p>18 yards, who is it that decides where the meter</p> <p>19 goes in order for a meter reader to be able to</p> <p>20 have access to it?</p> <p>21 MR. DELANEY:</p> <p>22 A. That would be a decision that we would make,</p> <p>23 our engineering technicians. And we very</p> <p>24 much, with respect to the location of the</p> <p>25 meter, is probably the biggest criteria in</p>	<p>1 terms of location of the meter, where do you</p> <p>2 put the meter on the house? And we strive to</p> <p>3 put the meter on the side of the house to make</p> <p>4 it as easy and accessible as possible for the</p> <p>5 meter readers.</p> <p>6 Q. If a meter is inaccessible by virtue of being</p> <p>7 inside a building, is that meter installed by</p> <p>8 Newfoundland Power?</p> <p>9 MR. DELANEY:</p> <p>10 Q. Meters inside buildings, many of these, in</p> <p>11 terms of domestic residences, some of these</p> <p>12 inside meter installations dated from early</p> <p>13 60's, date from way back. It is not a modern</p> <p>14 thing that we do at all in the last large</p> <p>15 number of years. Now in the case of</p> <p>16 commercial properties, meters are typically</p> <p>17 located inside--in terms of a commercial</p> <p>18 property with multiple customers, there are</p> <p>19 designs where the meters are intentionally put</p> <p>20 inside, in an electrical room and we would</p> <p>21 have access with keys in that case.</p> <p>22 CHAIRMAN:</p> <p>23 Q. Such as, can you give me an example?</p> <p>24 MR. DELANEY:</p> <p>25 A. Such as a mall where you may have individual</p>
Page 27	Page 28
<p>1 services for each store in the mall, so the</p> <p>2 electrical inside would be--now an inside</p> <p>3 meter.</p> <p>4 MR. KENNEDY:</p> <p>5 Q. But you're not--it's an inside meter, but</p> <p>6 you're not prevented from having access to</p> <p>7 those meters if it's in a mall?</p> <p>8 MR. DELANEY:</p> <p>9 A. No, not in that case, that wouldn't be an</p> <p>10 example of a problem with access.</p> <p>11 Q. Right.</p> <p>12 A. Not unless we - no, okay.</p> <p>13 Q. You just mentioned there that some of these</p> <p>14 meters date back to the 60's. What would be</p> <p>15 the average life of a meter, a regular</p> <p>16 domestic meter?</p> <p>17 MR. LUDLOW:</p> <p>18 A. Domestic meter could run, the average life of</p> <p>19 the entire population we have? I'm sorry, I</p> <p>20 don't have that, Mr. Chairman.</p> <p>21 Q. What's the expected life, yeah, of a -</p> <p>22 MR. LUDLOW:</p> <p>23 A. I would suggest we can get fifteen years,</p> <p>24 possibly a little longer, twenty.</p> <p>25 Q. Do you know what the depreciation rate is on</p>	<p>1 your meter category?</p> <p>2 MR. LUDLOW:</p> <p>3 A. I would have no idea, that's one that I would</p> <p>4 defer to Mr. Perry.</p> <p>5 Q. Would you be able to provide that to us, kind</p> <p>6 of an undertaking to have the depreciation</p> <p>7 rate for the meter classification and your</p> <p>8 asset and your rate base - (undertaking)</p> <p>9 MR. DELANEY:</p> <p>10 A. Sure.</p> <p>11 MR. LUDLOW:</p> <p>12 A. Yes, Mr. Chairman.</p> <p>13 Q. If I'm calculating correctly, if you're</p> <p>14 replacing 11,000 meters and you have roughly</p> <p>15 212,000 customers, then you've got about a 5.2</p> <p>16 percent replacement rate based on those</p> <p>17 numbers?</p> <p>18 MR. DELANEY:</p> <p>19 A. Well with the AMR project in there. Now the</p> <p>20 AMR project is for 2004, you do not see the</p> <p>21 AMR beyond 2004.</p> <p>22 Q. Okay. So we would go back to more normal</p> <p>23 8,000 meters being replaced each year?</p> <p>24 MR. DELANEY:</p> <p>25 A. That's what is indicated in the forecast, yes.</p>

Page 29	Page 30
<p>1 MR. LUDLOW:</p> <p>2 A. Mr. Chairman, there's a point on this</p> <p>3 regarding the access that I would like to add,</p> <p>4 if I may at this point, regarding General</p> <p>5 Service Customers at that point. When we</p> <p>6 speak in terms of access, it's not that the</p> <p>7 access is not necessarily available in the</p> <p>8 General Service, however, we maintain locked</p> <p>9 boxes of keys to the tunes of hundreds of</p> <p>10 keys. For example, pubs on George Street,</p> <p>11 stores on Water Street and that in itself is</p> <p>12 posing significant--I wouldn't call it</p> <p>13 responsibility, I'm not shy of responsibility,</p> <p>14 but is getting in, getting through it, the</p> <p>15 organization, the timing and all of those</p> <p>16 issues are part of this access issue in the</p> <p>17 General Service side, by far the minority</p> <p>18 represented here. The Domestics, they go back</p> <p>19 and any house that was built back in, I would</p> <p>20 go up to the early--late 60's would be</p> <p>21 interior. It is a fair statement, we inform</p> <p>22 the customer where to attach the meter and the</p> <p>23 service to the house, but it is not a fair</p> <p>24 assessment to say that we tell them where to</p> <p>25 build their fences. The meters when the</p>	<p>1 places are built in row housing, an example is</p> <p>2 being Cumberland Crescent, you can go up to</p> <p>3 Cowen Heights area in some areas, the meter,</p> <p>4 when a house is built, is easily read. But</p> <p>5 after development by the landowners and the</p> <p>6 control of fencing that goes back in a cube or</p> <p>7 a square, it's impossible to access without</p> <p>8 going through the house.</p> <p>9 Q. Okay, which takes a longer period of time?</p> <p>10 MR. LUDLOW:</p> <p>11 A. Which is sometimes impossible to do, first of</p> <p>12 all, because it's in the wintertime, the meter</p> <p>13 reader, first of all--you want the logistics,</p> <p>14 we've got creepers, ice--what's the word I'm</p> <p>15 looking for, something to increase the</p> <p>16 friction (phonetic) on ice shoes. Footwear,</p> <p>17 assuming there's someone home, you might get</p> <p>18 through the house. Now, timing of that, I</p> <p>19 don't mind having someone take their boots</p> <p>20 off, that's not my point. The reality is if</p> <p>21 they're not home, we can't get the reading, so</p> <p>22 that becomes--I want to clarify the point</p> <p>23 about location of meter verses when a house is</p> <p>24 built verses where it is today and</p> <p>25 accessibility today. And it is a very</p>
Page 31	Page 32
<p>1 important point.</p> <p>2 Q. Sure, but if we're just dealing with access</p> <p>3 and not safety, then the introduction of AMR</p> <p>4 meters in order to improve access so that</p> <p>5 you're more efficient in the meter reading</p> <p>6 process -</p> <p>7 MR. LUDLOW:</p> <p>8 A. And accurate, sorry, I didn't mean to</p> <p>9 interrupt you.</p> <p>10 Q. No. Would that then not require Newfoundland</p> <p>11 Power to provide a net present value</p> <p>12 calculation to show that spending this money</p> <p>13 now on AMR meters is going to save money later</p> <p>14 by increasing your operational efficiency in</p> <p>15 regards to meter reading?</p> <p>16 MR. LUDLOW:</p> <p>17 A. Well, can an NPV be presented on the fact of</p> <p>18 operational efficiency alone, Mr. Chairman?</p> <p>19 I'm sure that we can look at the operational</p> <p>20 efficiency; however, where this becomes a real</p> <p>21 issue is what operational efficiency and value</p> <p>22 do we put on multiple estimates as a result of</p> <p>23 not being able to make contact with those</p> <p>24 meters and read them. And what value do I put</p> <p>25 on that person's leg in the safety side. So</p>	<p>1 do I do an NPV on the AMR meter, which is</p> <p>2 based on one third of the parameters? In my</p> <p>3 view, that is inappropriate.</p> <p>4 Q. Okay, I'd like to change topics if I could,</p> <p>5 and I'd just like to look at part of the</p> <p>6 project under your distribution reliability</p> <p>7 initiatives involving a lightening arrester</p> <p>8 project, and if we go to volume 3 and it's</p> <p>9 under "Distribution", appendix 2, let me look</p> <p>10 at that first. If we could just scroll down a</p> <p>11 little bit please. Okay, the total project</p> <p>12 costs for this rebuilding distribution lines</p> <p>13 is, on the feeder upgrade portion of the total</p> <p>14 project is \$2,802,000.00. And if we just</p> <p>15 scroll down, you'll see that under "Operating</p> <p>16 Experience, see the following reports</p> <p>17 outlining the deficiencies associated with</p> <p>18 various components." And then one of them is</p> <p>19 distribution lightening arresters. I'm going</p> <p>20 to look at the details of that in a moment,</p> <p>21 but I'm just wondering would you have at the</p> <p>22 ready there how much of this \$2,802,000.00 for</p> <p>23 feeder upgrades relates specifically to the</p> <p>24 installation of lightening arresters?</p>

Page 33	Page 34
<p>1 MR. DELANEY:</p> <p>2 A. The amount, I don't have the exact number, but</p> <p>3 we're looking in the ballpark of \$300,000.00.</p> <p>4 (9:55 a.m.)</p> <p>5 Q. Okay, thank you, Mr. Delaney. Okay, let's</p> <p>6 just look then to the specifics for the</p> <p>7 lightening arrester which would be under</p> <p>8 Attachment B, and as I understand it and as I</p> <p>9 think has been indicated in a response to an</p> <p>10 RFI, the principle--the support or rationale</p> <p>11 for this project is economic?</p> <p>12 MR. LUDLOW:</p> <p>13 A. Yes.</p> <p>14 Q. Now the report that we have under that</p> <p>15 Attachment B, provides some details about</p> <p>16 what's occurring, what has occurred in the</p> <p>17 past and so on, and then it conducts some</p> <p>18 present worth calculations and provides some</p> <p>19 alternatives. And if we turn to page 3, okay,</p> <p>20 so as indicated under the heading "Transformer</p> <p>21 Failures Due to Lightening", the second</p> <p>22 paragraph there, it says, "Over the past 13</p> <p>23 years, Newfoundland Power has lost in excess</p> <p>24 of 1,500 transformers that have failed due to</p> <p>25 lightening, with approximately 700 of these in</p>	<p>1 the last five years and the annual number of</p> <p>2 units that have failed range from a low of 22</p> <p>3 units in 2000 to a high of 323 units in 2002.</p> <p>4 And the average over the past five years has</p> <p>5 been 139." And this translates to an average</p> <p>6 annual cost in excess of \$300,000.00 per year</p> <p>7 and as per the foot note, it's based on the</p> <p>8 unit cost from Appendix A and 139 units. I</p> <p>9 wonder if we could, just for a moment, go to</p> <p>10 PUB-132. And so as per the reply to PUB-132,</p> <p>11 this was the actual lightening cost failure</p> <p>12 rate and transformers for each of the five</p> <p>13 years that were referenced in that paragraph,</p> <p>14 1990--well this was 1998 to 2002, and is it</p> <p>15 fair to say looking at that table or do you</p> <p>16 agree with the statement that much like</p> <p>17 lightening itself, these are rather erratic</p> <p>18 results in the sense that there doesn't seem</p> <p>19 to be any trend or predictability to the</p> <p>20 number of transformer failures that may occur</p> <p>21 in any given year or over any period of time</p> <p>22 based on lightening strikes?</p> <p>23 MR. DELANEY:</p> <p>24 A. Looking at the period 1998 to 2002, we see two</p> <p>25 years with a lot of failures, the 254, 323</p>
Page 35	Page 36
<p>1 failures and three years with a small number</p> <p>2 of failures for an average of, I think it's</p> <p>3 139 or 140. That's a five-year period and</p> <p>4 there's a great variance there. If we were to</p> <p>5 look at NLH-48, Newfoundland and Labrador</p> <p>6 Hydro asked the same sort of question and it</p> <p>7 gives a bit more history.</p> <p>8 Q. Okay.</p> <p>9 MR. DELANEY:</p> <p>10 A. Here we have the lightening--the distribution</p> <p>11 transformer failures going back to 1993, which</p> <p>12 show a little bit more pattern to the data,</p> <p>13 showing that 99, 2000, 2001 were</p> <p>14 extraordinarily low in the context of a ten-</p> <p>15 year pattern, so coming out of that, we have</p> <p>16 an average over the ten years of about 140.</p> <p>17 Q. And when you say about 140 as an average,</p> <p>18 that's just a simple average of that ten-year</p> <p>19 period?</p> <p>20 MR. DELANEY:</p> <p>21 A. Yeah, it's somewhere around there, and as a</p> <p>22 matter of interest, so far in 2003, we've</p> <p>23 experienced 140--exactly 140 distribution</p> <p>24 transformer failures due to lightening--that's</p> <p>25 so far.</p>	<p>1 Q. Sure. And the report itself that we were just</p> <p>2 looking at, the Arrester Report at page 2,</p> <p>3 said "While it may be difficult to predict</p> <p>4 whether long-term weather and lightening</p> <p>5 patterns in Newfoundland are changing, it</p> <p>6 certainly appears that the incident and</p> <p>7 severity of lightening, at least in certain</p> <p>8 areas of the province, have increased over the</p> <p>9 past decade." So could I ask and I assume</p> <p>10 you're not the author of this report,</p> <p>11 obviously, but what forms the basis of the</p> <p>12 conclusion that it certainly appears that the</p> <p>13 incidence and severity of lightening, at least</p> <p>14 in certain areas of the province, has</p> <p>15 increased over the past decade? I don't see</p> <p>16 that in NLH-48 or in the previous one that we</p> <p>17 were looking at.</p> <p>18 MR. DELANEY:</p> <p>19 A. Yeah. To give some--in a way, that answer is</p> <p>20 somewhat antidotal, but there is some math</p> <p>21 behind it and that's referred to in NLH-51, a</p> <p>22 RFI from Hydro, where I can read the last</p> <p>23 sentence which basically says the average</p> <p>24 number of transformer failures due to</p> <p>25 lightening over the past 13 years has been</p>

Page 37

Page 38

1 MR. DELANEY:

2 about 115, while over the last five years the
3 average has increased to 140. So that's some
4 substance behind that statement.

5 Q. But then the previous paragraph to that reply
6 in the second sentence, or actually the first
7 sentence, you go, "Other than information
8 related to transformer failures due to
9 lightening activity, Newfoundland Power does
10 not have any other evidence to support the
11 proposition that the incidence and severity of
12 lightening related damage in certain areas of
13 the province has increased over the past
14 decade, or that there will be an increasing
15 trend in the future."

16 MR. DELANEY:

17 A. Yeah, and the only evidence we have, we go on
18 to say is the comparison of the averages based
19 on how long you're going to look back.
20 Thirteen years, the average is lower than the
21 average in the last five years.

22 Q. Okay, now I'm not a statistician, thank God,
23 but it seems to me that using simple averages
24 to determine the likelihood of a lightening
25 strike in a given year, based on the data as

1 provided in NLH-48, for instance, would seem
2 to be rather simplistic, would you agree, when
3 the data is that erratic, would you not
4 normally use a more sophisticated tool to
5 determine whether there's trend lines or
6 normalizing the data somehow?

7 MR. DELANEY:

8 A. Like yourself, Mr. Kennedy, I'm not a
9 statistician either, so I would not be able to
10 answer that question.

11 Q. Okay.

12 MR. LUDLOW:

13 A. Could I just help a little, if I may, on this
14 one?

15 Q. Go right ahead.

16 MR. LUDLOW:

17 A. If we look at lightening, we base this here on
18 our past practice of installing lightening
19 arresters on distribution transformers and we
20 have not done it. That was a decision we made
21 back in the '60s and '70s. And what we are
22 finding that by the very nature of lightening
23 hits, it's happening in the summer time, it's-
24 -I guess nature is sporadic--but it's diverse.
25 I've spent myself, 20 odd years in this

Page 39

Page 40

1 business and I can speak personally, although
2 anecdotally, that we are getting a lot of
3 lightening in the last three or four years and
4 in particular spots. And that's where we
5 started this process back around 1995 was to
6 select individual areas, the Grand Falls area,
7 the Lethbridge area, Stephenville area, parts
8 of Conception Bay. But as we look at how to
9 move forward with this process, straight
10 averages, I would agree is not the best tool.
11 Should we be using correlations? I don't
12 know. But at the end of the day the
13 incremental cost to a pole mounted transformer
14 is \$53.00 approximately to put the lightening
15 arrester in place, to protect that unit.

16 Now, as we go--that's for new units as we
17 move forward, Mr. Chairman, 53, it's in that
18 range anyway.

19 MR. DELANEY:

20 A. On the unit that cost approximately \$2,000.00.

21 MR. LUDLOW:

22 A. Then as we go through and do our distribution
23 system sweeps and inspections, we go by these
24 transformers and not to put them into that
25 type of unit when you're already up there at

1 the unit, logically is the time to move and do
2 this and it is a sound decision, both
3 engineering, catastrophic failure of these
4 units. Let me give an example, Mr. Chairman.
5 In, about three weeks ago, maybe a month ago,
6 a very severe storm went through the
7 Placentia, Argentia area and came up through
8 the bottom, I do believe of either Trinity Bay
9 or Conception Bay. We lost a fair number of
10 transformers. Now, there was probably a 100
11 to 150 fuses open, a lineman climbs that pole,
12 closes the switch on the hope that he hasn't
13 got a catastrophic failure within that tank.
14 What we have been finding, in the areas where
15 we have installed lightening arresters in the
16 past few years, we have a had a minute number
17 of failures of those transformers. The number
18 escapes me, but I've got seven in the back of
19 my head. It's a very small number. And of
20 those seven, many of them were direct hits.
21 So, we weren't looking for the arresters, we
22 were looking for the tops and the bushings and
23 the coils of the transformer that had
24 literally blown out of the pole. So, putting
25 that together, combining simple arithmetic

Page 41	Page 42
<p>1 MR. LUDLOW:</p> <p>2 averages with the anecdotes of long service</p> <p>3 employees and field experience, that's how we</p> <p>4 arrived at our movement forward, combining</p> <p>5 that with our distribution and liability</p> <p>6 issue.</p> <p>7 Q. Okay. Ultimately through, as you indicated</p> <p>8 earlier, the justification for this project</p> <p>9 has to be one base--justification is</p> <p>10 reliability, but the analysis ultimately has</p> <p>11 to be economic</p> <p>12 MR. LUDLOW:</p> <p>13 A. I agree.</p> <p>14 Q. Okay. And as is indicated in the cost</p> <p>15 estimates that are attached as Appendix A to</p> <p>16 the Arrester Lightning Report. All right, if</p> <p>17 we could just go through that so that I make</p> <p>18 sure that I understand this correctly. So,</p> <p>19 here what we're doing is we're calculating the</p> <p>20 number of transformers lost in 2002 lightning</p> <p>21 storms. And it's footnote there after</p> <p>22 "Transformers Lost", it's the number of</p> <p>23 transformers represents losses from August 13</p> <p>24 to August 27, 2002 and the number is 233,</p> <p>25 correct.</p>	<p>1 MR. DELANEY:</p> <p>2 A. That's correct.</p> <p>3 Q. Okay. Now, is there a reason why you use 233</p> <p>4 transformers lost when P.U.B 132 indicated in</p> <p>5 2002 it was 323 transformers lost?</p> <p>6 MR. DELANEY:</p> <p>7 A. The reason we use that number is to get us the</p> <p>8 most accurate indication that we could of what</p> <p>9 the transformer, the cost of replacing a</p> <p>10 transformer. During that period we had severe</p> <p>11 lightening storms coming through Newfoundland,</p> <p>12 through central Newfoundland. And in terms of</p> <p>13 the testing the economics on this, we thought</p> <p>14 that this would represent the lowest cost or</p> <p>15 if it was a conservative estimate in</p> <p>16 determining replacement of the transformer</p> <p>17 because we were engaged in replacing</p> <p>18 transformers at that time because there was so</p> <p>19 many had been lost, 233 during that week. And</p> <p>20 there's a certain economy of scale, I guess,</p> <p>21 that happens when you are at that activity and</p> <p>22 everyone is at that activity. So, the cost of</p> <p>23 replacing 233 units in one small time should</p> <p>24 be the smallest cost that you will see, rather</p> <p>25 than replacing, say, one unit at a time. So,</p>
Page 43	Page 44
<p>1 we're pretty comfortable that we've got a</p> <p>2 conservative estimate as to the per unit cost</p> <p>3 to replace a transformer.</p> <p>4 Q. Per transformer, okay. Then you do an</p> <p>5 estimate of the cost to install a lightning</p> <p>6 arrester.</p> <p>7 MR. DELANEY:</p> <p>8 A. That's correct.</p> <p>9 Q. Okay. And is this done on the same basis of</p> <p>10 this is how much it would cost if you were</p> <p>11 replacing, if you were installing lightning</p> <p>12 arresters in quantity because there's nothing</p> <p>13 to indicate that on the calculation. If we</p> <p>14 could go to the next page.</p> <p>15 MR. DELANEY:</p> <p>16 A. The material cost will not change. If you're</p> <p>17 installing arresters in quantity or if you're</p> <p>18 installing them one at a time in more of a</p> <p>19 sporadic manner. However, on the labour side</p> <p>20 of it, it will change if you are taking an</p> <p>21 organized productive approach versus</p> <p>22 installing them, so to speak, one at a time on</p> <p>23 occasion. The two cost estimates related to</p> <p>24 the labour for installing lightning arresters</p> <p>25 are based, first like I said, on just doing</p>	<p>1 that one activity. And second, it's doing it</p> <p>2 as part of a bigger project. Now, I'll have</p> <p>3 to step back and inform the Board as to why</p> <p>4 we're doing that.</p> <p>5 We will, over the next number of years,</p> <p>6 be phasing out PCBs or doing a PCB phase over</p> <p>7 our distribution feeders. And that involves</p> <p>8 visiting--I don't have the exact number--but</p> <p>9 it involves visiting a significant percentage</p> <p>10 of the distribution transformers that are in</p> <p>11 the system to test the oil in the transformer</p> <p>12 as to whether it contains PCB or not. And we</p> <p>13 have objectives in terms of getting PCBs out</p> <p>14 of the distribution system. So, Earl eluded</p> <p>15 to this earlier, that if you're at the</p> <p>16 distribution transformer testing for PCBs and</p> <p>17 it's on a feeder that's experienced, say,</p> <p>18 we've picked more than three lightening in the</p> <p>19 last number of years, last five years, it</p> <p>20 would make sense from a productivity</p> <p>21 perspective to install a lightning arrester</p> <p>22 while you're there which is a \$50.00 unit,</p> <p>23 about this high, you can install a lightning</p> <p>24 arrester while the crew is there doing the PCB</p> <p>25 inspection. As well, there are other things</p>

<p style="text-align: right;">Page 45</p> <p>1 MR. DELANEY:</p> <p>2 we're doing on feeders, sleeve replacements,</p> <p>3 cut out replacement is another thing. And we</p> <p>4 refer to this in several reports in the</p> <p>5 document. So, we've included two labour</p> <p>6 estimates in our analysis. One just going</p> <p>7 there and doing the lightening arrester.</p> <p>8 Second, which is approximately half of the</p> <p>9 original estimate for labour, is doing it in</p> <p>10 conjunction with other work. So, those are</p> <p>11 the two labour estimates on that page.</p> <p>12 Q. Okay. So, when we look at the next page, cost</p> <p>13 alternatives, if I could just look at</p> <p>14 alternative number two first and as was</p> <p>15 indicated, this alternative involving an</p> <p>16 arrester on every transformer within</p> <p>17 Newfoundland Power's service territory as a</p> <p>18 stand alone project. So, is it accurate to</p> <p>19 say that this alternative is based on a</p> <p>20 massive one time event of Newfoundland Power</p> <p>21 going out and installing lightening arresters</p> <p>22 on all 43,400 transformers that it has in its</p> <p>23 system.</p> <p>24 (10:13 a.m.)</p> <p>25 MR. DELANEY:</p>	<p style="text-align: right;">Page 46</p> <p>1 A. That's what it is, that's go out and install</p> <p>2 them. And I'll add, by the way, that we're</p> <p>3 somewhat unusual in Newfoundland not to have</p> <p>4 that already done. The vast majority of</p> <p>5 utilities in North America have lightening</p> <p>6 arresters installed on all their distribution</p> <p>7 transformers.</p> <p>8 Q. Newfoundland is an unusual place sometimes.</p> <p>9 But if we could just flip back a page. Okay,</p> <p>10 well, just before we do that, under that</p> <p>11 alternative two, you've got the average cost</p> <p>12 to install a lightening arrester is \$150.94.</p> <p>13 MR. DELANEY:</p> <p>14 A. That's correct.</p> <p>15 Q. Okay. So, if you flip back a page, as I</p> <p>16 understood it, that \$150.94 is if you were</p> <p>17 installing--it would be the labour--I guess</p> <p>18 what I'm asking is where's the \$150.00 come</p> <p>19 from?</p> <p>20 MR. DELANEY:</p> <p>21 A. It comes from a two-person crew, I think</p> <p>22 that's one hour of labour at \$63.65, that's</p> <p>23 the labour, that's the salary plus the</p> <p>24 overheads, the fringe overheads on that</p> <p>25 labour. And then we take our standard</p>
<p style="text-align: right;">Page 47</p> <p>1 percentages with respect to the cost of the</p> <p>2 line truck that goes along with that labour,</p> <p>3 the cost of the engineering which would be the</p> <p>4 set up, organization, planning of the job and</p> <p>5 the vehicles associated with the engineering</p> <p>6 to add up to \$150.00 and that's one hour of</p> <p>7 labour to install a lightening arrester.</p> <p>8 Q. Okay, but I thought that the \$78.74 was the</p> <p>9 number that we used to, that we should use to</p> <p>10 see what the cost was to install a lightening</p> <p>11 arrester if it was being conducted in an</p> <p>12 unmass, you know, if it was a massive one time</p> <p>13 project.</p> <p>14 MR. MYLES:</p> <p>15 Q. Excuse me, Mr. Chairman, there seems to be</p> <p>16 some confusion here. If I can assist it might</p> <p>17 help. There are two estimates shown on that</p> <p>18 page, not one.</p> <p>19 MR. KENNEDY:</p> <p>20 Q. Two estimates shown on which page, counsel?</p> <p>21 MR. MYLES:</p> <p>22 Q. Page two.</p> <p>23 MR. KENNEDY:</p> <p>24 Q. Cost estimate to install.</p> <p>25 MR. MYLES:</p>	<p style="text-align: right;">Page 48</p> <p>1 Q. Right, and that's where it gets down to</p> <p>2 \$150.94, just -</p> <p>3 MR. KENNEDY:</p> <p>4 Q. Yes.</p> <p>5 MR. MYLES:</p> <p>6 Q. And then the second cost estimate is a part of</p> <p>7 doing it with other work and that's your</p> <p>8 \$78.74.</p> <p>9 MR. KENNEDY:</p> <p>10 Q. Yes, I understand that. I think the witness</p> <p>11 has explained that.</p> <p>12 MR. MYLES:</p> <p>13 Q. It wasn't clear from your question.</p> <p>14 MR. KENNEDY:</p> <p>15 Q. So, the question I have, Mr. Delaney, is of</p> <p>16 those two figures, one involves the labour for</p> <p>17 \$150.94, correct?</p> <p>18 MR. DELANEY:</p> <p>19 A. Yes, that would be the labour of doing one</p> <p>20 lightening arrester on a transformer with no</p> <p>21 other project involved, sending the crew to go</p> <p>22 out and install lightening arrester on</p> <p>23 distribution transformers.</p> <p>24 Q. Okay, but does that \$150.94 then include--it</p> <p>25 doesn't include the cost of the material</p>

<p style="text-align: right;">Page 49</p> <p>1 MR. KENNEDY: 2 itself? That's just the labour, isn't it? 3 MR. DELANEY: 4 A. That's just the labour, yes, the material 5 would be \$54.67 above, it's noted above. 6 Q. Okay. 7 MR. DELANEY: 8 A. And there are two ways of looking at the 9 material cost as well, just to clarify that. 10 First, the arrester bracket, that's \$6.18, 11 that would be for a new installation that 12 comes in, new transformer. Whereas the, we 13 call it without the boss, that's for an older 14 transformer unit where we have to install a 15 different type of bracket to get the 16 lightening arrester on. 17 Q. Right, but just to go back, the \$150.94 is the 18 labour component to install a lightening 19 arrester on a pole, correct? 20 MR. DELANEY: 21 A. That's correct. 22 Q. Okay. And that would be if you're doing it on 23 a ad hoc, one-by-one basis? 24 MR. DELANEY: 25 A. That's correct.</p>	<p style="text-align: right;">Page 50</p> <p>1 Q. Okay. 2 MR. DELANEY: 3 A. That is the specific project they're going to, 4 yes. 5 Q. The material is \$54.67. 6 MR. DELANEY: 7 A. Yes. 8 Q. And that's \$54.67 independent of whether 9 you're doing it ad hoc or in mass, the 10 material is the material cost. 11 MR. DELANEY: 12 A. Right. 13 Q. Okay. The \$78.74 is what you feel it would 14 cost, material included, if you were doing it 15 on a massive scale? 16 MR. DELANEY: 17 A. No, that's not correct. 18 Q. Okay, so what's the \$78.74? 19 MR. DELANEY: 20 A. That would be the labour that we would apply 21 to the lightening arrester project if we were 22 doing it unmass in addition to other projects. 23 Q. But if you look at your table, Mr. Delaney, 24 under, it says material equals \$54.67 to total 25 \$78.74.</p>
<p style="text-align: right;">Page 51</p> <p>1 MR. DELANEY: 2 A. Oh, okay, sorry, sorry, yes, sorry. I've just 3 misread that. The material cost is \$54.67 4 including, that would be included in the 5 total. 6 Q. Right. So, we're comparing roughly \$204.00, 7 \$205.00 per lightening arrester if done ad 8 hoc, to \$78.74 if we're doing it on a massive 9 scale, is that correct? 10 MR. DELANEY: 11 A. That's correct. 12 Q. Okay. Because if we go to the cost 13 alternatives, the next page. 14 MR. LUDLOW: 15 A. Mr. Chairman, if I may just come in, when we 16 go to a pole, the lightening arrester is one 17 of maybe six projects at that pole. Fair? 18 MR. DELANEY: 19 A. There are several other projects, yes. 20 MR. LUDLOW: 21 A. Such as PCB testing, such as cut outs, the 22 sleeves and so on. And if it is done in 23 conjunction with going to the pole and 24 installing the lightening arrester, you get 25 the benefit, an economies of scale, you're</p>	<p style="text-align: right;">Page 52</p> <p>1 there. You're mobilization and demobilization 2 is significantly reduced. That's the concept 3 behind it. 4 Q. Okay. So, if we go back, this average cost to 5 install a lightening arrester, you've got 6 \$150.94 there and the number of transformers 7 is 43,400, would give you a total cost of 8 \$6,550,796.00 which is the product of those 9 two numbers, 43,400 times \$150.94 gives me a 10 total cost of \$6,550,796.00. And then you go 11 present value 30 years and I'm not sure where 12 that comes from. Could you explain what that 13 is, what the adjustment is to go from the 14 \$6,550,796 to the \$6,894,379.00. 15 MR. DELANEY: 16 A. Yes, going further on in the report in 17 Appendix B, it would be under Alternative 2, 18 there is a spreadsheet that shows the detail, 19 the present worth calculation. 20 Q. Okay. 21 MR. DELANEY: 22 A. And I can go through the intricacies of the 23 spreadsheet if you so desire. 24 Q. No, I don't think so. Just if you can give us 25 the -</p>

<p style="text-align: right;">Page 53</p> <p>1 MR. DELANEY:</p> <p>2 A. It's a present worth analysis is, you know,</p> <p>3 the big number there, the important number to</p> <p>4 look at is the weighed average incremental</p> <p>5 cost of capital and that's the rate at which</p> <p>6 you're discounting all the future cash flows</p> <p>7 back to get a present value.</p> <p>8 Q. Okay.</p> <p>9 MR. DELANEY:</p> <p>10 A. So, that's where the calculation is done in</p> <p>11 detail, is on this page.</p> <p>12 Q. Okay. So, just go back again though to, if we</p> <p>13 could, to that cost of alternatives. It would</p> <p>14 be under, I think if you just go Appendix,</p> <p>15 yes, the next page and then the next page</p> <p>16 again, cost of alternatives, there we go. So,</p> <p>17 if we just scroll down so we've got</p> <p>18 Alternative 2 and Alternative 3. Okay, so in</p> <p>19 the case of Alternative 3, you've got the</p> <p>20 number of transformers to be replaced over a</p> <p>21 five-year program, installing an arrester on</p> <p>22 every transformer would be 19,325</p> <p>23 transformers. Then use the average lightening</p> <p>24 arrester cost of \$78.74 and as we ascertain</p> <p>25 the \$78.74 is both material and labour -</p>	<p style="text-align: right;">Page 54</p> <p>1 MR. DELANEY:</p> <p>2 A. That's correct, yes.</p> <p>3 Q. - but the previous Alternative number 2,</p> <p>4 average cost to install a lightening arrester</p> <p>5 of \$150.94 is only the labour and not the</p> <p>6 material.</p> <p>7 MR. MYLES:</p> <p>8 Q. Mr. Chairman, I don't mean to interfere, but</p> <p>9 it may be appropriate to stop at this point.</p> <p>10 I think that the problem that I'm foreseeing</p> <p>11 is the manner of presentation and some</p> <p>12 confusion that's resulted from that. And</p> <p>13 maybe if I can discuss this with counsel and</p> <p>14 the witnesses, we be able to truncate this.</p> <p>15 I'm reading that material differently and</p> <p>16 we're taking a lot of time on this and I think</p> <p>17 we may be able to sort this out very quickly.</p> <p>18 CHAIRMAN:</p> <p>19 Q. Well, it's just about 10:30 in any event, so</p> <p>20 we'll take 15 minutes.</p> <p>21 MR. MYLES:</p> <p>22 Q. That's fine, chair. Thank you.</p> <p>23 (BREAK - 10:23 A.M.)</p> <p>24 (RESUME - 10:47 A.M.)</p> <p>25 CHAIRPERSON:</p>
<p style="text-align: right;">Page 55</p> <p>1 Q. Okay. Are we getting sorted out?</p> <p>2 MR. KENNEDY:</p> <p>3 Q. I believe so, Chair. Mr. Myles, counsel for</p> <p>4 Newfoundland Power, is going to address his</p> <p>5 witness in order to be able to straighten out</p> <p>6 the record before I recommence my cross-</p> <p>7 examination. We felt that would be the most</p> <p>8 appropriate thing to do, if that suits the</p> <p>9 Board.</p> <p>10 CHAIRPERSON:</p> <p>11 Q. That's fine.</p> <p>12 MR. KENNEDY:</p> <p>13 Q. Thank you, Chair.</p> <p>14 MR. MYLES:</p> <p>15 Q. Thank you. Just for the record, we are in</p> <p>16 Volume 3, Distribution Appendix 2, Attachment</p> <p>17 A, Appendix A which is entitled costs, and on</p> <p>18 page two, we have the cost estimate to install</p> <p>19 lightning arrester. Mr. Delaney, I'd like to</p> <p>20 take you through the calculations at the top.</p> <p>21 Under "material" you see a total material cost</p> <p>22 and that is how much?</p> <p>23 MR. DELANEY:</p> <p>24 A. The total material cost is \$54.67.</p> <p>25 Q. All right. Now actually to move down, two</p>	<p style="text-align: right;">Page 56</p> <p>1 lines under the heading "labour, working</p> <p>2 foreman and lineman" and that gives you a</p> <p>3 total of 48.96?</p> <p>4 MR. DELANEY:</p> <p>5 A. That's correct.</p> <p>6 Q. All right. And the next line is doing what?</p> <p>7 MR. DELANEY:</p> <p>8 A. The next line is applying the overheads to the</p> <p>9 labour, which brings it up to \$63.65 an hour.</p> <p>10 Q. And does that represent the total labour for</p> <p>11 those two people?</p> <p>12 MR. DELANEY:</p> <p>13 A. That's correct.</p> <p>14 Q. All right. So now we'll be adding that to the</p> <p>15 54.67?</p> <p>16 MR. DELANEY:</p> <p>17 A. That's correct.</p> <p>18 Q. All right. Now the next line is for the line</p> <p>19 truck and that's 13.37?</p> <p>20 MR. DELANEY:</p> <p>21 A. Correct.</p> <p>22 Q. Okay. The next two lines, they are for</p> <p>23 engineering and vehicle?</p> <p>24 MR. DELANEY:</p> <p>25 A. That's correct.</p>

<p style="text-align: right;">Page 57</p> <p>1 MR. MYLES: 2 Q. Okay. And would they be added together as 3 well? 4 MR. DELANEY: 5 A. They would be added to give a total of 6 \$150.94. 7 Q. All right. So during your cross-examination, 8 you had stated at one point that you needed to 9 add total material to the total of 150 to get 10 the total cost. Was that correct? 11 MR. DELANEY: 12 A. That's what I--yes, that's correct. 13 Q. Okay. But what is the actual total cost of 14 material and labour and all other associated 15 costs for the installation of the lightning 16 arrester? 17 MR. DELANEY: 18 A. The total cost of the material and labour for 19 the installation of the lightning arrester is 20 \$150.94. 21 Q. And is that a straight comparison to the 22 number below, showing the side total of 78.74? 23 MR. DELANEY: 24 A. Yes, that is. 25 Q. Those are apples and apples, if I can say</p>	<p style="text-align: right;">Page 58</p> <p>1 that? 2 MR. DELANEY: 3 A. The 78.74 includes material and labour plus 4 overheads. The 150.94 includes material and 5 labour plus overheads. 6 Q. All right. And when we go to the next page 7 for cost of alternatives, under "alternative 8 two" you see average cost to install a 9 lightning arrester, the 150.94? 10 MR. DELANEY: 11 A. Yes, it is. 12 Q. And that's the correct number? 13 MR. DELANEY: 14 A. That's the correct number. 15 Q. And that's total material and labour? 16 MR. DELANEY: 17 A. That's correct. 18 Q. All right. Similarly, under "alternative 19 three" the average lightning arrester cost, 20 again that's the total? 21 MR. DELANEY: 22 A. That's the total, yes. 23 Q. All right. Thank you. I have no further 24 questions. 25 CHAIRPERSON:</p>
<p style="text-align: right;">Page 59</p> <p>1 Q. Thank you, Mr. Myles. 2 MR. MYLES: 3 Q. Pardon me? 4 CHAIRPERSON: 5 Q. Thank you. 6 MR. MYLES: 7 Q. And I should also apologize for the 8 presentation. I should have picked that up 9 when I was reviewing the material. 10 CHAIRPERSON: 11 Q. Ready to continue, Mr. Kennedy? 12 MR. KENNEDY: 13 Q. I am. Thank you, Chair, Commissioners. 14 Gentlemen, just a few final questions on this 15 project. If we could go back to the--I think 16 we're already in Appendix A Costs, yes, and 17 let's just go back to the estimated costs of a 18 transformer failure. Okay. So as shown on 19 the table, Newfoundland Power calculates that 20 the total average cost per transformer is 21 \$2,221.10, correct? 22 MR. DELANEY: 23 A. Yes, that's correct. 24 Q. And this is based on a breakdown of the 25 numbers as indicated for material and labour</p>	<p style="text-align: right;">Page 60</p> <p>1 that were incurred as a result of transformers 2 lost during an August 2002 lightning storm. 3 MR. KENNEDY: 4 Is that correct? 5 MR. DELANEY: 6 A. That's correct. 7 Q. So these costs are actual costs that were 8 tracked by Newfoundland Power associated with 9 the replacement of the transformers that were 10 damaged during that lightning storm? 11 MR. DELANEY: 12 A. Yes, that's correct. 13 Q. Okay. So the next page, the cost estimate to 14 install lightning arrester. The first figure, 15 the material cost of \$54.67, you've got a 16 subcalculation in there for your surge 17 arrester, 9Kv 38.30 and 18Kv 55.20, average 18 cost of 44.05, and you say "note: the 19 transformer split is approximately 34.66 for a 20 25 versus 12 1/2 Kv." Could you just explain 21 that? 22 MR. DELANEY: 23 A. Okay. What that is, again obviously mention 24 here I came up with this table, it's a 9Kv 25 surge arrester would be applied on a</p>

Page 61	Page 62
<p>1 MR. DELANEY: 2 transformer rated at 12.5Kv and a 18Kv surge 3 arrester would be installed on a transformer 4 rated at 25Kv. So the split in the system of 5 transformers is 34 percent, 34 percent being 6 25Kv and 66 percent being 12.5Kv. So that's 7 to determine the appropriate split amongst-- 8 between the 9Kv and 18Kv surge arresters to 9 apply the average cost. 10 Q. So when it says average cost, is that a 11 weighted average cost? I didn't have my 12 calculator. 13 MR. DELANEY: 14 A. I don't have a calculator with me here. I 15 would - 16 Q. It looks like just an average, 55 and 38 comes 17 to \$46. 55 and 38 comes to 46, so - 18 MR. DELANEY: 19 A. That would apply, it's a weighted average, 20 based on the ratio, yes. 21 Q. Weighted average, okay. And so that's one 22 assumption is that your--okay. And just down 23 in your labour, you take your gross labour of 24 \$48.96 and you grossed it up by 30 percent. 25 Is that an overhead burden?</p>	<p>1 MR. DELANEY: 2 A. That would be some of the fringe percentages 3 placed on labour, include things like Worker's 4 Compensation. For every hour of labour we pay 5 a Worker's Compensation fee. There's pension 6 in those and I'm not familiar with all the 7 overheads that are applied there, but it's a 8 standard number. 9 Q. And then your provision for your line truck 10 and your engineering is a percentage of your 11 labour? 12 MR. DELANEY: 13 A. That's what we do the estimating in our 14 capital projects, yes. 15 Q. Okay. So that's the same technique you use in 16 estimating a capital project? 17 MR. DELANEY: 18 A. Yes. We apply percentages of the labour to 19 come up with cost estimates for capital 20 projects. 21 Q. And I notice your vehicle is 21 percent of 22 engineering? 23 MR. DELANEY: 24 A. That's correct. 25 Q. And then engineering is 25 percent of labour?</p>
Page 63	Page 64
<p>1 MR. DELANEY: 2 A. Yes, that's correct. 3 Q. Okay. So if our labour number--sorry, gross 4 labour number, 48.96, okay, and then we 5 provide those and we get the 150, all right. 6 Now down in the 15 minutes for the calculation 7 of how much it would cost based on a 15-minute 8 time for installation - 9 MR. DELANEY: 10 A. Yes. 11 Q. - can I ask you what that's based on, the 15 12 minutes, and what you would feel to be the 13 margin of error on that estimate of 15 14 minutes? 15 MR. DELANEY: 16 A. The 15 minutes is based on our judgment with 17 respect to how much it would cost to install 18 that lightning arrester in conjunction with 19 other jobs at that same pole, the additional 20 15 minutes. I couldn't comment on what the 21 ratio, the percentage of variance in that. I 22 think it's a fair estimate myself. 23 Q. Okay. If we just go to the next page, cost of 24 alternatives, and as is indicated with those 25 inputs using an average of 139 transformer</p>	<p>1 failures in a given year, the average cost per 2 transformer based on the 2002 lightning storm 3 of \$2,221, you get an average annual cost of 4 failure of \$308,719, correct? 5 MR. DELANEY: 6 A. That's correct. 7 Q. And that derives a present value over a 30- 8 year time span of 4,389,000? 9 MR. DELANEY: 10 A. Yes, that's correct. 11 Q. Okay. And if we just go to NLH-55, this 12 requested that Newfoundland Power to just use 13 the period 1998 to 2001, 1998 of 254 failures, 14 1999 44, and 2000 22, and 2001 50. You 15 therefore averaged it to 93. You just took a 16 simple average again? 17 MR. DELANEY: 18 A. Again, we took the average between '98 and 19 2001 for that calculation. 20 Q. Right, okay. But again, you didn't do any 21 normalizing or smoothing out of the data to 22 take into account the spike in 1998 of 254 23 failures as opposed to the failure rates 24 experienced in 1999, 2000 and 2001?</p>

Page 65

Page 66

1 MR. DELANEY:
 2 A. Could you repeat that again?
 3 Q. Maybe it will help just if we could just
 4 briefly go to PUB-132 again. So this question
 5 MR. KENNEDY:
 6 asked you to ignore the 2002 data where you
 7 have the 323 failures and as is indicated, you
 8 had 254 failures in '98, 44 in '99, 22 in 2000
 9 and 50 in 2001.
 10 MR. DELANEY:
 11 A. And we took the average, pretending 2002
 12 didn't exist, yes.
 13 Q. Right. So you just took a simple average
 14 again of those four years and you arrive at
 15 93?
 16 MR. DELANEY:
 17 A. Exactly, yes.
 18 Q. Okay. And so just going back to NLH-55, that
 19 when you do that and recalculate, the
 20 alternative number one, which is the do
 21 nothing alternative, status quo alternative,
 22 now gives it a present worth of 2,943,000?
 23 MR. DELANEY:
 24 A. That's correct, yes. It's still more
 25 expensive than alternative number three.

Page 67

1 half hour is way too much.
 2 Q. Okay. That's all the questions I have on
 3 lightning arresters. I'm sure people are
 4 thankful. I have one question concerning the
 5 Corner Brook transformer project, and if we
 6 could go to Volume 2, Substations, Appendix 4.
 7 I just have a specific question. There's a
 8 document here that, from a layperson's
 9 perspective, seems to imply the opposite. As
 10 I understand it, the basis of your project to
 11 increase your transformer capacity in Corner
 12 Brook is that you're currently topping out the
 13 capacity of the existing transformers?
 14 (11:02 a.m.)
 15 MR. DELANEY:
 16 A. Yes. The -
 17 Q. They're exceeding their load limits?
 18 MR. DELANEY:
 19 A. The combined capacity of all the substation
 20 transformers in Corner Brook will exceed the
 21 rated capacity of those units and we've done a
 22 number of things over the years to defer this
 23 project by switching loads back and forth
 24 between the transformers in Corner Brook, and
 25 we're at a point now where that approach is no

1 Q. Sure. The 2,943,000, that's down from the
 2 original 4,389,000 which was your original
 3 alternative one based on 139 failure rate?
 4 MR. DELANEY:
 5 A. Yes, it has. If we remove the fact that we
 6 lost all those transformers in 2002 from the
 7 equation, we will get down to that present
 8 value.
 9 Q. Right, okay.
 10 MR. DELANEY:
 11 A. Which is still higher than the -
 12 Q. Sure.
 13 MR. DELANEY:
 14 A. - alternative we're proposing.
 15 Q. Would you agree with me though that, for
 16 instance, if you're off on your estimate of
 17 the amount of time that it's going to take to
 18 install the lightning arrester and that
 19 instead of 15 minutes, it would take you a
 20 half an hour, alternative three is likely to
 21 be more expensive than alternative one?
 22 MR. DELANEY:
 23 A. If you were to say a half an hour, but we're
 24 saying 15 minutes would be the incremental
 25 cost of putting on the lightning arrester. A

Page 68

1 longer feasible.
 2 Q. Okay. If we could just go to--there's an
 3 attachment or sorry, an appendix A in that--so
 4 if we go--this is one of these, substations
 5 Appendix 4, Attachment A, Appendix 4, Appendix
 6 A. That's correct, 4, yes, and the first page
 7 of that. Okay. When I look at this table and
 8 I look at the various transformers and their
 9 rating and then look at the peak 2002 and the
 10 forecasted undiversified peak for 2003, it's
 11 clear that it's, in the case of Walbourne,
 12 expected to exceed, in 2003, if it hasn't
 13 already done so, exceed the rated capacity of
 14 your transformer there, correct?
 15 MR. DELANEY:
 16 A. That's correct.
 17 Q. Now I couldn't see where there were any other
 18 ones here that would exceed your transformer
 19 capacities. When you follow up through the
 20 line for 2003, the rest of them seem to be
 21 within the existing transformer capacity.
 22 MR. DELANEY:
 23 A. Okay, I think you have to -
 24 Q. Like if I look at Walbourne's T1, I have an
 25 existing MVA capacity of a transformer there

Page 69	Page 70
<p>1 MR. KENNEDY: 2 of 20 and the forecasted undiversified peak 3 for Walbourne's in 2003 is 17.9. 4 MR. DELANEY: 5 A. 17 point--okay. 6 Q. Am I reading the table right? 7 MR. DELANEY: 8 A. Yes, you're reading the table right. 9 Q. Okay. 10 MR. DELANEY: 11 A. I just need to explain what's in there. First 12 of all, substations like Howley, Deer Lake, 13 Marble Mountain, Pasadena, we have to dismiss 14 because they're not part of this whole 15 equation. They're in different geographical 16 areas. 17 Q. Okay. Which ones are we dismissing? Howley? 18 MR. DELANEY: 19 A. Yes. Well, it would be better to look at the 20 ones we're going to include. 21 Q. Okay. 22 MR. DELANEY: 23 A. We're going to include the two units at 24 Walbourne's, T1 and T2. 25 Q. Yes.</p>	<p>1 MR. DELANEY: 2 A. The T3 unit at Humber. 3 Q. Yes. 4 MR. DELANEY: 5 A. Okay, which operates at 12.47Kv. We cannot 6 include the T2 unit at Humber because it 7 operates in a different voltage, and if we - 8 Q. Okay. 9 MR. DELANEY: 10 A. - were to get into that, we would be into a 11 very much more expensive job. And Bayview T1. 12 Q. Okay. 13 MR. DELANEY: 14 A. Okay. So those are the three, yes, Bayview, 15 Humber and Walbourne's, and - 16 Q. Okay, yes. 17 MR. DELANEY: 18 A. - and with Bayview, I see a--all right, so-- 19 and again, we're getting into the math here. 20 So Walbourne's, plus Humber, plus Bayview 21 exceeds the capacity of Bayview, plus Humber, 22 the existing capacity, and I see a problem 23 here with Bayview right now. 24 Q. Okay. So when - 25 MR. DELANEY:</p>
Page 71	Page 72
<p>1 A. Let me just - 2 Q. - when I see the Bayview 3, 4 and 5 T1, 3 voltage 12.47 kilovolts, rating 15/20, 4 existing 45, and then I go peak 19.9, 22, 25.9 5 and so on, with this XFMR maximum utilization 6 percent, so - 7 MR. DELANEY: 8 A. You've got to--if we can look at note number 9 3, the existing capacity at Bayview at 45 10 assumes an additional 25 MVA unit is there. 11 Q. Okay. 12 MR. DELANEY: 13 A. Okay. So - 14 Q. So it would be without that additional unit 15 20? 16 MR. DELANEY: 17 A. Right now, as we speak today, Bayview is 20. 18 Q. So this five-year forecast includes this 19 additional one already into it? 20 MR. DELANEY: 21 A. Exactly, yes. 22 Q. Okay. And so the Bayview one will be topped 23 out according to your forecast for 2003 to 24 2008 based on the 20? 25 MR. DELANEY:</p>	<p>1 A. As well, yes. 2 Q. All right. 3 MR. DELANEY: 4 A. Bayview has existing capacity of 20 and it 5 will be 22 in 2003. So it's peaked out as 6 well. 7 Q. So have we--has the same thing applied for 8 Humber, Walbourne's and Walbourne's, 9 Walbourne's T1 and Walbourne's T2, do they 10 have in them devices proposed, new transformer 11 capacity already proposed into this? 12 MR. DELANEY: 13 A. When we looked at the alternatives, and there 14 are a number of alternatives to look at in 15 configuring this system for the least cost 16 going into the future, and the report goes 17 into this in enormous detail as to the 18 different configurations of the system to get 19 at least cost. We've determined that the 20 least cost alternative is to install the new 21 unit at Walbourne's. I better get this right. 22 And move--I get these two substations 23 confused. Let's go back to Volume 1 here. 24 MR. MYLES: 25 Q. Page 30.</p>

Page 73	Page 74
<p>1 MR. KENNEDY: 2 Q. Page 30. 3 MR. DELANEY: 4 A. Page 30, yes. So yes, the project that came 5 out as least cost to accommodate the long 6 range, the long term needs of Corner Brook in 7 a least cost manner, is the installation of a 8 new 25 Mva substation transformer at 9 Walbourne's as a replacement for the existing 10 15 Mva transformer, and then moving that 11 existing 15 Mva transformer at Walbourne's to 12 Bayview sub. So this chart has the new 13 capacity in it. 14 Q. In all cases, so this chart that we were 15 looking at, that's up on the screen there now, 16 that has the additional capacity for 17 Walbourne's as well? 18 MR. DELANEY: 19 A. It has the additional capacity shown in 20 Bayview actually. 21 Q. Additional capacity in Bayview. But the 22 Walbourne's, are they the existing capacity? 23 MR. DELANEY: 24 A. Yes. To look at the existing situation, let's 25 look at the current, the capacity rating.</p>	<p>1 Q. Capacity rating, yes. 2 MR. DELANEY: 3 A. And right now in Bayview, we have 20 Mva. 4 Q. Right. 5 MR. DELANEY: 6 A. By 15/20 that means that the unit is 15 7 without the transformer radiators. With the 8 radiators, it's 20. 9 Q. Okay. 10 MR. DELANEY: 11 A. And in Walbourne's, we have 15/20 as well. 12 Q. Okay. So when it says "existing" then though, 13 the capacity Mva existing, and I got 45 there, 14 that's not actually what's existing then? 15 Existing is less than the 45? 16 MR. DELANEY: 17 A. The existing actually adds up to--there may be 18 something missing in this chart, but the 19 existing actually adds up, if memory serves me 20 correct, to somewhere above 60, 63. I'm just 21 trying to rationalize the chart here. 22 MR. LUDLOW: 23 A. Mr. Kennedy, if I may? 24 Q. Yes. 25 MR. LUDLOW:</p>
Page 75	Page 76
<p>1 A. Is your question in the table as presented, is 2 the existing under capacity Mva the--if we 3 were to visit Walbourne's today, is that what 4 we'd find? 5 MR. KENNEDY: 6 Q. Exactly. 7 MR. LUDLOW: 8 A. Okay. 9 Q. And Bayview. 10 MR. LUDLOW: 11 A. And Bayview. Well, it's definitely, by my 12 understanding, that the--as per note 3 on the 13 bottom - 14 Q. Right. 15 MR. LUDLOW: 16 A. - it is showing an increased additional 17 transformer capacity at Bayview. I personally 18 don't know what's in Bayview today, but I do 19 know that in 2004, this chart includes that. 20 So whether that's in that column or not, I 21 don't know. 22 Q. Yes. 23 MR. LUDLOW: 24 A. I can certainly have a check. 25 MR. DELANEY:</p>	<p>1 A. I can have a check. I know that the total 2 combined capacity right now, as we sit, for 3 Bayview, Humber and Walbourne's, those three 4 substations that are interconnected that 5 serves the City of Corner Brook, I know that 6 the total combined capacity is less than the 7 peak demand we're expecting there this winter. 8 Now how this adds up exactly on the chart, I'm 9 not sure right now, but that is a true 10 statement. 11 Q. Okay. And the difficulty is your chart - 12 MR. DELANEY: 13 A. Shows some additional capacity. 14 Q. Well, some of it--it says existing, but it's 15 actually existing with the proposed in some 16 cases and - 17 MR. LUDLOW: 18 A. It's this whole premise of this proposal, Mr. 19 Chairman, was driven on the premises Mr. 20 Delaney just outlined. We have been moving 21 the load between feeders. We've been 22 optimizing the installed capacity and we're 23 running up against a brick wall in that the 24 installed transformation capacity is not 25 capable of carrying the peak. So I think we</p>

Page 77	Page 78
<p>1 MR. LUDLOW:</p> <p>2 can get this straightened away on the table,</p> <p>3 but we're coming up against a wall on that</p> <p>4 transformation capacity of Mva installed and</p> <p>5 that's the point we're trying to put forward</p> <p>6 in our presentation. Obviously, we haven't</p> <p>7 done it too well.</p> <p>8 Q. Okay.</p> <p>9 MR. DELANEY:</p> <p>10 A. And it gets very, very complicated when you</p> <p>11 get down to analysing the minutia of these</p> <p>12 numbers. If you look at note 4 and 5, we're</p> <p>13 talking about transferring 3 Mva from</p> <p>14 Walbourne's to a Bayview, and in 2007, another</p> <p>15 1 Mva from a Walbourne's to a Bayview. So</p> <p>16 there are lots of permeations and commutations</p> <p>17 of how this data can be presented. The</p> <p>18 essential fact is that the peak capacity of</p> <p>19 all those transformers, what those</p> <p>20 transformers are rated for, the amount of load</p> <p>21 that all of them combined will be less than</p> <p>22 the peak load that we expect there this</p> <p>23 winter.</p> <p>24 Q. Okay. I've got one more question, just to</p> <p>25 wade in on this. If you look at the Bayview</p>	<p>1 figures and the forecasted undiversified peak</p> <p>2 for the period 2002 to 2008, it shows a</p> <p>3 fairly, you know, dramatic increase. It goes</p> <p>4 from 19.9 Mva to 27.9 Mva by 2008.</p> <p>5 MR. DELANEY:</p> <p>6 A. Yes.</p> <p>7 Q. Okay. If I look at Walbourne's, it goes from</p> <p>8 a peak forecast in 2002 of 15 up to 16.6</p> <p>9 forecasted for 2003 and then it starts</p> <p>10 declining, going back down to 14 Mva the very</p> <p>11 next year. So is there reason why the load on</p> <p>12 Walbourne's would be decreasing, why the load</p> <p>13 on Bayview is increasing, if these are all</p> <p>14 interconnected as you say?</p> <p>15 MR. DELANEY:</p> <p>16 A. Yes. The answer to that is in note 4 and note</p> <p>17 5. It's load transfers being done from</p> <p>18 Walbourne's to Bayview which would have the</p> <p>19 effect of decreasing the load in Walbourne's</p> <p>20 and increasing the load in Bayview.</p> <p>21 Q. And that's to--okay. All right. Okay. I</p> <p>22 wonder if we could talk about reliability for</p> <p>23 a bit, and if we could start with PUB-9.</p> <p>24 Okay, these are a list as per the question of</p> <p>25 projects being justified on the basis of</p>
Page 79	Page 80
<p>1 reliability, and they're divided up between</p> <p>2 system wide, distribution, transmission and</p> <p>3 substation. Okay. Now I wonder if we could</p> <p>4 just look at PUB No. 8, and PUB-8 provided the</p> <p>5 SAIDI and SAIFI targets for 2003, but it's</p> <p>6 indicated that the Company does not set up</p> <p>7 time targets based on system wide,</p> <p>8 distribution, transmission, feeders or</p> <p>9 substation. The lawyer in me, does that mean</p> <p>10 that the Company does set up SAIDI and SAIFI</p> <p>11 targets based on system wide, distribution,</p> <p>12 transmission, feeders and substations?</p> <p>13 (11:18 a.m.)</p> <p>14 MR. LUDLOW:</p> <p>15 A. I'm debating between a lawyer and an engineer</p> <p>16 here. What we set, maybe that would clarify</p> <p>17 it for you, Mr. Kennedy and Mr. Chairman, is</p> <p>18 that the SAIDI and SAIFI, as presented, is</p> <p>19 done on an annual basis and we have not set by</p> <p>20 transmission or by substation an</p> <p>21 individualized target. This is a corporate</p> <p>22 system wide duration and frequency index. The</p> <p>23 up time, as it's referred to in your question,</p> <p>24 is a simple reverse of downtime, is where I</p> <p>25 would go on that one. And the other thing in</p>	<p>1 these numbers is these are what the customer</p> <p>2 sees, and by that, that includes everything</p> <p>3 from loss of supply to equipment failure to</p> <p>4 weather and so on, and so on, and so on. So</p> <p>5 that is a true reflection of what you, the</p> <p>6 customer, would see. But it's a global index.</p> <p>7 That is not a specific--you may have 100</p> <p>8 percent. I may have much less reliability.</p> <p>9 Q. So the system wide reliability target for 2003</p> <p>10 is 4.75 SAIDI and 4.56 SAIFI?</p> <p>11 MR. LUDLOW:</p> <p>12 A. That is correct.</p> <p>13 Q. Do you break that down to have a separate</p> <p>14 SAIDI and SAIFI target for distribution?</p> <p>15 MR. LUDLOW:</p> <p>16 A. We monitor where we are and monitor it against</p> <p>17 past performance, but I have not, as of to</p> <p>18 date, set targets strictly on distribution.</p> <p>19 Q. Now it's indicated the company has not</p> <p>20 established reliability targets for the 2004</p> <p>21 through to 2008 period. Reliability indices</p> <p>22 SAIDI and SAIFI are used in your short-term</p> <p>23 incentive program, correct?</p> <p>24 MR. LUDLOW:</p> <p>25 A. Yes, they are.</p>

Page 81	Page 82
<p>1 MR. KENNEDY: 2 Q. And so you would need to set reliability 3 targets for the use of your short-term 4 incentive program for 2004? 5 MR. LUDLOW: 6 A. Yes, they would be. 7 Q. And when would they be set? 8 MR. LUDLOW: 9 A. They would be presented, if my memory serves 10 me right, either in the fall--I think it's the 11 fall, in October, early November. 12 Q. Okay. 13 MR. LUDLOW: 14 A. At the same time that the customer service and 15 the operating expense reduction and other 16 fundamental targets, including safety and so 17 on, are set as well. 18 Q. Sure, okay. Now there was--if we could go to 19 PUB-147. Okay, 147 was--the question asked 20 "what were the SAIDI and SAIFI targets for 21 2000, 2001 and 2002?" and so, we can add the 22 2003 target to that. The SAIFI 2003 target was 23 4.56, the same as 2002, and the SAIDI 2003 24 target was 4.75, a decrease from the 2002 25 target of 5.85, correct?</p>	<p>1 MR. LUDLOW: 2 A. Yes, that is correct. 3 Q. Okay. If we just go to PUB-148, and then 4 these were the actual SAIDI and SAIFI measures 5 for each of 2000, 2001 and 2002. So in the 6 case of 2000, the target was 6.5 SAIFI and you 7 achieved 4.93. So you exceeded your SAIFI 8 target for that year? 9 MR. LUDLOW: 10 A. That is correct. 11 Q. You also exceeded your SAIDI target for that 12 year. The target was 9.60 and you achieved 13 5.93? 14 MR. LUDLOW: 15 A. That is correct. 16 Q. Okay. The target for 2001 was a SAIFI of 5. 3 17 and you exceeded that. You had a SAIFI of 18 3.99? 19 MR. LUDLOW: 20 A. That is correct. 21 Q. I guess when I say exceeded - 22 MR. LUDLOW: 23 A. Well, hey, we did a good job that year. 24 Q. - you achieved a lower SAIFI, I guess, instead 25 of exceeded. The target for SAIDI for 2001</p>
Page 83	Page 84
<p>1 was 7.2 and you achieved a SAIDI of 3.73, so 2 you exceeded the target that year? 3 MR. LUDLOW: 4 A. That's correct. 5 Q. And the next SAIFI was 4.56 target and you 6 achieved 4.76, so slightly missed the target. 7 MR. LUDLOW: 8 A. Well, we missed the target. 9 Q. And SAIDI target was 5.85 and you achieved 10 4.54 so you bet your SAIDI target? 11 MR. LUDLOW: 12 A. That's correct. 13 Q. Okay. And the target for 2003 is the same 14 SAIFI target as 2002 again? 15 MR. LUDLOW: 16 A. Yes, that is. 17 Q. Okay. And the target for SAIDI for 2003 is 18 higher than what was achieved in SAIDI for 19 2002? 20 MR. LUDLOW: 21 A. That's correct. 22 Q. Okay. Now if we could go to PUB-13 and PUB- 23 14. Okay, the question in PUB-13 asked "what 24 evidence does Newfoundland Power have to 25 support the proposition that its general</p>	<p>1 service customers are not satisfied with the 2 current level or reliability in their 3 electrical service?" And you referenced the 4 Customer Service Survey conducted in June 2003 5 where general service customers ranked 6 reliability as one of the most important 7 attributes and 13 percent of your general 8 service customers indicated that reliability 9 of electrical supply needed some improvement. 10 And then PUB-14 is the reply concerning the 11 residential customers and the figure there 12 given is 20 percent, correct? 13 MR. LUDLOW: 14 A. That's correct. 15 Q. Okay. Now, I wonder if we could go to PUB- 16 150. 17 MR. LUDLOW: 18 A. I need a bigger table. 19 Q. And we can look to Attachment A, and I just 20 want to look at Question 31. This is the 21 Customer Survey, the actual form used by the 22 people conducting your customer surveys, 23 correct, Mr. Ludlow? 24 MR. LUDLOW: 25 A. This is the actual survey, Mr. Chair, yes.</p>

Page 85	Page 86
<p>1 MR. KENNEDY:</p> <p>2 Q. Okay. And question 31 was the question</p> <p>3 relating to the gathering of information about</p> <p>4 the reliability of the power supply, and</p> <p>5 you've got "the power supply is reliable" and</p> <p>6 then you ask people to agree or disagree and</p> <p>7 they've got the choices there, and you ask</p> <p>8 "how much improvement, if any, is needed in</p> <p>9 that area?" and then they have a choice, none,</p> <p>10 a little, a lot, don't know, not applicable.</p> <p>11 Okay? All right. Just wanted to set up what</p> <p>12 the question was before we actually looked at</p> <p>13 the data. If we could look to Attachment F.</p> <p>14 MR. LUDLOW:</p> <p>15 A. Okay.</p> <p>16 Q. And under "Customer Research" there's one--</p> <p>17 they're not numbered, these pages, so you'll</p> <p>18 have to just skim through. One is called "How</p> <p>19 well we are doing". Here we go. Okay, and as</p> <p>20 stated in the first bullet, the graph</p> <p>21 represents the percentage of customers who</p> <p>22 either strongly agree or somewhat agree with</p> <p>23 the statement, and the power is reliable;</p> <p>24 among your commercials, I don't know what that</p> <p>25 would work out to, about 97 percent?</p>	<p>1 MR. LUDLOW:</p> <p>2 A. Approximately.</p> <p>3 Q. Agree or strongly agree or somewhat agree that</p> <p>4 your power is reliable and about 96 percent of</p> <p>5 your residential customers strongly agree or</p> <p>6 somewhat agree that your power is reliable?</p> <p>7 MR. LUDLOW:</p> <p>8 A. That is correct.</p> <p>9 Q. Okay, and if we could go to--it might be the</p> <p>10 next one, "How can we improve?" There you go.</p> <p>11 And we've got it split between residential</p> <p>12 customers and commercial customers and the</p> <p>13 last bar graph there is "Reliability" and the</p> <p>14 blue is none, the purple is a little and the</p> <p>15 yellow is a lot. Would you agree with me that</p> <p>16 based on this chart at least, it would seem</p> <p>17 that the vast majority of your residential</p> <p>18 customers would see that the reliability is</p> <p>19 fine as it is, or could do with a little bit</p> <p>20 of improvement, I mean, it would seem to imply</p> <p>21 almost 98 percent of your residential</p> <p>22 customers would fall into one of those two</p> <p>23 groups.</p> <p>24 MR. LUDLOW:</p> <p>25 A. I think your assumption of the chart is</p>
Page 87	Page 88
<p>1 accurate in that that's where the 17 and 20</p> <p>2 percent is coming from in the previous</p> <p>3 questions we referred to; however, keep in</p> <p>4 mind that this is a global customer</p> <p>5 satisfaction survey representing 800 customers</p> <p>6 at this point in time. If we were in the,</p> <p>7 say, 80 percent that there was a lot of work</p> <p>8 required, we would have substantive change</p> <p>9 required to the electrical system of our</p> <p>10 province. Keep in mind where I'm going, in</p> <p>11 that this survey is conducted, it is done on a</p> <p>12 sampling base. There's 800 residential and</p> <p>13 400 commercial customers done through a group</p> <p>14 called, I believe is Telelink and that's</p> <p>15 subject to check, but it is a third party.</p> <p>16 What we have done, I'm quite pleased with</p> <p>17 these results, I might add, Mr. Chairman. I</p> <p>18 will say though that if we were to survey and</p> <p>19 this was a question actually put to me by</p> <p>20 Board staff at a technical conference, the</p> <p>21 performance on the Walbourne's feeders within</p> <p>22 the last two years as a result of a loss of</p> <p>23 supply issue and under frequency and load</p> <p>24 dropping, all in respect to the way we operate</p> <p>25 our system, that would not be reflected. The</p>	<p>1 customers on the Wesleyville 02 project, which</p> <p>2 is here today, have already experienced an</p> <p>3 outage in the area of eight times the</p> <p>4 corporate statistic which we're running in the</p> <p>5 first six months. So, this satisfaction index</p> <p>6 is presented and has been used as a trend</p> <p>7 indicator overall on the Company. That's the</p> <p>8 reason we then further investigate at, what I</p> <p>9 would call the subset level, at feeder level</p> <p>10 and what have you, and that's the reason we</p> <p>11 haven't gone global in total overhaul of the</p> <p>12 electrical system, rather pinpoint it in, I've</p> <p>13 used the term "rifle shotted our approach" at</p> <p>14 specific trouble spots.</p> <p>15 Q. Okay, but the bullet underneath makes some</p> <p>16 comments about residential customers who felt</p> <p>17 that a lot of improvements were needed</p> <p>18 identified these as required in meter reading</p> <p>19 accuracy, than community involvement. And</p> <p>20 then it goes, "Commercial customers who felt a</p> <p>21 lot of improvements were needed, said this is</p> <p>22 most often in relation to meter reading</p> <p>23 accuracy than community involvement." So it</p> <p>24 seems to note that, if I could say so, not a</p> <p>25 great scramble on either part to see a lot of</p>

Page 89	Page 90
<p>1 MR. KENNEDY: 2 improvement in reliability. 3 MR. LUDLOW: 4 A. Well, I think as an extension what the 5 observation here tells us is that we have 6 sampled 800 Domestic customers. I've got 300 7 feeders running out there. At the best, if 8 there was three on the Wesleyville 02 contact, 9 as an example, I'll just use that as an 10 example, that in turn will not sway these 11 results in totality. This is telling us that 12 their system on the Province of Newfoundland, 13 on the Island, in totality is running in 14 reasonable shape. That's what it is telling 15 us. What it is not telling us that as you 16 look at this system, that there are not weak 17 spots and trouble spots that require 18 addressing. That is not what this tool is 19 for. 20 Q. No, this is just giving you a blanket view of 21 statistically accurate supposed survey of your 22 customer group and how they feel about 23 reliability, correct? 24 MR. LUDLOW: 25 A. That's true.</p>	<p>1 Q. But depending on what customer you ask, they 2 may not have the same view on an individual 3 basis? 4 MR. LUDLOW: 5 A. This was also addressed actually on a regular 6 basis, gets addressed in several council 7 chambers around this province. And the reason 8 that we've addressed in several council 9 chambers is not because the lights are on, 10 it's usually because the lights are off. 11 Lumsden being a key point, already this year, 12 after multiple outages, one was 24 hours plus 13 over the Christmas season. We had another one 14 that happened a short while ago in June, I do 15 believe, it was 20 hours. The point I am 16 making here is that may never show up in this 17 survey. I've sat in those chambers myself in 18 those areas, I've been in Trepassey, I've been 19 in Port aux Basques, I've met with Mayor Stein 20 in Stephenville, as an example, in the past. 21 That basically may never show up in this type 22 of a document, but when you then take your 23 past performance, assess why the performance, 24 all these under-performing feeders, as we've 25 presented, is there something we should do</p>
Page 91	Page 92
<p>1 either in the operating accounts or in the 2 capital accounts to address the under 3 performance, I think it's paramount for us to 4 move forward and try to address and improve on 5 those situations. That's the basis that we 6 use this document. If there's a global issue, 7 community effort, advertising, those types of 8 things, you would see it show up. 9 Reliability, I'm quite proud of that number, 10 to be quite honest with you. So that's the 11 kind of piece we do. 12 Q. Okay, I think it's indicated though in some of 13 your replies, Mr. Ludlow, that the Company has 14 no reliability target, for instance, on what 15 specific gains they hope to achieve through 16 their re-built substation projects, correct? 17 MR. LUDLOW: 18 A. That is correct. 19 Q. And that you have not quantified any specific 20 gains on reliability resulting from any of the 21 capital expenditures that you've made in the 22 past on rebuilding substations for 1992 to 23 2002, for instance? 24 (11:35 a.m.) 25 MR. LUDLOW:</p>	<p>1 A. Well let me just, if I may, address that one 2 for you, Mr. Chairman. A substation 3 equipment, if we're dealing with power 4 transformers or breakers, and I'm going to go 5 back to the analogy I used yesterday of 6 running that equipment to failure is not the 7 way to run the business. That's where we 8 bring in the information technology and the 9 ability to assess and optimize when that life 10 of equipment is nearing the time, you got to 11 get it out. Last year, we lost two--three 12 power transformers, one in Burin; we lost our 13 portable in Burin and we lost one in Port aux 14 Basques. Subsequently and just before that, 15 we had started what we referred to as a 16 predictive oil sampling process. Things that 17 aren't showing up in this capital budget are 18 three power transformers that we have found, 19 repaired and never be seen in the general 20 public as performing outages or capital 21 expenditures. We've changed our attack from a 22 calendar base maintenance program to moving 23 more of scientific analysis based. That's 24 where we then tied back into the information 25 systems that help us drive these projects. So</p>

<p style="text-align: right;">Page 93</p> <p>1 MR. LUDLOW:</p> <p>2 by using that, I won't show an improvement in</p> <p>3 reliability because I won't let the</p> <p>4 reliability fall. That's not a matter--the</p> <p>5 other alternative to that was I've got a tap</p> <p>6 changer on a power transformer that's failing.</p> <p>7 Get a new one. Sorry, that's not the way</p> <p>8 we've been running. We basically will go in,</p> <p>9 try and identify and repair before</p> <p>10 catastrophic failure. And these things just</p> <p>11 don't fail and stop working. They can explode</p> <p>12 and we've got all the other issues coming with</p> <p>13 them. So that's, Mr. Kennedy, you may not see</p> <p>14 and you won't see an improvement in power</p> <p>15 system reliability as a result of a concrete</p> <p>16 pad being put under a breaker in Salt Pond.</p> <p>17 It won't show it because this is not all tied</p> <p>18 strictly to reliability. This is prudent</p> <p>19 engineering judgment and operation of a power</p> <p>20 utility, minimizing the cost and capital</p> <p>21 expenditures is our objective as we go</p> <p>22 forward.</p> <p>23 Q. Okay, but I thought we established at the</p> <p>24 start that, for instance, we looked at PUB-9</p> <p>25 and they were the projects that were justified</p>	<p style="text-align: right;">Page 94</p> <p>1 under the basis of if we were going to improve</p> <p>2 reliability, correct?</p> <p>3 MR. LUDLOW:</p> <p>4 A. Where? Take me again.</p> <p>5 Q. That's the principle justification, PUB-9.</p> <p>6 Table 1 provides a summary of all projects in</p> <p>7 the 2004 capital budget whose principle</p> <p>8 justification is based on improvements in</p> <p>9 reliability. So that's what we need to</p> <p>10 measure it against, presumably?</p> <p>11 MR. LUDLOW:</p> <p>12 A. Measure it against, you may have to prove the</p> <p>13 negative. And by that, what I'm saying is how</p> <p>14 do I show that a power transformer that didn't</p> <p>15 fail did not cause reliability to decrease.</p> <p>16 Q. Okay, but that's different than saying</p> <p>17 maintaining reliability as opposed to</p> <p>18 improving reliability.</p> <p>19 MR. LUDLOW:</p> <p>20 A. That's a fair statement, fair statement.</p> <p>21 Q. Right. And your safety target for 2003 is the</p> <p>22 same as your actual safety achieved in 2002,</p> <p>23 but there was nothing in the target set which</p> <p>24 would indicate that there was a required</p> <p>25 improvement in reliability.</p>
<p style="text-align: right;">Page 95</p> <p>1 MR. LUDLOW:</p> <p>2 A. Must be careful on those targets as well,</p> <p>3 those targets are not--I'm going to use the</p> <p>4 word that has been used here several time this</p> <p>5 morning, "normalized". These targets include</p> <p>6 safety in particular and a duration in which</p> <p>7 we're able to impact a loss of supply issue,</p> <p>8 it includes storms. A lot of utilities, as a</p> <p>9 matter of fact, the majority of utilities in</p> <p>10 Canada normalize these out. We will not</p> <p>11 normalize them out. So hence, my ability to</p> <p>12 work with Newfoundland and Labrador Hydro,</p> <p>13 which I might add has been, there's been the</p> <p>14 URSC committee we've been working on, the</p> <p>15 Inter-utility Reliability Standing Committee,</p> <p>16 has been working quite well on these types of</p> <p>17 topics. So, to say that we should include</p> <p>18 another factor on top of what's there, I think</p> <p>19 is inappropriate. These are calculated on</p> <p>20 running three year averages is the way these</p> <p>21 are done. We run them on three years and that</p> <p>22 way, that takes in, if I had, like last year</p> <p>23 was 17 trips, I've got 17 trips I've got to</p> <p>24 deal with this year, it's in my average. If I</p> <p>25 had none last year, my average is decreased or</p>	<p style="text-align: right;">Page 96</p> <p>1 suppressed. So I do not set these averages</p> <p>2 based on, well, this is too high or that's too</p> <p>3 low.</p> <p>4 Q. Okay, just so we're clear, you do not set</p> <p>5 individual reliability targets on anything</p> <p>6 other than your system wide infrastructure?</p> <p>7 MR. LUDLOW:</p> <p>8 A. That's fair.</p> <p>9 Q. Okay, you do not go back and do an analysis to</p> <p>10 necessarily see what reliability increased or</p> <p>11 decrease reliability you may have achieved by</p> <p>12 virtue of past capital expenditures?</p> <p>13 MR. LUDLOW:</p> <p>14 A. Not totally correct. What we would do and we</p> <p>15 have done and presented in past budget</p> <p>16 filings, we have in fact tracked every</p> <p>17 distribution feeder upgrade on the five-year</p> <p>18 average leading into the project, and then, if</p> <p>19 my memory serves right, in the last year's</p> <p>20 budget there was a table presented that</p> <p>21 provided the subsequent year's performance</p> <p>22 back against the previous average. But</p> <p>23 strictly speaking, do I complete that project</p> <p>24 and say I expect a 70 percent reduction in</p> <p>25 SAIDI? No. But I do monitor and I will</p>

Page 97	Page 98
<p>1 MR. LUDLOW:</p> <p>2 readjust my capital budgets on a go-forward</p> <p>3 basis and the approach, alternative</p> <p>4 evaluation, construction standards and so on,</p> <p>5 depending upon past successes or the</p> <p>6 opposites.</p> <p>7 Q. Okay, a couple of more questions and that will</p> <p>8 be it for this. If we could just look at NLH-</p> <p>9 62, because I figured I'd just be fair here on</p> <p>10 where I'm getting this statement from. This</p> <p>11 was the question concerning there were three</p> <p>12 reconfigured feeders and it was what is the</p> <p>13 predicted reliability of the three</p> <p>14 reconfigured feeders and how does it compare</p> <p>15 to the Company average. And it said,</p> <p>16 "Newfoundland Power has not predicted the</p> <p>17 reliability of the three reconfigured feeders</p> <p>18 and therefore, cannot compare it to the</p> <p>19 Company average."</p> <p>20 MR. LUDLOW:</p> <p>21 A. Okay, I just need to know where this reference</p> <p>22 is, so I need to get my book.</p> <p>23 Q. Volume 3, Distribution. Appendix 3,</p> <p>24 Attachment B, it's the Pulpit Rock substation.</p> <p>25 I imagine the three feeders would be under</p>	<p>1 just Appendix 3, which is the Lumsden, Cape</p> <p>2 Freels, Bay Roberts, Port de Grave and install</p> <p>3 new feeder, PUL 03, unless that's referring to</p> <p>4 the three--I believe in the Pulpit Rock you</p> <p>5 have two there now, you're adding a third?</p> <p>6 MR. DELANEY:</p> <p>7 A. Yes, that's what is occurring there. Right</p> <p>8 now, the Pulpit Rock substation serves the</p> <p>9 communities of Torbay, Flatrock, Bauline,</p> <p>10 Pouch Cove and that area. And the</p> <p>11 configuration of the system as it stands right</p> <p>12 now, is that there are two feeders, so if--the</p> <p>13 customers, I'm not entirely sure how they</p> <p>14 split there, but let's take for instance they</p> <p>15 split fifty/fifty the number of customers. If</p> <p>16 you were to have an outage on one of the</p> <p>17 feeders and that would affect fifty percent of</p> <p>18 the customers. The proposal here is to bring</p> <p>19 out an additional feeder and to split the load</p> <p>20 three ways, rather than two ways. And that</p> <p>21 will improve the reliability of the system, I</p> <p>22 think just as a physical reality, it will</p> <p>23 improve reliability because you have now three</p> <p>24 subsets, rather than two subsets. And the</p> <p>25 question here, of course, asked did we predict</p>
Page 99	Page 100
<p>1 the reliability, and the answer was no, we did</p> <p>2 not specifically predict what the reliability</p> <p>3 improvement would be of the three feeders,</p> <p>4 verses the two.</p> <p>5 Q. I guess that begs the question why not? Why</p> <p>6 wouldn't you conduct that analysis of after we</p> <p>7 do this work, what result do we expect?</p> <p>8 MR. LUDLOW:</p> <p>9 A. Well really I'm not even convinced of the</p> <p>10 value of it, to be quite honest with you. If</p> <p>11 we have assessed and determined, sorry, Mr.</p> <p>12 Chairman, that we have a problem in the Pouch</p> <p>13 Cove through to Torbay, up as far as the old</p> <p>14 airport, which is also one of the fastest</p> <p>15 growing areas in the east end, which is not</p> <p>16 the entire reason, the reason it's being done</p> <p>17 is reliability, okay. We have got problems in</p> <p>18 that area, that's the premise. Now, we know</p> <p>19 that area has been prone to issues, prone to</p> <p>20 problems and it's grown. You put all that</p> <p>21 together, would I go or not go if I could get</p> <p>22 a nine, verses a 10 percent improvement in the</p> <p>23 reliability? That is not the whole basis. We</p> <p>24 know we can improve. What it is, I am not</p> <p>25 able to predict it, physically I am not able</p>	<p>1 to do it. I've attempted, by the way, but I</p> <p>2 can't do it.</p> <p>3 Q. All right, but just go to page 4 of the report</p> <p>4 that we have up on the screen though. There</p> <p>5 was an analysis conducted and it's reliability</p> <p>6 implications and it's a study showing the</p> <p>7 relationship between total feeder length and</p> <p>8 then the outage statistic expressed as a</p> <p>9 SAIDI?</p> <p>10 MR. LUDLOW:</p> <p>11 A. It's a little more complicated than straight</p> <p>12 average.</p> <p>13 Q. Yeah, fair enough. And this will be one I'm</p> <p>14 sure the statisticians would crunch and lots</p> <p>15 of deltas this and deltas that, but we end up</p> <p>16 with a trend line which shows that the longer</p> <p>17 the feeder, the more incidence you're going to</p> <p>18 have of interruptions and in this case,</p> <p>19 expresses duration index, correct?</p> <p>20 MR. LUDLOW:</p> <p>21 A. Correct.</p> <p>22 Q. So that the whole purpose of putting another</p> <p>23 feeder in place is you're potentially</p> <p>24 shortening the feeder length, is that correct?</p>

Page 101	Page 102
<p>1 MR. LUDLOW:</p> <p>2 A. That's in effect the impact. What we're doing</p> <p>3 here, if this here shows an analysis of--or a</p> <p>4 correlation between duration of outage and</p> <p>5 length of feeder.</p> <p>6 Q. Right.</p> <p>7 MR. LUDLOW:</p> <p>8 A. Now, in my brain that tells me that should be</p> <p>9 a pretty, well that's pretty commonsense. But</p> <p>10 it doesn't tell me that I'm going to be</p> <p>11 pushing out feeders or additional feeders or</p> <p>12 capacity in all my long feeders. Okay? Now,</p> <p>13 we here, in this case, have a long feeder, a</p> <p>14 densely populated feeder in a growing area.</p> <p>15 You put all of those factors together, look at</p> <p>16 past performance, on the end also of a radial</p> <p>17 transmission system that is not one of the</p> <p>18 seven. And this is Torbay, by the way, we've</p> <p>19 got a strange name on the substation called</p> <p>20 Pulpit Rock, but that's where it is. Put all</p> <p>21 that together and that's the reason this is</p> <p>22 being presented.</p> <p>23 Q. Okay, but if we go over to the next page,</p> <p>24 under the discussion and after looking at the</p> <p>25 various options, the third point there, you</p>	<p>1 look at option two, you say that's the new</p> <p>2 substation, that's quite expensive. Option</p> <p>3 one and three will increase the capacity of</p> <p>4 the existing system and then you go, "Option 1</p> <p>5 will reduce the length of the Pulpit Rock</p> <p>6 distribution feeders and consequently improve</p> <p>7 the reliability." So wouldn't you then, by</p> <p>8 virtue at least of this trend line and the</p> <p>9 data that you have, be able to predict by the</p> <p>10 introduction of this new feeder what</p> <p>11 improvement you should be able to achieve by</p> <p>12 virtue of its introduction into the system</p> <p>13 there?</p> <p>14 MR. DELANEY:</p> <p>15 A. I don't think so, because the length of feeder</p> <p>16 is just one of numerous variables that you</p> <p>17 would have to bring into any assumptions or</p> <p>18 calculations with respect to the reliability</p> <p>19 of a feeder, I would want to know as an</p> <p>20 engineer how many automatic sleeves are on</p> <p>21 that feeder, how many cut outs are on that</p> <p>22 feeder, how many transformers are there</p> <p>23 without lightening arresters, what's the size</p> <p>24 of the conductor, is it Number 2 AC or is it</p> <p>25 4/0. There would just be a multitude of</p>
Page 103	Page 104
<p>1 factors involved in taking together some</p> <p>2 statistical analysis of making some assumption</p> <p>3 as to how that's going to improve as a</p> <p>4 consequence of these actions. I just think</p> <p>5 it's a very difficult analysis to do.</p> <p>6 (11:50 a.m.)</p> <p>7 Q. One last question on this and that's PUB-149.</p> <p>8 The question was, if it's stated MP is not</p> <p>9 established for reliability targets for 2004</p> <p>10 to 2008, how does Newfoundland Power decide</p> <p>11 where it should focus its efforts to improve</p> <p>12 reliability. And the second paragraph to your</p> <p>13 reply, "While Newfoundland Power has not set</p> <p>14 reliability targets for the 2004 through to</p> <p>15 2008 period, we use reliability statistics to</p> <p>16 focus on geographical areas which over a five-</p> <p>17 year period experience worse than average</p> <p>18 service reliability". So, I've seen the--</p> <p>19 there's a feeder report and that goes through</p> <p>20 an analysis of the performance of different</p> <p>21 feeders and looks at what the causes were for</p> <p>22 outages and were they caused by extraordinary</p> <p>23 events like a storm, you discount that and so</p> <p>24 on, where it's unexplainable and the</p> <p>25 engineering review indicates that the line is</p>	<p>1 just in a deteriorated state, then you make</p> <p>2 the decision to rehabilitate that line,</p> <p>3 correct?</p> <p>4 MR. LUDLOW:</p> <p>5 A. Correct.</p> <p>6 Q. Okay, so that applies to feeders. Do you do</p> <p>7 the same review on then your other components</p> <p>8 of your system, substations, transmission?</p> <p>9 MR. LUDLOW:</p> <p>10 A. Okay. Let me start now and I'll hand off to</p> <p>11 Mr. Delaney. We take our system, I think</p> <p>12 we've gone through the generation portion</p> <p>13 fairly substantively in the engineering</p> <p>14 details. So, I'll leave that one for the time</p> <p>15 being. We move it up to transmission. Every</p> <p>16 year our transmission lines are patrolled with</p> <p>17 a detailed inspection and that's also further</p> <p>18 supplemented with throughout the year</p> <p>19 inspections of condition. And that can be</p> <p>20 from a sounding of the poles, to shelliness of</p> <p>21 the poles. We take conductor samples in</p> <p>22 specific areas if we've had conductor breaks</p> <p>23 and have these analyzed by laboratories.</p> <p>24 Examples of that would have been the 301</p> <p>25 project where we had interior deterioration as</p>

Page 105	Page 106
<p>1 MR. LUDLOW:</p> <p>2 a result of salt and sulphur showed up. We</p> <p>3 have no idea where it comes from, but the</p> <p>4 brittleness of the conductor was being--sorry,</p> <p>5 the conductor was becoming brittle and less</p> <p>6 bendable is the word I'll use. That is an</p> <p>7 ongoing process. That will also include</p> <p>8 right-of-way conditions. We then do in our</p> <p>9 substations monthly inspections and that would</p> <p>10 be to check for safety and general operating</p> <p>11 procedures, the specific equipment is staged</p> <p>12 through a series of processes. And where I'll</p> <p>13 go with that would be, I'll take the oil base</p> <p>14 maintenance or the condition base maintenance</p> <p>15 as an example. Every year we will take and do</p> <p>16 take samples of oil in transformers to check</p> <p>17 its ability to express arc, are we getting</p> <p>18 contaminants, are we getting, you know,</p> <p>19 explosive gasses. We will also look at and</p> <p>20 investigate alternatives to its repair or</p> <p>21 removal. We will also look at radiators, all</p> <p>22 the various pieces of equipment on a regular</p> <p>23 predetermined basis, a transformer is</p> <p>24 overhauled, from paint to bushings to the</p> <p>25 internal workings of it. Abreaker, for</p>	<p>1 example, and the number escapes me, I will say</p> <p>2 8 to 10 years is literally stripped down and</p> <p>3 overhauled. It's condition is assessed at that</p> <p>4 point. Prior to that you get different levels</p> <p>5 of investigation into the operation of the</p> <p>6 equipment. So, all through that period this</p> <p>7 is an ongoing condition assessment, you're</p> <p>8 looking at it, you're working it, you're</p> <p>9 maintaining, you're repairing it. You go to</p> <p>10 your transmission--I've done that one--go to</p> <p>11 distribution and what we're doing on that</p> <p>12 front is over five year period, we're taking</p> <p>13 20 percent a year of our feeders to go through</p> <p>14 and literally walk underneath each pole, look</p> <p>15 for some things as simple as split cross-arms,</p> <p>16 a loose connector that's visible, certain</p> <p>17 things that these people are trained to look</p> <p>18 for, automatic sleeves, cut outs. PCB</p> <p>19 transformers or transformers that are oil</p> <p>20 filled, we have no PCB per se that we're</p> <p>21 finding. We may be finding some low level</p> <p>22 contaminations that we're working on.</p> <p>23 Insulators, wire, we will look at the wire. A</p> <p>24 trained eye can pick up a number 4 copper</p> <p>25 sitting in that insulator that's been there</p>
Page 107	Page 108
<p>1 for 30 years that's now smaller than a pencil,</p> <p>2 it's worn. That then all comes back into the</p> <p>3 condition assessment. That is further aligned</p> <p>4 with, I'll look at history, historical</p> <p>5 performance. We will tie that back against</p> <p>6 what's happening in the industry. At a</p> <p>7 previous hearing we had a report where we</p> <p>8 talked in terms of the BI & I Report on power</p> <p>9 transformer failure rates that are being</p> <p>10 predicted in the foreseeable future. And it</p> <p>11 was interesting because last year I lost</p> <p>12 three. Now, what can I do to mitigate that?</p> <p>13 I don't necessarily want to change the</p> <p>14 transformers, but I certainly want to get in</p> <p>15 there, change my maintenance so I can work on</p> <p>16 it and head off the failures. That all goes</p> <p>17 in the pot of the capital program at the</p> <p>18 manager and departmental level and that's how</p> <p>19 we focus. That's how we got to Wesleyville.</p> <p>20 That's how we get to the various projects such</p> <p>21 as substations and radiators and what have</p> <p>22 you.</p> <p>23 Q. I think you said you were going to let Mr.</p> <p>24 Delaney actually have a chance to talk.</p> <p>25 MR. DELANEY:</p>	<p>1 A. I don't know if there's much I can add to</p> <p>2 that.</p> <p>3 Q. No, I wouldn't imagine.</p> <p>4 MR. LUDLOW:</p> <p>5 A. Sorry, boss.</p> <p>6 Q. All right. Just for something completely</p> <p>7 different, what I'd like to do is just cover</p> <p>8 one last topic area. I think I may be</p> <p>9 finished with the Panel after that and it</p> <p>10 would be appropriate to take a break then</p> <p>11 anyways and then I'll be able to advise</p> <p>12 counsel whether we're set up for the IT once I</p> <p>13 just review my notes.</p> <p>14 CHAIRMAN:</p> <p>15 Q. Fine.</p> <p>16 MR. KENNEDY:</p> <p>17 Q. If that's okay, Chair.</p> <p>18 CHAIRMAN:</p> <p>19 Q. That's fine.</p> <p>20 MR. KENNEDY:</p> <p>21 Q. Thank you. And I presume you probably know</p> <p>22 what's coming, that's a dark skies question</p> <p>23 and I have some hard copies.</p> <p>24 MR. MYLES:</p> <p>25 Q. You're planning on calling these people to</p>

Page 109	Page 110
<p>1 MR. MYLES: 2 testify, are you? I'll take that as a no. 3 MR. KENNEDY: 4 Q. Yes. Chair, these are two articles, they were 5 provided to counsel for Newfoundland Power 6 previously, a couple of day ago, so I think 7 they hopefully brought this to the attention 8 of their witnesses already. 9 MR. MYLES: 10 Q. That's correct, Mr. Chair. 11 MR. KENNEDY: 12 Q. And I guess we should label them Information 13 Request Number 2, sorry, Information Item 14 Number 2 and Information Item Number 3. 15 Number 2 would be the New York Times article 16 and Number 3 is the NASA article. And 17 gentlemen it's indicated in one of the replies 18 to an RFI, PUB-45 that Newfoundland Power has 19 been aware of the dark skies initiative with 20 respect to light pollution for some time, but 21 that you have not adopted any policies in 22 regards to the matter. Just for the sake of 23 brevity, you've also indicated in PUB-46 that 24 you use high pressure street lighting, high 25 pressure bulbs in your street lighting and</p>	<p>1 that in PUB-47 you indicated that you don't 2 offer low pressure sodium lighting as an 3 alternative to high pressure sodium lighting. 4 I wonder if you could just comment on that 5 first. Is there a reason why you don't employ 6 the more energy efficient low pressure sodium 7 bulbs. 8 MR. LUDLOW: 9 A. Okay. There's a couple of items, I guess. 10 First of all, lighting and this is, I think, 11 brought out in the two articles. There's a 12 balance between cost and lighting, I think 13 lumens or lux are the appropriate terms that's 14 being used or candle powers, I'm not sure what 15 it is these days, the ability of the light to 16 provide the service required. We have not 17 stocked or at this point, have any intention 18 of stocking the low pressure sodium lighting 19 fixture or bulb. The reason for that is, it 20 is true, it is more energy efficient, it is 21 also true that it provides a 22 monochromatic light that also poses the 23 reverse in that there are security concerns 24 and your ability to distinguish between 25 colours after dark as a result of the</p>
Page 111	Page 112
<p>1 absorption rate of the light emitted. 2 Q. If you could put it in lay terms, the existing 3 high pressure bulbs that you use give off a 4 white greeny glow, the low pressure bulbs are 5 known for giving off a more orange tinged 6 light. 7 MR. LUDLOW: 8 A. Close. The mercury vapour that's referred 9 gives a white or a really bright light. The 10 high pressure is a yellow light. The low 11 pressure sodium that's being referred to is on 12 the lower end of yellow to orange. 13 Q. Okay. But as far as you're aware, the low 14 pressure bulbs that are available on the 15 marketplace, are they compatible with the 16 existing cobra head lamps that you use in most 17 of your street lighting? 18 MR. LUDLOW: 19 A. I have to back up and say here that although 20 we have been aware of this, the--I have gone 21 for twenty odd year in this business, it has 22 been raised to my attention on, I would say, 23 three occasions, the low pressure sodium. 24 Once in 1994, I worked with low pressure 25 sodium lighting in Prince Edward Island and a</p>	<p>1 third time was by Board counsel. And when I 2 brought this to the attention of our standards 3 group, they were--how would I say--a little 4 bit dumbfounded about the whole idea, not in a 5 negative way, but it was not something that 6 was top of mind. So, I want to clarify that 7 this has not been a burning issue by our 8 customers. As a matter of fact, the reverse, 9 in my experience in PEI using low pressure, 10 there have been concerns about the type of 11 light. 12 Q. Sure. Now, in addition to the types of bulbs, 13 there's also issues about the just the 14 lighting design itself, correct. 15 MR. LUDLOW: 16 A. That is correct. 17 Q. Okay. And there's an example in the article, 18 "The Fading Milky Way" which is at page 3 of 19 the article showing the flat lens cobra head 20 fixtures, instead of the ubiquitous drop lens 21 cobra heads. Do you see that in the article? 22 MR. LUDLOW: 23 A. I do. 24 Q. And Newfoundland Power uses the ubiquitous 25 drop lens cobra head luminary?</p>

Page 113	Page 114
<p>1 MR. LUDLOW:</p> <p>2 A. We've used both. We have, in fact,</p> <p>3 experimented or tried the flat lens cobra head</p> <p>4 with the high pressure bulb. It was amazing</p> <p>5 that this do produce a more focused light.</p> <p>6 Whereas the dropped head cobra head luminair</p> <p>7 has a tendency to disperse light and give more</p> <p>8 of a softer edge. And I guess after reading</p> <p>9 the articles and doing a little research, it</p> <p>10 also reflects some back up as well. The</p> <p>11 problems that we were receiving, Mr. Chairman,</p> <p>12 was that we were sending trucks because people</p> <p>13 thought the lights were out. They were so</p> <p>14 focused and the breadth on the roadways or</p> <p>15 that they were used to either mercury vapour</p> <p>16 or high pressure, we were using high pressure,</p> <p>17 but it was the direction of the light, if you</p> <p>18 can picture it. They, in fact--we would get</p> <p>19 calls, there's something wrong with the light,</p> <p>20 we're not getting the coverage that we would</p> <p>21 traditionally get here.</p> <p>22 Q. That wouldn't be a reason though, would it, to</p> <p>23 not use the more light sensitive flat head</p> <p>24 fixtures?</p> <p>25 MR. LUDLOW:</p>	<p>1 A. Well, customer concerns or customer complaints</p> <p>2 would certainly drive or direct our attention</p> <p>3 as to how we proceed with these items.</p> <p>4 MR. DELANEY:</p> <p>5 A. There's one practical example that I've heard</p> <p>6 of, if you were to light a parking lot with</p> <p>7 low pressure sodium lights, you cannot tell</p> <p>8 the difference in the colours of the cars on</p> <p>9 the parking lot. So, I would suspect that</p> <p>10 that would be a concern to the RNC and some</p> <p>11 others.</p> <p>12 Q. That's all the questions I have at this point,</p> <p>13 Chair.</p> <p>14 CHAIRMAN:</p> <p>15 Q. All right, thank you, Mr. Kennedy. I guess,</p> <p>16 it's 12:00, so we'll take the scheduled 15</p> <p>17 minute recess and come back. Thank you.</p> <p>18 (RECESS - 12:00 noon)</p> <p>19 (RESUME - 12:28 p.m.)</p> <p>20 CHAIRPERSON:</p> <p>21 Q. Okay, Mr. Myles, I guess you perhaps have some</p> <p>22 questions for redirect.</p> <p>23 MR. MYLES:</p> <p>24 Q. Mr. Chairman, I have one question and one</p> <p>25 point. The point is that in reviewing the</p>
Page 115	Page 116
<p>1 table, which is found as Appendix A in the</p> <p>2 Walbourne report, which is Volume 2,</p> <p>3 Substations Appendix 4, Attachment A, the</p> <p>4 Appendix A, I think at least one of those</p> <p>5 numbers is wrong, and what we plan on doing is</p> <p>6 filing a revised table for you in the morning.</p> <p>7 And I have one question, and it's for Mr.</p> <p>8 Ludlow. Mr. Ludlow, based upon the</p> <p>9 engineering and the testing that's been done</p> <p>10 to date with respect to the steel penstock at</p> <p>11 New Chelsea, can you advise the Board as to</p> <p>12 what alternatives are available to</p> <p>13 Newfoundland Power, other than replacement of</p> <p>14 the steel penstocks?</p> <p>15 MR. LUDLOW:</p> <p>16 A. Mr. Chairman, from our perspective, based upon</p> <p>17 all inputs, there are no alternatives other</p> <p>18 than to replace this penstock. The report, as</p> <p>19 we went through yesterday, did make a</p> <p>20 statement that there was anticipated to be ten</p> <p>21 to fifteen years of remaining life in the</p> <p>22 penstock, in the steel section. However, when</p> <p>23 the actual inspection, ultrasonic inspection</p> <p>24 was done, as well as the external visual</p> <p>25 inspections were completed, it became very</p>	<p>1 clear that this was at the end of its useful</p> <p>2 life. Also, the point that was made very</p> <p>3 clear to me, was if any work were to proceed</p> <p>4 around the penstock and have it unearthed, the</p> <p>5 actual structural integrity of it being</p> <p>6 supported and so on under working conditions</p> <p>7 would be a real concern. Hence, the</p> <p>8 replacement that has been put forward.</p> <p>9 MR. MYLES:</p> <p>10 Q. Thank you, Mr. Ludlow. I have no further</p> <p>11 questions, Mr. Chairman.</p> <p>12 CHAIRPERSON:</p> <p>13 Q. Thank you, Mr. Myles. Commissioner Powell, do</p> <p>14 you have any questions?</p> <p>15 COMMISSIONER POWELL:</p> <p>16 Q. Thank you, Chair. I have a lot of questions.</p> <p>17 I don't know if I'm able to ask them all. I</p> <p>18 was told many years ago that most a person</p> <p>19 ever understood of any subject is five</p> <p>20 percent, and all you have to do is sit here,</p> <p>21 you realize how accurate that was. The Dark</p> <p>22 Skies initiative is the last thing counsel</p> <p>23 brought up. Has Newfoundland Power done any</p> <p>24 economic analysis to see if it was feasible to</p> <p>25 do it, what it would cost and what the</p>

Page 117	Page 118
<p>1 COMMISSIONER POWELL:</p> <p>2 potential saving would be, from a generation</p> <p>3 side?</p> <p>4 MR. LUDLOW:</p> <p>5 A. No, Commissioner Powell, we have not at this</p> <p>6 point in time completed any economics</p> <p>7 regarding the use of low pressure sodium. The</p> <p>8 point here that we did move though from a</p> <p>9 mercury vapour or the white light to the</p> <p>10 yellow light or the high pressure sodium in</p> <p>11 the last ten to fifteen years and are still in</p> <p>12 that change out process, and that was based</p> <p>13 upon lower energy consumption with the high</p> <p>14 pressure versus the mercury vapour. To go to</p> <p>15 the other step, to move it to the low</p> <p>16 pressure, as is raised by the Dark Skies</p> <p>17 group, and I'm not even sure they're 100</p> <p>18 percent behind this area, it's the whole</p> <p>19 concept of light pollution is my understanding</p> <p>20 of it. One of the alternatives may be that</p> <p>21 end. We have not looked there, sir, and</p> <p>22 because there are security and safety issues</p> <p>23 as well.</p> <p>24 Q. Do you have any data to show the savings going</p> <p>25 from the mercury to the high?</p>	<p>1 MR. LUDLOW:</p> <p>2 A. Yes, we do, and as a matter of fact, to give</p> <p>3 you an example, I'll lead and then you can</p> <p>4 fill, Phonse, if you would, is that a 150-watt</p> <p>5 mercury vapour light will throw off the same</p> <p>6 candle power as a 100-watt high pressure</p> <p>7 sodium light, and the wattage that I'm</p> <p>8 referring to is the energy consumption. So it</p> <p>9 is much more efficient to be using the high</p> <p>10 pressure sodium versus the mercury vapour.</p> <p>11 That's on the actual operating costs. The</p> <p>12 other side of that equation, Commissioner</p> <p>13 Powell, is the actual purchase cost of the</p> <p>14 light itself is different. It is not as</p> <p>15 simple a matter as changing a bulb in that, if</p> <p>16 I go back in my--a bulb, a mercury vapour bulb</p> <p>17 would be in the four to five dollar range. A</p> <p>18 high pressure sodium bulb is in the \$25-30</p> <p>19 range. So there's the operating side from the</p> <p>20 generating perspective and then you have the</p> <p>21 actual cost of the head and the maintenance or</p> <p>22 the purchase of the bulb. So that's some</p> <p>23 factors.</p> <p>24 MR. DELANEY:</p> <p>25 A. Just to add a little bit to it. The exact</p>
Page 119	Page 120
<p>1 value that we've determined is that high</p> <p>2 pressure sodium saves about 37 percent of the</p> <p>3 energy for the same amount of light versus</p> <p>4 mercury vapour, and in the system now, there</p> <p>5 is about 54,000 street lights and 80 percent</p> <p>6 of them are high pressure sodium and 20</p> <p>7 percent are mercury vapour.</p> <p>8 Q. So there have been significant saving then, in</p> <p>9 terms of the amount of power that need to be</p> <p>10 generated to keep the street light going?</p> <p>11 MR. DELANEY:</p> <p>12 A. Yes. Over the years, from the move from</p> <p>13 mercury vapour to high pressure sodium.</p> <p>14 Q. So this is the same calculation that you see</p> <p>15 the--trying to get homeowners to switch from</p> <p>16 the normal light bulb to the fluorescent light</p> <p>17 bulb and they say after seven years, or</p> <p>18 depends on which you believe, that they do</p> <p>19 have on the package some sort of an economic</p> <p>20 analysis of why I pay \$8.00 for a bulb as</p> <p>21 opposed to getting three for \$1.00.</p> <p>22 MR. LUDLOW:</p> <p>23 A. Pretty much the same scenario, Commissioner</p> <p>24 Powell, yes.</p> <p>25 Q. But you have no indication if you drop down</p>	<p>1 another level that the savings would be as</p> <p>2 high?</p> <p>3 MR. LUDLOW:</p> <p>4 A. This next step is broader than straight energy</p> <p>5 dollars, I guess is the point. We haven't</p> <p>6 gone there as of yet, and actually there are</p> <p>7 very few utilities that--matter of fact, I</p> <p>8 don't know of any utility in Canada that have</p> <p>9 gone with all low pressure. I referenced my</p> <p>10 work in Maritime Electric or in Prince Edward</p> <p>11 Island, I'm sorry. There, the roadways are</p> <p>12 owned or the lighting is owned by the</p> <p>13 Provincial government. It uses a low pressure</p> <p>14 sodium light. Now that's a--I'm going to--</p> <p>15 bear with me, I might be off a foot, but a 10</p> <p>16 to 12 foot fluorescent tube type of fixture,</p> <p>17 you know, it's a long overhanging style</p> <p>18 because of the low start required to do this.</p> <p>19 That's a totally different head than the cobra</p> <p>20 head that counsel and I were discussing</p> <p>21 earlier. That has brought its difficulties in</p> <p>22 operating and management because we also ran</p> <p>23 that contract and handling a 10 or 12 foot</p> <p>24 fluorescent bulb on a line truck becomes a</p> <p>25 challenge, if you can picture it. UPEI has</p>

Page 121	Page 122
<p>1 MR. LUDLOW:</p> <p>2 also used the low pressure lighting, low</p> <p>3 pressure sodium lighting on some of their, I</p> <p>4 guess what do you call it, that ground</p> <p>5 lighting and those types of things. As late</p> <p>6 as yesterday, I did check with my counterpart</p> <p>7 at Maritime and his comment was there is some</p> <p>8 concern. Now whether that concern is with the</p> <p>9 difference in lighting, everybody with a</p> <p>10 change needless to say, that's not being</p> <p>11 negative, you know, to go from a bright yellow</p> <p>12 to a deeper yellow, that's a concern. And</p> <p>13 also, the focusing of the light and the</p> <p>14 colours and the security are also issues that</p> <p>15 have been raised, other than the straight</p> <p>16 economics.</p> <p>17 Q. No thought then to sort of doing a public--</p> <p>18 excuse me, a pilot project and informing the</p> <p>19 public what you're doing at such an area so</p> <p>20 they wouldn't be alarmed, assuming the lights</p> <p>21 were out when they're actually on? Because</p> <p>22 the highways now, you drive down, at least my</p> <p>23 part of the country, you get the feeling that</p> <p>24 different street lights give different light.</p> <p>25 There are times you, as you say, you think the</p>	<p>1 street light is out but it's--that must be a</p> <p>2 different bulb you have in there?</p> <p>3 MR. LUDLOW:</p> <p>4 A. This may very well be the difference that I</p> <p>5 was explaining to Counsel Kennedy earlier.</p> <p>6 The difference between, I think the word is</p> <p>7 ubiquitous, the dropped head versus the flat</p> <p>8 head, where we referenced cobra-style</p> <p>9 lighting, and what it is, it's the piece that</p> <p>10 sticks out on the end of the steel arm, and</p> <p>11 where they're flat, the actual reflector of</p> <p>12 that light is up in the head, so there's a</p> <p>13 metal reflector pushing down which gives it</p> <p>14 very firm parameters, if you think about the</p> <p>15 lighting pattern. With the ubiquitous head,</p> <p>16 the reflector is up here, but there's a</p> <p>17 refractor in the glass, such that when the</p> <p>18 light hits the glass, it goes on a much</p> <p>19 broader scheme. That has ramifications from</p> <p>20 lighting design, from closeness of design in</p> <p>21 parking lots and those types of things as</p> <p>22 well. If we were designing a highway, just</p> <p>23 say the crosstown arterial, that would have</p> <p>24 impact on how close or how far away you would</p> <p>25 put your standards as well. So these are just</p>
Page 123	Page 124
<p>1 factors that come in.</p> <p>2 Q. So I have security lighting in my yard,</p> <p>3 compliments of Newfoundland Power, which I pay</p> <p>4 them a small fee, would I have a choice</p> <p>5 between wanting more focus as a broader, or do</p> <p>6 you have a standard one that you -</p> <p>7 MR. LUDLOW:</p> <p>8 A. Right now, in our inventory, we would</p> <p>9 basically carry one type of standard for that</p> <p>10 style of lighting and that most likely, if</p> <p>11 it's a yellow light, it's a 100-watt high</p> <p>12 pressure sodium light with a dropped</p> <p>13 reflector. We did have some of the flat type</p> <p>14 of glass, but we had to--we discontinued it is</p> <p>15 what happened. So we don't carry sort of a</p> <p>16 wide range of lighting, and that's another</p> <p>17 item that would come into play.</p> <p>18 Q. Good. Thank you. I started with that one</p> <p>19 because the questions were in my head from the</p> <p>20 previous discussion. The one question I</p> <p>21 wanted to talk with you about is when I read</p> <p>22 the application and read all the evidence that</p> <p>23 was submitted, and then listening to the</p> <p>24 counsel for Hydro, I was left with the</p> <p>25 impression that, I don't have the figure here,</p>	<p>1 but \$6.9 million in energy off of your 50 odd</p> <p>2 billion dollar. I didn't get the impression</p> <p>3 that the communications with Hydro was there.</p> <p>4 I mean, Newfoundland Power is primary</p> <p>5 distributor of power, even though they have 23</p> <p>6 various generation sites, but in the whole</p> <p>7 grid, it's a relatively small portion of it,</p> <p>8 and so the one on like Chelsea, we'll just use</p> <p>9 as an example, certainly detail in why it</p> <p>10 needs to be replaced and that, but my question</p> <p>11 was do you need to replace it, and do you</p> <p>12 really need to replace it that is the least</p> <p>13 cost, and I was interested in your discussion</p> <p>14 with Hydro in terms of least cost and not</p> <p>15 obviously the first dollar you see. There's</p> <p>16 so many dollars you have to look at, and I</p> <p>17 appreciate that. That's just good business</p> <p>18 management. But, am I right in assuming that</p> <p>19 Newfoundland Power developed the Chelsea</p> <p>20 project on their own because they felt that</p> <p>21 they needed to replace it without sitting down</p> <p>22 with Hydro and saying "do we need to? Do you</p> <p>23 have a better alternative for us?" In terms</p> <p>24 of energy to the grid and costs for the rate</p> <p>25 payers.</p>

Page 125	Page 126
<p>1 MR. LUDLOW:</p> <p>2 A. We would not, in the Chelsea project as an</p> <p>3 example, have sat down with Newfoundland and</p> <p>4 Labrador Hydro and discussed, how would I say,</p> <p>5 what we're doing or where we're going with</p> <p>6 respect to Chelsea. We would however be</p> <p>7 continuously discussing with Hydro on load</p> <p>8 forecasting, energy production and where we</p> <p>9 see, on an annual or, you know, throughout the</p> <p>10 year in system operations. So I certainly--</p> <p>11 I'll come back to that point, Commissioner</p> <p>12 Powell, if I may, but I certainly wouldn't</p> <p>13 want to leave you with the impression that</p> <p>14 discussions between Newfoundland Power and</p> <p>15 Newfoundland Hydro are not occurring. They</p> <p>16 definitely are, on every aspect of operations,</p> <p>17 engineering, planning, outage management,</p> <p>18 standby generation. Even this summer, to give</p> <p>19 you an example, we were in discussions as late</p> <p>20 as July regarding the planning and outage</p> <p>21 management for next July's outage to the</p> <p>22 southwest coast when they are doing their work</p> <p>23 on 214, 214L which is a long radial. So I</p> <p>24 just wanted to make sure that's clear.</p> <p>25 There's a lot of work on that front. On the</p>	<p>1 forecasting of energy production and load and</p> <p>2 energy purchase, that discussion we forward</p> <p>3 and discuss the load profiles on an annual</p> <p>4 basis with them, where we see loads growing,</p> <p>5 where we see things happening, and part of</p> <p>6 that would also be then our ability to</p> <p>7 generate. That's also part of that exercise.</p> <p>8 With respect to the economics of the project,</p> <p>9 that is something we have done in-house and</p> <p>10 have always done so. You know, it's not that</p> <p>11 we wouldn't talk to them about it. We just</p> <p>12 haven't.</p> <p>13 Q. The issue of duplication is an issue, I guess,</p> <p>14 that came up with Newfoundland Power's General</p> <p>15 Rate Application. It came up at Hydro's rate</p> <p>16 application. It came up on the Capital Budget</p> <p>17 hearing. And the Board, in PUB-36 on Schedule</p> <p>18 C, Item IX, as condition for future filings -</p> <p>19 MR. LUDLOW:</p> <p>20 A. I wouldn't have it.</p> <p>21 Q. I'll read it.</p> <p>22 MR. LUDLOW:</p> <p>23 A. If you would.</p> <p>24 (12:45 p.m.)</p> <p>25 Q. IX said "Newfoundland Power shall file future</p>
Page 127	Page 128
<p>1 Capital Budget Applications in accordance with</p> <p>2 the following guidelines," and there's 13 or</p> <p>3 12 of these listed. No. 9 is "a description</p> <p>4 and related documentation outlining the</p> <p>5 results of any discussions of the project that</p> <p>6 have taken place between the utilities in an</p> <p>7 effort to reduce expenditures by avoiding</p> <p>8 duplication of services or increased sharing</p> <p>9 of resources and expenses." So when I read</p> <p>10 that, the generation, and I said, you know,</p> <p>11 Hydro is the generator in the province, so</p> <p>12 therefore all your generation projects would</p> <p>13 have captured under that. And then, we talked</p> <p>14 about least cost and one of the things that</p> <p>15 there's been a lot of money spent by both</p> <p>16 utilities over the last number of years, at</p> <p>17 least applications came to have expenditures,</p> <p>18 was fairly sophisticated computer models,</p> <p>19 talking about the efficient use of the</p> <p>20 resources, the ability to look at sources of</p> <p>21 generation and running them at the optimum</p> <p>22 level. Holyrood, from my understanding, years</p> <p>23 ago it was just there for peaking. Now it's a</p> <p>24 basic part of our generation. The ability of</p> <p>25 this computer modelling, my understanding, was</p>	<p>1 ability to be able to use Holyrood and</p> <p>2 essentially take it and get the efficiencies</p> <p>3 up.</p> <p>4 So just like a car, you run around town</p> <p>5 and you get 10 miles to the gallon. You can</p> <p>6 run around the highway, you get 30 miles to</p> <p>7 the gallon and different engine configurations</p> <p>8 you can be able to optimize, depending on what</p> <p>9 you want it for. So some of the figures</p> <p>10 thrown in justification using \$20 a barrel or</p> <p>11 \$28 a barrel of oil, to me it didn't mean it</p> <p>12 was pertinent, because maybe if New Chelsea</p> <p>13 wasn't there Holyrood probably would be</p> <p>14 running for half an hour every day and</p> <p>15 therefore it mightn't cost any more oil</p> <p>16 because you're getting more efficient because</p> <p>17 you're running it longer. That's just a</p> <p>18 layman. So these are the sort of things that</p> <p>19 I would have thought that Newfoundland Power</p> <p>20 would have to get with Hydro and saying, you</p> <p>21 know, we have this generation. We've had it</p> <p>22 for 50 years. We're going to spend \$4 million</p> <p>23 to refurbish it, but do we need to? Because</p> <p>24 would that not make your system more reliable</p> <p>25 or more efficient and therefore the need is</p>

Page 129	Page 130
<p>1 not there.</p> <p>2 MR. LUDLOW:</p> <p>3 A. Two things, if I may start. I would agree</p> <p>4 with your premise that Newfoundland and</p> <p>5 Labrador Hydro is a generator. They are also</p> <p>6 responsible for the 230 Kv grid on the island.</p> <p>7 There's also, I think, how would I say, we are</p> <p>8 also a generator and have been for in excess</p> <p>9 of 100 years, and I just want to make that</p> <p>10 point.</p> <p>11 Q. I realize that.</p> <p>12 MR. LUDLOW:</p> <p>13 A. And that's 23 small hydro are very valuable</p> <p>14 from low-cost energy production. So that's</p> <p>15 one piece I would put out to the table. Also</p> <p>16 I think it's important that on this island</p> <p>17 there are other generators in people. We have</p> <p>18 Deer Lake Power and also Abitibi Consolidated</p> <p>19 and there's a NUG in Rattle Brook, which the</p> <p>20 name escapes me.</p> <p>21 The second point is that when we look at</p> <p>22 the cost of running New Chelsea, and we do</p> <p>23 our, and I'm saying our, extended costs</p> <p>24 through capital in keeping the systems going</p> <p>25 and everything else, and we're in the three</p>	<p>1 and a half cent range, the last production</p> <p>2 facilities to come online on this island, it's</p> <p>3 my understanding, was in the five and a half</p> <p>4 plus range. So from a straight economics on</p> <p>5 that side, that should show, at least to our</p> <p>6 way of thinking, Commissioner Powell, that</p> <p>7 that's a very positive project.</p> <p>8 Back to your point of generation, whether</p> <p>9 it's \$20 a barrel or \$28 a barrel or \$32 a</p> <p>10 barrel, the fact is, as I would see it, is</p> <p>11 that if we produce X number of gigawatt hours</p> <p>12 of energy at Chelsea, it's going to come from</p> <p>13 somewhere and if it comes from--and it will</p> <p>14 eventually come from Holyrood, depending upon</p> <p>15 the time of the year and water usage, it will</p> <p>16 cost money to generate that energy. It's not</p> <p>17 so small that it'll run when the machine is</p> <p>18 shut down. The point I'm making, to generate</p> <p>19 energy will cost money. So to step back from</p> <p>20 where I'd sit, we basically run our hydro</p> <p>21 systems, but in full, constant communication</p> <p>22 with Newfoundland and Labrador Hydro. On</p> <p>23 their dispatch, for example, we can get a call</p> <p>24 today, all hydro on, all--whatever you got.</p> <p>25 Needless to say, if we don't have water, we</p>
Page 131	Page 132
<p>1 can't run them. But that's the type of</p> <p>2 operations that are in place to minimize peak,</p> <p>3 to minimize the production. That conversation</p> <p>4 is happening continuously between our two</p> <p>5 utilities at the control centre level. So the</p> <p>6 dispatch of hydro, the dispatch of the gas</p> <p>7 turbines is not something that we do totally,</p> <p>8 how would I say, removed. That's like that</p> <p>9 with Newfoundland Hydro. So I'm not sure that</p> <p>10 that's clear in these discussions.</p> <p>11 Q. That wasn't the--I appreciate that, and I take</p> <p>12 that as a given. My only question is that</p> <p>13 it's just like if I get in my car now and I</p> <p>14 drive down Elizabeth Avenue and I go two</p> <p>15 kilometres, Elizabeth Avenue is that long, or</p> <p>16 if I was up there on the arterial route and</p> <p>17 drive two kilometres, I have all the same</p> <p>18 costs, but I'll probably -</p> <p>19 MR. LUDLOW:</p> <p>20 A. That's fair.</p> <p>21 Q. - only have to burn half a gallon or litre of</p> <p>22 gas to do it, as opposed to going down there.</p> <p>23 So I'm saying it's more efficient. I mean,</p> <p>24 for the same litre of gas, I can probably go</p> <p>25 four kilometres on the arterial route, but the</p>	<p>1 maximum, if I hit all the lights on Elizabeth</p> <p>2 Avenue, I'm only going to get -</p> <p>3 MR. LUDLOW:</p> <p>4 A. Fair assessment in the operating efficient--</p> <p>5 sorry.</p> <p>6 Q. Yes. So that's where I'm saying the question--</p> <p>7 -when I looked at New Chelsea, it's not that</p> <p>8 the costs are reasonable or anything else like</p> <p>9 that, but given the total thing, do we need</p> <p>10 it, at this point in time. And so that's</p> <p>11 where the experts at Hydro are saying, "gee,</p> <p>12 put this in our equation. We'll run this</p> <p>13 through," and maybe we'd eliminate a bunch of</p> <p>14 street lights because we know now, with our</p> <p>15 computer models, we should only be running--</p> <p>16 and that's what's missing. That's what I</p> <p>17 said--and I thought that's what we were trying</p> <p>18 to capture in PUB-36 in Schedule C was that</p> <p>19 little nub that there. It's an irritant as</p> <p>20 much as anything else, but you think that that</p> <p>21 needs to be done.</p> <p>22 MR. LUDLOW:</p> <p>23 A. When you look at the size, the relative sizes</p> <p>24 of these plants, your point is well taken</p> <p>25 regarding operating efficient ranges, and I</p>

Page 133	Page 134
<p>1 MR. LUDLOW: 2 think that's the - 3 Q. Yes. 4 MR. LUDLOW: 5 A. - and I think that's the--you get in a range-- 6 I'm not--I can't talk to you about Holyrood. 7 I don't know the details of the operating, but 8 I do know the fundamentals of operating 9 efficiencies for thermal plants. I agree with 10 what you're saying. Subject to check, if a 11 unit is on 150 megawatts at Holyrood, we're 12 talking approximately, I got 3.7 in my mind or 13 4 megawatts is what we're saying here. Now 14 that little piece, in relative sizing, is huge 15 differences, and I fully acknowledge your 16 point. When we looked at this project, I 17 wouldn't use the term 'permission' but 18 discussion, I guess, with Hydro, we have taken 19 as a given that any energy source that can 20 produce energy at an operating rate of .5 21 cents to .6 cents a kilowatt hour, that's 22 outside the capital side, which is rough 23 range, this one would be about .6 cents, that 24 has been functioning and running, would make 25 solid future long-giving benefit to the</p>	<p>1 customers of our province. And I know I'm 2 walking around your point, because I don't 3 have the exact point on the efficiency ranges. 4 Q. Yes, because one of the things that's 5 happening, and I think you sort of told us in 6 different things is that no question a lot of 7 your plants, they're older plants. The cost 8 in today's terms, today's dollars, are 9 peanuts. But as you're going, putting more 10 and more money into them, real dollars, and if 11 you had to rebuild them all, the cost of the 12 energy would be significantly higher per 13 kilowatt. 14 MR. LUDLOW: 15 A. That's fair. 16 Q. And the figure you just quoted earlier, 17 there's no reason to think that they would be 18 the same costs for Newfoundland Power that 19 would be for me. So I guess the thing that 20 I'm saying is, okay, we know they're going to 21 fail eventually or we have to rebuild them. 22 Let's not nickel and dime ourselves to death. 23 Maybe we should look at maybe they serve as 24 well, but they're just not the way we want to 25 go in the future, and you get into total cost,</p>
Page 135	Page 136
<p>1 as you say, and you got to look at the whole 2 ball of wax, everything from the ongoing 3 environmental problems to the actual cost of 4 buying barrels of oil, and I just get the 5 feeling that that wasn't in the mix. 6 MR. LUDLOW: 7 A. I think your observation is pretty much 8 accurate in that on an individual plant basis, 9 Commissioner Powell. However, on the mix 10 between our available Hydro production 11 facilities is certainly built into the long 12 haul estimates of when additional capacity is 13 required for this island as well as energy 14 dispatch and so on. That was the point I was 15 coming to earlier. So if there is a--you 16 know, the \$4 million expenditure at New 17 Chelsea, okay, for 3.7 or 3.8 megawatt plant, 18 to rebuild that would run us, I would 19 estimate, in the 15-16, maybe even 18 million 20 dollar range. So to forego the opportunity 21 and shut it down, which was one of the options 22 I looked at a plant a while ago and again, 23 before--I have one or two plants now that when 24 they get to the stage that Chelsea's at, 25 personally I'm going to have an awful hard</p>	<p>1 time justifying sitting in this seat. I know 2 I'm at the smaller picture versus the bigger 3 picture, but I'm trying to give you the 4 flavour that the overall system is run as a 5 system. Now whether or not the financial 6 gurus sit down and go through all of the 7 details and crunch the numbers, the energy 8 cost, the investment point, and we do have a 9 substantive investment in Chelsea that has 10 served us well for the last, you know, 60 11 (sic.) years. So maybe I'm not answering, but 12 I'm doing the best I can with it. 13 Q. No, no, I appreciate, you're just a humble 14 engineer and - 15 MR. LUDLOW: 16 A. Thank you, sir. 17 Q. I know there's people coming behind you that-- 18 we're always giving you fellows a hard time. 19 But, that leads me into another question about 20 that, that threw me off and I'll throw it at 21 you and I'm sure somebody else will answer it 22 later on. Just bear with me for a moment 23 there, I flagged it. Yes. P.U.B. 124 we 24 talked about--there was a question there about 25 New Chelsea, and they asked about the</p>

Page 137

Page 138

1 COMMISSIONER POWELL:
 2 levelized cost for kilowatt power produced and
 3 various things. But, that--and some figures
 4 thrown at me. But it said in brackets, "(This
 5 number does not include any carrying charges
 6 from the existing plant as those are sunk
 7 costs)." And I appreciate that there would be
 8 because, you know, the idea of something being
 9 totally written off or replaced, I mean,
 10 that's utopia, that's in an accountant's
 11 dreamland or something. But I went--then I
 12 had no problem with that until I read the next
 13 one, P.U.B. 125, and the question was, "What
 14 is the current un-depreciated capital costs in
 15 the New Chelsea plant?" And then it says,
 16 "The Company does not maintain a record of un-
 17 depreciated capital costs of each hydro
 18 plant." So, I went back to 124. How could
 19 they answer that and say there was some costs
 20 and you have no record of them?
 21 MR. LUDLOW:
 22 A. I don't often do this Commissioner Powell, but
 23 this is one I am going to have to bow out on.
 24 Q. Yeah, okay. No, but -
 25 MR. LUDLOW:

1 A. I'm sorry.
 2 Q. Then it goes back to me. I realize you're
 3 crunching numbers, you're doing it in, you
 4 know, in your best effort. And I have no
 5 doubts about it. Matter of fact, I should
 6 compliment you on the detail that probably
 7 gets you in trouble, in a sense. I mean, it's
 8 a very good presentation. But I'm sometimes
 9 wondering, are you working with the right
 10 numbers. I mean, you know, because you have
 11 to go back and rely on various things, for
 12 somebody to crunch the numbers to you and
 13 say what's this cost in kilowatt, because this
 14 is what needs to be done, from an engineering
 15 point of view -
 16 MR. LUDLOW:
 17 A. Very much so.
 18 Q. - there's no questions that's what needs to be
 19 done. Somebody else got to tell you whether
 20 the economics are there, I mean, in terms of--
 21 so, I'm just left with saying, okay, how can
 22 you have it in saying there are some costs.
 23 And I have no doubts there probably are, but
 24 then an operation like Newfoundland Power, and
 25 we'll talk about it later on, with all the

Page 139

Page 140

1 money spent on computers and that, they don't
 2 know what individual things sort of cost, you
 3 know, sort of -
 4 (1:00 p.m.)
 5 MR. LUDLOW:
 6 A. Well, it's an interesting piece because--I
 7 will try as an engineer veering into your
 8 realm of expertise, and that's dangerous at
 9 the best of times, Commissioner Powell, I'm
 10 sure. From the depreciation of hydro plant
 11 assets, as I understand it, is grouped into
 12 one big group with the 23 or 24--23 plants in
 13 there. And that is depreciated over as per
 14 whatever. I think the reference that you're
 15 referring to is that there are some costs.
 16 Whether they can be quantified is the
 17 question. And when I read that answer and
 18 read it before, I don't think we're in a
 19 position to quantify it. Although we may have
 20 computer systems today, a lot of these
 21 computer systems are ten years old. And, I
 22 mean, I don't know how far back. I mean,
 23 these assets depreciate over, what, 40 years,
 24 I guess, 30, 40, years.
 25 Q. Um-hm.

1 MR. LUDLOW:
 2 A. If we were to go back and try and recapture
 3 all those costs and how that breaks down, I'm
 4 in over my waders, Commissioner.
 5 Q. Oh, no, I know what you're saying. Somebody
 6 at sometime make that judgment and we, we have
 7 so much into the system and these costs are
 8 dead now. We'll talk to, when we get to your
 9 financial people, how that's handled from an
 10 accounting point-of-view, is it's a cost. But
 11 then I just get looking at the figure. You're
 12 talking about kilowatt, and I go back to Hydro
 13 and they say, oh, yeah, if that power wasn't
 14 there, we could run Holyrood and get that
 15 extra miles to the gallon and therefore our
 16 cost would be there. Trying to get the apples
 17 and apples together and let's throw out the
 18 oranges and the grapefruits sort of thing.
 19 And I--that's what I--you know, again, it's
 20 not--from where you sit, I have no problem.
 21 But I'm just wondering with--like all the
 22 players are not at the table, sort of thing,
 23 that's the impression I'm getting here, and -
 24 MR. LUDLOW:
 25 A. Well, you know, I'm not here and I'm sorry, I

Page 141	Page 142
<p>1 MR. LUDLOW:</p> <p>2 can't defend Hydro. But I will say that I</p> <p>3 returned to this business in 1997 and when we</p> <p>4 talk about cooperation between the two</p> <p>5 businesses, I keep coming back to that point</p> <p>6 because there's an error that there's not the</p> <p>7 cooperation. Let's be careful between</p> <p>8 duplication and cooperation, there's a</p> <p>9 fundamental difference.</p> <p>10 Q. Um-hm.</p> <p>11 MR. LUDLOW:</p> <p>12 A. And, you know, right down to line crews being</p> <p>13 called, to construction projects in St.</p> <p>14 Patrick's and I mentioned--that's not a</p> <p>15 shopping list I'm reading from. These are day</p> <p>16 to day. For example, the lightening arrester</p> <p>17 failure on Christmas day here, the loss of</p> <p>18 their EMS system, I mean, we're involved in</p> <p>19 those types of things through discussions,</p> <p>20 we're updated immediately as to where things</p> <p>21 are. The offer goes out to help, sometimes</p> <p>22 it's taken, sometimes it's not. Sometimes</p> <p>23 we'll ask, sometimes they'll offer, sometimes</p> <p>24 they won't. But that to me is true</p> <p>25 cooperation between two public utilities. You</p>	<p>1 know, there's equipment sharing out there. So</p> <p>2 that's the reason why you say it's not all</p> <p>3 together, it may not appear on that energy</p> <p>4 side to be the case, but I certainly wouldn't</p> <p>5 want it to go broader. Back to the numbers -</p> <p>6 Q. I'm not suggesting--you know, I have no doubts</p> <p>7 on a day-to-day basis the vast majority of</p> <p>8 personnel in and around Hydro and Newfoundland</p> <p>9 Power. I mean, they're in the common business</p> <p>10 and they have a lot of things to share, no</p> <p>11 question about that. One other thing on the</p> <p>12 generation side, it sort of struck me on the</p> <p>13 reading the attachment on the Morris plant</p> <p>14 turbine and stationary steel inspection, let</p> <p>15 me just read it and you probably got the</p> <p>16 answer. It just struck me as--they talked</p> <p>17 about the assessment of the turbine</p> <p>18 inspection. And it said the turbine was</p> <p>19 opened up and inspected and was found that the</p> <p>20 stationary steels in this turbine were mild</p> <p>21 carbon steel and not type 410 stainless steel.</p> <p>22 And what struck me as funny, and I made a note</p> <p>23 of it, why were you surprised? I mean, don't</p> <p>24 you know what's inside your equipment you got?</p> <p>25 It sort of struck me, I said, okay.</p>
Page 143	Page 144
<p>1 MR. LUDLOW:</p> <p>2 A. When you read it, I sort of anticipated where</p> <p>3 your question was coming from.</p> <p>4 MR. DELANEY:</p> <p>5 A. I think it may have to do with the person who</p> <p>6 wrote the report.</p> <p>7 Q. Okay.</p> <p>8 MR. DELANEY:</p> <p>9 A. Being a surprise.</p> <p>10 Q. Okay. Must be an accountant who wrote the</p> <p>11 report.</p> <p>12 MR. DELANEY:</p> <p>13 A. I think it was an engineer. You know, we have</p> <p>14 the different--the stainless steel inside the</p> <p>15 runners and this was a mild carbon steel and I</p> <p>16 guess I can't testify as to his amount of</p> <p>17 surprise, but I guess he didn't expect to see</p> <p>18 it there. And, you know, other than that -</p> <p>19 Q. Because this goes back to other questions you</p> <p>20 talked about. And I appreciate this. The</p> <p>21 challenge is to anticipate. It's just like</p> <p>22 you're running a car, I mean, I don't want my</p> <p>23 car in the garage if I'm--or I promise to meet</p> <p>24 a client halfway across the town and I expect</p> <p>25 to get in that car and go there, and you know,</p>	<p>1 I just put it in regularly, get everything</p> <p>2 checked and I don't want the muffler falling</p> <p>3 off halfway across town. And the challenge is</p> <p>4 even greater given all the other things going</p> <p>5 on. So I would think, you know, pieces of</p> <p>6 equipment like that. I mean, if you--I assume</p> <p>7 from this the fact that they were of carbon,</p> <p>8 they're more apt, yeah, to run out, so</p> <p>9 therefore--so if you got them somewhere in the</p> <p>10 middle of your system and people really don't</p> <p>11 know, you're sort of wondering -</p> <p>12 MR. LUDLOW:</p> <p>13 A. I think the element of surprise that you're</p> <p>14 bringing forward, Commissioner Powell, you</p> <p>15 know, maybe it's the wording, maybe it's not,</p> <p>16 I don't know. But when this unit went in</p> <p>17 place in 1983, you know, it was been running</p> <p>18 pretty consistently through, I think it was</p> <p>19 '83, '82, '83 range Morris went in place. And</p> <p>20 from there, upon one of these inspections,</p> <p>21 subsequent to sticking of the wicket gates</p> <p>22 they knew there was something wrong. Now,</p> <p>23 whether they were surprised over the rate of</p> <p>24 corrosion of the mild steel or whether they</p> <p>25 were surprised over the fact that it wasn't</p>

Page 145	Page 146
<p>1 MR. LUDLOW:</p> <p>2 stainless and would we have--if we were to do</p> <p>3 this today what would we buy. Most likely</p> <p>4 knowing what we know now we'd correct our</p> <p>5 specification and go forward. I'm not, I'm</p> <p>6 not overly bothered by the fact that they</p> <p>7 found a mild steel corroded seal in that it's</p> <p>8 something that's been running for, you know,</p> <p>9 20 years. They found it, they got to it, we</p> <p>10 were able to manage it in and bring it forward</p> <p>11 now. So, that's -</p> <p>12 Q. Do we have more turbines out there with the</p> <p>13 same, assuming that it's stainless but it's</p> <p>14 not? I mean, would you--would that bother you</p> <p>15 now, you should check all our turbines or -</p> <p>16 MR. LUDLOW:</p> <p>17 A. Exactly where we would go, we would go now and</p> <p>18 cross check every--this happens to be a Barber</p> <p>19 unit that was installed in '83. We would then</p> <p>20 go and check subsequent purchases and see</p> <p>21 whether or not they were the same problem.</p> <p>22 Maybe it's got something to do with the</p> <p>23 salinity or chemical composition of the water</p> <p>24 that's causing the mild steel to deteriorate.</p> <p>25 So, that's exactly the whole idea behind--I</p>	<p>1 referenced the asset management of the</p> <p>2 computer systems. Right now we've inspected,</p> <p>3 we would log, we know where all other units of</p> <p>4 this type, date, vintage, manufacturer is. We</p> <p>5 would go check to ensure that we are not going</p> <p>6 to have a repeat stuck wicket gate.</p> <p>7 MR. DELANEY:</p> <p>8 A. Yeah. Well, Barber, just to build on that,</p> <p>9 the Barber turbine subsequent to this and</p> <p>10 other things that we have them located in,</p> <p>11 Lookout Brook plant, at our Lawn plant,</p> <p>12 Topsail and Morris and (unintelligible)</p> <p>13 Barbers out of business, are no longer in</p> <p>14 business, our hydraulic turbines.</p> <p>15 Q. The lightening arresters, sort of interesting.</p> <p>16 Do you have any figures on the percentage of</p> <p>17 failures of transformers that got hit that had</p> <p>18 arresters on them as a percentage of the total</p> <p>19 versus the percentage that got hit that didn't</p> <p>20 have arresters in the area that you would</p> <p>21 expect them?</p> <p>22 MR. DELANEY:</p> <p>23 A. Okay. I can answer this one from a personal</p> <p>24 experience. In 2002 we had a very severe</p> <p>25 lightening storm come across Newfoundland. We</p>
Page 147	Page 148
<p>1 had failures from one end of the island to the</p> <p>2 other. And in the Grand Falls area was</p> <p>3 particular hard hit. And we know from our</p> <p>4 records that in Grand Falls approximately half</p> <p>5 of the distribution transformers have</p> <p>6 lightening arresters and half do not.</p> <p>7 Q. Um-hm.</p> <p>8 MR. DELANEY:</p> <p>9 A. Okay. And we had in the order of 200</p> <p>10 lightening--transformer failures due to</p> <p>11 lightening in Grand Falls. And 100--well, all</p> <p>12 right, all but one were on transformers</p> <p>13 without lightening arresters. So if you look</p> <p>14 at that ratio, you think, all right, half your</p> <p>15 transformers have lightening arresters, half</p> <p>16 don't. The lightening storm came right</p> <p>17 through the whole area. You had 200 fail</p> <p>18 where you didn't have lightening arresters and</p> <p>19 you had just one fail where you had lightening</p> <p>20 arresters, so that would give you some idea of</p> <p>21 the percentages there. And the one that did</p> <p>22 fail, Earl alluded to afterwards, we were</p> <p>23 trying to find the transformer. It was a</p> <p>24 direct hit on the--lightening arresters, I</p> <p>25 just want to back it up into the operational</p>	<p>1 experience on why lightening arresters are</p> <p>2 such a concern. And as lighting strikes--</p> <p>3 lightening occurs in summer, of course, in</p> <p>4 August, and it's a time of year when a lot of</p> <p>5 people are on vacation. We have a lot of our</p> <p>6 line staff are on vacation. And if I were to</p> <p>7 have, say, 500 customers out due to a feeder</p> <p>8 outage, well, that's one location to go to.</p> <p>9 I'd send a crew, get the 500 customers back</p> <p>10 on. If I have 500 customers off due to a</p> <p>11 lightening storm, I may have as many as 100</p> <p>12 different locations to go to, you know,</p> <p>13 because you have--there's small pockets. Now</p> <p>14 you got small pockets of problems all over the</p> <p>15 place, and it's very labour intensive. You</p> <p>16 send a crew there, you may need four people at</p> <p>17 the pole, we could be using technology that</p> <p>18 they used to build the pyramids is what some</p> <p>19 of the guys say. If they're in the back</p> <p>20 yards, we have to use block and tackle stuff</p> <p>21 to get these transformers replaced. So you're</p> <p>22 combining all of that with a time of year when</p> <p>23 your resources are, you know, on vacation and</p> <p>24 it's that time of year when you could be hit</p> <p>25 with a storm that's causing widespread damage,</p>

Page 149	Page 150
<p>1 MR. DELANEY: 2 it's pocketed all over and, you know, it's a 3 concern. I know in the Grand Falls experience 4 we called everybody, got everybody in that 5 was--got them back off vacation, the ones that 6 you can reach. Nowadays with people in 7 cottages and stuff, in cabins, they're 8 sometimes very difficult to reach. And every 9 available person from St. John's to Port aux 10 Basques was mobilized for that particular 11 incident. 12 Q. Do you have any data within your system 13 outside the province comparable, like you say 14 in Grand Falls essentially you almost had 100 15 percent success with the--where you had 16 arresters. 17 MR. DELANEY: 18 A. Yeah. 19 Q. Versus--is that - 20 MR. DELANEY: 21 A. I don't have no data that I can refer to now, 22 only that I think we're the only ones, really, 23 that don't have lightening arresters. I'm not 24 sure if there's any other utility that doesn't 25 install lightening arresters. It's a matter</p>	<p>1 of - 2 Q. It's all part of it. 3 MR. DELANEY: 4 A. Of practice. 5 Q. One other area we talked about meters. The 6 AMR? 7 MR. LUDLOW: 8 A. AMR, yes. 9 COMMISSIONER POWELL: 10 Q. Do they have the same life expectancy or is 11 there any benefit in terms of life expectancy 12 or - 13 MR. LUDLOW: 14 A. There is no indication, Commissioner Powell, 15 that there would be any difference in the AMR 16 meter, verses the electrical mechanical, if 17 anything the jury is out, they should last 18 longer, from at least the internal workings. 19 And that's not based on, if they haven't been 20 around long enough to find out, but - 21 Q. No, no. 22 MR. LUDLOW: 23 A. Here you're dealing with ones and zeros, or 24 zeros and ones, a digital type technology 25 verses, like I said, springs, dials, meters</p>
Page 151	Page 152
<p>1 and so on, so that's the sense of the 2 industry. 3 Q. Have you given any thought to doing a project 4 with, just taking the General Service 5 customers and installing AMRs and all of them 6 because, as a business person, I would think 7 they would want to have the least number of 8 people having access to their place, as 9 possible. So they would, to me, it would be, 10 once explained, would be more amenable to 11 sure, do it if it's going to save me money and 12 convenience and things like that. 13 MR. LUDLOW: 14 A. Commissioner Powell, there has been a great 15 deal of thought given to and monitoring all of 16 the meter reading industry in general, and 17 before we actually, I would say jump in, I'd 18 like to wade in very slowly because of the 19 regulatory overtones that I described this 20 morning and the changing, I call it landscape 21 regarding environment, Federal rules, because 22 metering under the Weights & Measures Act is a 23 federally regulated entity. Those are 24 currently behind where we are today in 25 technology, so that's one thing. However,</p>	<p>1 that's for a full-blown all out type program. 2 The second piece here that's important is that 3 the business owners would most likely be in 4 the demand style meter--they would be in the 5 demand style meter. And there's a hundred in 6 this budget to test and gain the access and to 7 see how we can in fact talk with the meters, 8 work with the meters and get this--you can 9 almost call this a pilot on its own, I guess, 10 with--while dealing with the accessibility and 11 the safety issues as well. So the long 12 answer, no, we have not gone to a full-blown 13 pilot, but it is not--it wouldn't be a full- 14 blown pilot but a full-blown implementation, 15 but the benefits of moving in that direction, 16 if we can get the other blockages that I just 17 highlighted out of the way, would be a 18 possible consideration. 19 Q. That's all my questions. Thanks very much 20 gentlemen. 21 (1:15 p.m.) 22 MR. LUDLOW: 23 A. Thank you, sir. 24 CHAIRMAN: 25 Q. Commissioner Martin?</p>

<p style="text-align: right;">Page 153</p> <p>1 COMMISSIONER MARTIN, Q.C.;</p> <p>2 Q. Most of mine are answered, I've just got a</p> <p>3 couple. There was some discussion about the</p> <p>4 replacement of a roof in Stephenville because</p> <p>5 of wind damage and I think you also referred</p> <p>6 to a vehicle, a few hundred thousand dollars</p> <p>7 which had been destroyed in an accident. My</p> <p>8 question is, I was wondering, first of all, if</p> <p>9 you carry insurance covering those two risks,</p> <p>10 and if so, if it is factored in the figures</p> <p>11 we've seen? It's not referred to as a</p> <p>12 separate item?</p> <p>13 MR. DELANEY:</p> <p>14 A. In respect to the insurance question, I can</p> <p>15 answer you on the vehicle. I actually have</p> <p>16 the numbers here, I jotted them down, having</p> <p>17 the same question that you've had. That was a</p> <p>18 vehicle that was involved in an accident in</p> <p>19 Port aux Basques earlier this year. It was</p> <p>20 January, February time. It was a very serious</p> <p>21 accident, by the way, we had a couple of</p> <p>22 linemen, one lineman in particular was</p> <p>23 severely injured in that accident. So we had,</p> <p>24 I think our claim, I'll give you the value of</p> <p>25 the vehicle at around seventy-five thousand.</p>	<p style="text-align: right;">Page 154</p> <p>1 There was a \$25,000.00 deductible, so the</p> <p>2 \$50,000 is a result there, in that area. The</p> <p>3 roof in Stephenville, I'm not sure -</p> <p>4 MR. LUDLOW:</p> <p>5 A. Generally, I would come back to say that we</p> <p>6 usually do have insurance for these types of</p> <p>7 issues, the specifics of the Stephenville</p> <p>8 case, I don't know at this point. The genesis</p> <p>9 though, of all of this, is that what we</p> <p>10 present before this Board is not a net budget,</p> <p>11 it's a gross budget in that it's not net of</p> <p>12 insurance proceeds. If that sort of--like the</p> <p>13 truck, for example, that would be based on the</p> <p>14 market value at the time of the accident and</p> <p>15 then the insurance, I think it was \$75,000</p> <p>16 less the 25 deductible, so there's forty-odd</p> <p>17 payment back. That in turn goes back against</p> <p>18 the rate base to reduce the rate base</p> <p>19 accordingly, but we would not file before this</p> <p>20 Board for the replacement truck, less the</p> <p>21 insurance proceeds as a line item in our</p> <p>22 budget. Is that sort of -</p> <p>23 Q. I think so, but the figure that I'm recalling</p> <p>24 now, and I can't find it here, I thought the</p> <p>25 figure on the truck was somewhere in the range</p>
<p style="text-align: right;">Page 155</p> <p>1 of 300,000?</p> <p>2 MR. LUDLOW:</p> <p>3 A. It is 300,000, sir.</p> <p>4 Q. So that would be a replacement cost, not</p> <p>5 netted out of insurance proceeds or anything?</p> <p>6 MR. LUDLOW:</p> <p>7 A. That is the total replacement cost of that</p> <p>8 vehicle to put a new vehicle on the road. And</p> <p>9 to give you a flavour of that, first of all,</p> <p>10 we felt we weren't going to put it back in</p> <p>11 because we figured we could absorb, but we</p> <p>12 needed that tandem on the southwest coast.</p> <p>13 But that is the purchase price, not--there's</p> <p>14 no netting of any insurance proceeds. That</p> <p>15 insurance proceeds come back in and go back</p> <p>16 against rate base and my learned friend, I'm</p> <p>17 sure, can lead you through that piece a little</p> <p>18 later on.</p> <p>19 Q. And the same thing with the Stephenville one,</p> <p>20 you're not sure, but the figures in any event</p> <p>21 would not be netted out.</p> <p>22 MR. LUDLOW:</p> <p>23 A. Yeah.</p> <p>24 Q. In terms of Walbourne's and the situation out</p> <p>25 in Corner Brook, Bay View and Humber</p>	<p style="text-align: right;">Page 156</p> <p>1 substations. There was a load forecast there.</p> <p>2 I was wondering if factored into those figures</p> <p>3 would be the loss of the cement plant? The</p> <p>4 cement plant closed in Corner Brook, I don't</p> <p>5 know, two or three years ago, something like</p> <p>6 that, and I was wondering if that is still</p> <p>7 included as part of the load forecast?</p> <p>8 MR. DELANEY:</p> <p>9 A. The cement plant, if I can answer that, the</p> <p>10 cement plant had its own substation</p> <p>11 transformer and its own supply off of the</p> <p>12 Bowaters--I keep calling it Bowaters, but</p> <p>13 Kruger's transmission line -</p> <p>14 Q. Corner Brook Pulp & Paper, what it was called.</p> <p>15 MR. DELANEY:</p> <p>16 A. So, there would be no effect in the Corner</p> <p>17 Brook transformer capacity, the substation</p> <p>18 actually was located by Brookfield, McPherson,</p> <p>19 it'd been taken out of commission just</p> <p>20 recently. There was a little substation there</p> <p>21 and that would serve the North Star Cement.</p> <p>22 COMMISSIONER MARTIN, Q.C.:</p> <p>23 Q. I think all my technical questions have been</p> <p>24 answered, but there was one reference I saw</p> <p>25 somewhere to a RF technology. What is RF technology?</p>

Page 157

1 MR. DELANEY:

2 A. RF technology is the radio frequency
3 technology and it's the way we would read the
4 AMR meters. A meter reader would go along -

5 Q. Yes, that's right, that's where I saw it to.

6 MR. DELANEY:

7 A. - and the information is sent over the
8 airwaves, actually at 900 mega hertz if you
9 want the technical.

10 COMMISSIONER MARTIN, Q.C.:

11 Q. Apart from the fact that I can't read my own
12 writing here, I think I've--that probably
13 covers all the questions I've got for this
14 panel. Thank you.

15 CHAIRMAN:

16 Q. Thank you. I see we're rapidly approaching
17 1:30, so I'm going to try and narrow down to
18 probably just a couple of questions. One
19 flows from a question, Mr. Ludlow, that was
20 raised by Mr. Young in his cross and it had to
21 do with the amount of engineering study or
22 engineering detail that took place as part of
23 the budget preparation process for a
24 particular project and what have you. And
25 obviously, you know, I appreciate the fact

Page 159

1 distribution in transmission lines, we would
2 base this on proxies that we gathered over
3 decades of work. Like, we know that we've got
4 to build a single phase line for ten miles, we
5 would take that to the stage of the general
6 routing of the line and we know that we can
7 build, a per kilometre base would cost us X
8 dollars, that type. And that's where we are
9 in these budgets here. To take it to the next
10 level would cause a total shift in where we
11 are today in completing 2003 stock, do all
12 your engineering for almost two years in a
13 row, to go forward, that's the secret. I'm
14 not convinced we'd want to move ahead too much
15 further. It could contain a variance
16 somewhat. And I guess that's back to the nub
17 of the question.

18 I would suggest here, we may be able to
19 trim that variance--I'd be half afraid to put
20 a number on it, to be quite honest. But if I
21 could step up my engineering, it may come
22 ahead, I don't know, 15, 20 percent type
23 range, but even then I don't have it to final
24 engineering stage.

25 Q. Right.

Page 158

1 that, you know, it's not going to be feasible
2 or practical to do a full engineering study
3 for a project, as part of the budget process,
4 but I'm wondering, to the extent that, on
5 average, you know, if it's possible to say
6 that a detailed or an engineering study is
7 done in the preparation of the budget process
8 for a particular project. In your opinion,
9 can you indicate what percentage of projects
10 might not subsequently be reflected as over
11 budget if some higher level of engineering of
12 process had been factored in, in the project
13 preparation, you know, for your presentation
14 for the budget.

15 MR. LUDLOW:

16 A. I guess ultimately the final stage would be to
17 have your market pricing complete and
18 hopefully there due, unless it were
19 unforeseen, to if, 100 percent on the mark,
20 that's in the budgeting allotments and so on.
21 The approach we've used and I'll come right
22 back to your question shortly, is that when we
23 do penstocks, we would have parameters of cost
24 for 100 meters or, you know, some type of
25 parameter such as that. Similarly with

Page 160

1 MR. LUDLOW:

2 A. I've never looked at the numbers to be quite
3 honest with you.

4 Q. I'm just wondering is it worthwhile to try and
5 achieve that 15, 20 percent.

6 MR. LUDLOW:

7 A. Well, my goal, to be quite honest with you, as
8 we sit here now is to get the budget before
9 the Board, it gives us half a chance to do
10 some preliminary work from the fall on our
11 long leave time. Like a power transformer,
12 for example, if we were to talk Walbourne's is
13 not a shelf item sitting in Ontario. It's an
14 item, the last one, I do believe, came from
15 Israel and it was something that takes, it
16 takes specifications on resistance and how it
17 ties into the system and then there's whole
18 bunch--that type of detail. Some of that can
19 be done up front, but the market pricing will
20 vary as well. That will impact it.

21 We're trying to get as much done early in
22 that fall such that we can come out of the
23 blocks early in the year. So, we've caught up
24 a nice bit there, Chairman Finn, but we're not
25 on top of the game yet. My goal is to move

Page 161	Page 162
<p>1 it.</p> <p>2 Q. I was wondering as well, Mr. Ludlow, I think</p> <p>3 CHAIRMAN:</p> <p>4 in Volume 1, Schedule B, page 61, referencing</p> <p>5 real property, the renovations and additions</p> <p>6 to the company, buildings and property, that's</p> <p>7 not part of the electrical supply to</p> <p>8 customers. And in 2004 the budget is 174,000</p> <p>9 and then the 2005 to 2008, it appears to jump</p> <p>10 to an annual of \$600,000.00 range, if I'm</p> <p>11 correct. I'm just wondering what the, in</p> <p>12 general terms what would be creating the</p> <p>13 substantial increase?</p> <p>14 MR. LUDLOW:</p> <p>15 A. Sorry, if you could just bear with me one</p> <p>16 second please.</p> <p>17 MR. DELANEY:</p> <p>18 A. There was an RFI on this that I was trying to</p> <p>19 find.</p> <p>20 Q. And just while you're looking for that, I</p> <p>21 guess as an addendum to that particular</p> <p>22 question, if it's related to new buildings or</p> <p>23 additions to buildings, if consideration had</p> <p>24 been given to any sharing facilities with</p> <p>25 Hydro and what have you, that would take away</p>	<p>1 the necessity of any of those additions or</p> <p>2 extensions.</p> <p>3 MR. LUDLOW:</p> <p>4 A. Basically, Mr. Chairman, there's several</p> <p>5 things underneath here, I can give you those</p> <p>6 examples and then I can go to your second part</p> <p>7 of that question if you so wish. One of the</p> <p>8 things we're attempting to do within our own</p> <p>9 organization right now is to work on</p> <p>10 consolidation of some properties, areas such</p> <p>11 as Grand Falls. We currently run a building</p> <p>12 on Cromer Avenue as well as on the Trans</p> <p>13 Canada Highway. Depending on where we can go</p> <p>14 with this, if everything works right and we</p> <p>15 will be before the Board with the details of</p> <p>16 that next year, can we, in fact, close one of</p> <p>17 those buildings, move our cash or whatever and</p> <p>18 consolidate it down. There are no additions</p> <p>19 of new buildings within this budget. As in,</p> <p>20 we wouldn't build another building, we would</p> <p>21 renovate or change or get--there's enough room</p> <p>22 there, but we got to make some changes, that</p> <p>23 type of thing, sorry, no new buildings. I</p> <p>24 have a two-room building in Holyrood</p> <p>25 allocated, I'm sorry. But when I think of</p>
Page 163	Page 164
<p>1 office buildings, I think much larger. This</p> <p>2 is a district crew establishment in Holyrood,</p> <p>3 extremely preliminary at this point in time,</p> <p>4 but to service the bottom of Holyrood, Harbour</p> <p>5 Main, Conception Harbour, it's about a quarter</p> <p>6 of the size of this--it's a small shed. It's</p> <p>7 almost like a baby barn type of situation with</p> <p>8 a concrete floor and a loading door in the</p> <p>9 back. We've got--in 2007 we'd be into a HVAC</p> <p>10 system at Kenmount Road and there's some</p> <p>11 parking lot repairs that are highlighted there</p> <p>12 as well. So, that's generally what's</p> <p>13 underneath this from a -</p> <p>14 MR. MYLES:</p> <p>15 Q. Excuse me, Mr. Ludlow, Mr. Delaney asked a</p> <p>16 moment ago about and RFI, I think the RFI is</p> <p>17 PUB-68 and may assist everyone in going</p> <p>18 through the numbers.</p> <p>19 CHAIRMAN:</p> <p>20 Q. That was in relation to AMR meters.</p> <p>21 MR. MYLES:</p> <p>22 Q. PUB-68.</p> <p>23 MR. LUDLOW:</p> <p>24 A. PUB-68 is in reference to the general</p> <p>25 properties included in subsequent years, Mr.</p>	<p>1 Chairman.</p> <p>2 MR. MYLES:</p> <p>3 Q. That was in direct relation to the question</p> <p>4 posed.</p> <p>5 CHAIRMAN:</p> <p>6 Q. I'm sorry, I'm looking at the NLH -</p> <p>7 MR. MYLES:</p> <p>8 Q. I know the feeling.</p> <p>9 MR. LUDLOW:</p> <p>10 A. The reference in PUB-68 to the Grand Falls</p> <p>11 service building would be the consolidation.</p> <p>12 CHAIRMAN:</p> <p>13 Q. Okay, thank you, Mr. Ludlow. A final area, I</p> <p>14 guess, I just want to get into is in relation</p> <p>15 to the portable generation and I want to make</p> <p>16 sure I have a flavour for this. If I refer</p> <p>17 you to NLH-24 where Hydro requested a table to</p> <p>18 show the use of Newfoundland Power's previous</p> <p>19 two portable generators over the past five</p> <p>20 years indicating for each occasion the reason</p> <p>21 for its use and the amount of energy</p> <p>22 generated. If I look at Table 1 and Table 2,</p> <p>23 does that indicate to me that these portable</p> <p>24 generators over that five year period were</p> <p>25 never run for the benefit of Newfoundland</p>

Page 165	Page 166
<p>1 Power customers?</p> <p>2 MR. DELANEY:</p> <p>3 A. I can answer that. No, it doesn't. Where you</p> <p>4 see unscheduled outage for Newfoundland Hydro,</p> <p>5 that would have been an outage that, let's</p> <p>6 say, originated on the Newfoundland and</p> <p>7 Labrador Hydro system, but by running the</p> <p>8 units we were able to keep the customers of</p> <p>9 Newfoundland Power, well some of the customers</p> <p>10 serviced. Okay. The outage, it was an</p> <p>11 unscheduled outage, so we kept the customers</p> <p>12 serviced by bringing this unit up. And as</p> <p>13 well, under scheduled runs for Newfoundland</p> <p>14 and Labrador Hydro, that's when those units</p> <p>15 were used to support the system.</p> <p>16 MR. LUDLOW:</p> <p>17 A. These units are parked now in, most of them</p> <p>18 are parked actually, one of them is not</p> <p>19 roadworthy, in Port aux Basques which is at</p> <p>20 the end of a long radial system, which is the</p> <p>21 one I referred to earlier. And as such, when</p> <p>22 we see a scheduled run, that would appear,</p> <p>23 that who's requesting a run and they would</p> <p>24 come up to supplement the gas turbine Rose</p>	<p>1 Blanche and the other stationary diesel that's</p> <p>2 down there, to try and support the load from</p> <p>3 Long Lake up through as far as DoYLES, but</p> <p>4 we're not able to do it. We can only carry</p> <p>5 about 40 percent or 50 percent on peak.</p> <p>6 Q. And if we jump back to the east coast, I guess</p> <p>7 now, and the portable generator that's</p> <p>8 included in the '04 budget. It's probably</p> <p>9 just for some clarification, as well, Mr.</p> <p>10 Ludlow, it may lead into another question</p> <p>11 related to this. In your pre-filed evidence,</p> <p>12 you indicate on page 6 that the 2.5 megawatt</p> <p>13 portable diesel generator proposed to be</p> <p>14 acquired at a cost of 1.7 million, will</p> <p>15 replace capacity that was lost when two</p> <p>16 existing portable generators and the St.</p> <p>17 John's diesel generators are decommissioned is</p> <p>18 2003. My understanding, I think is that the</p> <p>19 2.5 megawatt diesel that was purchased under</p> <p>20 the 2003 budget, it was indicate then that</p> <p>21 that particular diesel generator had the</p> <p>22 benefit of replacing most of the capacity that</p> <p>23 would be lost with the decommissioning of</p> <p>24 portable 1 and portable 2, is that correct?</p> <p>25 MR. LUDLOW:</p>
Page 167	Page 168
<p>1 A. It would be much more than two of those,</p> <p>2 that's correct.</p> <p>3 Q. All right. So, that 2.5 more than replaces</p> <p>4 those two portables.</p> <p>5 MR. DELANEY:</p> <p>6 A. That's correct.</p> <p>7 Q. So, when you say that, in your pre-filed here</p> <p>8 that the 2.5 portable diesel that you're</p> <p>9 looking to acquire under the 2004 budget will</p> <p>10 replace capacity that was lost when the two</p> <p>11 existing portable generators are</p> <p>12 decommissioned. That's not entirely accurate,</p> <p>13 but you do indicate that you do include there</p> <p>14 that the St. John's diesel generator, you</p> <p>15 include that there, but the St. John's diesel</p> <p>16 generator is virtually non-used anyway.</p> <p>17 MR. LUDLOW:</p> <p>18 A. It's a fixed unit -</p> <p>19 Q. Okay. Now, I know that in some discussion</p> <p>20 that took place in evidence in the 2003</p> <p>21 budget, you made mention of the fact, you gave</p> <p>22 examples of your typical feeder system being a</p> <p>23 4 megawatt system and going to use some of</p> <p>24 these system, you know, these two generators</p> <p>25 in tandem. But I'm just wondering, if you</p>	<p>1 didn't have that 2.5 megawatt portable</p> <p>2 generator that you're looking to purchase in</p> <p>3 the 2004 budget and you don't have the tandem</p> <p>4 process and perhaps you could just elaborate</p> <p>5 on what you mean by the tandem and how that's</p> <p>6 going to benefit the east coast. What are you</p> <p>7 currently doing, you know, when you have an</p> <p>8 emergency situation and given the fact that</p> <p>9 you're going to be spending a fair bit of</p> <p>10 money to refurbish the New Chelsea plant and</p> <p>11 what have you and that will be in much better</p> <p>12 shape as part of the '04 budget? You know,</p> <p>13 how do you handle these emergency situations</p> <p>14 now and as part of that, assuming that--</p> <p>15 obviously you do have a sharing process with</p> <p>16 Hydro, what portable capacity do they have,</p> <p>17 you know, that you can benefit from on the</p> <p>18 east coast and obviously this new portable</p> <p>19 that you will take delivery of in December</p> <p>20 '03, you'll be able to transport that from the</p> <p>21 west coast to the east coast, if you need it.</p> <p>22 So, if you can just kind of relate these</p> <p>23 things together for me.</p> <p>24 MR. LUDLOW:</p> <p>25 A. I'll do my best, Mr. Chair. First of all, in</p>

Page 169	Page 170
<p>1 the 2003 Capital Budget Hearing which would 2 have been last November, the proposal was 3 MR. LUDLOW: 4 filed regarding the site and the sizing of the 5 diesel requirements. And you are correct, Mr. 6 Chairman, when you reference the four to five 7 megawatt range of a typical feeder that's been 8 experiencing these types of outages within our 9 system. And the reason we didn't apply for a 10 single four or five is because of the physical 11 actual weights just will not permit its 12 portability. So, that's the first point. The 13 reference to the loss of generation as a 14 result of the decommissioning of the, it's a 15 670 kilowatt and a 700 kilowatt, that's the 16 two portables that are sitting in Port aux 17 Basques, keeping in mind that totals to 1.3 18 megawatts. That's where I was getting to. 19 These were bought at a time in the '70s when 20 feeder levels and loads were much lower and 21 could handle appropriate carrying capacities. 22 A 700 right now will do nothing for you in any 23 size of a load. So, that's that piece. 24 From what we do today, if we lose--let's 25 take Trepassey, I'll keep going back there for</p>	<p>1 a minute because it's near and dear to my 2 heart over the years. The Trepassey system is 3 one of these long radial transmission systems 4 that I've spoken of here. It's back country. 5 Just to control it can take us eight to ten 6 hours on a good day on bike. If it's foggy, 7 you can't fly it, so--that's the danger zone 8 on the east coast. Old Perlican, that's a 9 separate one I've highlighted. New Chelsea 10 being refurbished, that's status quo. So, I'm 11 leaving that one for the time being. If I 12 have an outage in Trepassey this fall, what am 13 I going to do? Well, I have the options of 14 calling on Hydro's portable generation which, 15 to the best of my knowledge, and I don't have 16 the equipment sharing agreement with me, I'm 17 not sure, I've got two units, I've got one, I 18 do believe up north. I don't know where the 19 other one is, I don't have it in my head, but 20 they're available. I think it's in Roddickton 21 to be exact. We would have 7.2 megawatt gas 22 turbine in Port aux Basques, a mobile. To 23 transport that or the diesel in Port aux 24 Basques to Trepassey would be a minimum of 48 25 hours down time, assuming we can get there.</p>
Page 171	Page 172
<p>1 That's okay. Not okay that it's 48 hours, but 2 its' going to take time. With the parking of 3 the two and a half megawatt diesel on the east 4 coast, what it would provide me with is the 5 capacity to provide some basic essentials down 6 in Riverhead, Trepassey, Portugal Cove South 7 and those areas which is firefighting, water, 8 food, some heat in some community centres. 9 Can I support the full load on that? No, I 10 can't. I can probably take, it's about a 4 11 megawatt, three and a half, 4 megawatt load, I 12 can carry a piece of it. It will get me going 13 if I had it; if I don't have it, I'm flat 14 broke. 15 Now, I can transport my other two and a 16 half from Port aux Basques, but I am still in 17 a process to at least limp that system along 18 for 48 hours or three days or whatever. 19 That's the basis. 20 Now, that's its parking point. Here in 21 the east coast there are locations, Branch, 22 St. Brides, that's a 100 kilometre feeder, 23 Twillingate, I'll go to Old Perlican as a 24 second. That line between New Chelsea and Old 25 Perlican, that transmission line, if that line</p>	<p>1 breaks or fails, Chelsea is useless to me, 2 it's on the wrong end of the wire. I got to 3 get something down there. Do I pull it from 4 Port aux Basques? I've got one unit, if I 5 have one unit, I can still only carry a 6 portion of the load. That's the sizing 7 relationship, Mr. Chairman. 8 So, that's how I'd--today I'd manage, I 9 would be into multiple day outage and I'd be 10 hauling the gas turbine or the two and a half 11 out of Port aux Basques. I don't know if 12 that's any help to you, but it's that type of 13 dynamic in where we located, how we manage, 14 where we put our install capacity and how it's 15 mobile. That is also available under the 16 sharing agreement as well. 17 Q. Okay. So, in your own wording that you use, 18 you're not looking for a cadillac system, but 19 you want a system that will run. You don't 20 see that as a cadillac system in terms of - 21 MR. LUDLOW: 22 A. No, sir. I would not--as I look at this 23 generator, I would be looking at alternatives, 24 I would look at refurb, I would look at small 25 gas turbines. I mean, it's that type of</p>

Page 173	Page 174
<p>1 thing, to me--when I look at Trepassey, we</p> <p>2 talk a lot about alternatives here the last</p> <p>3 MR. LUDLOW:</p> <p>4 few days, there are several alternatives. One</p> <p>5 alternative is to attempt to build a line from</p> <p>6 Fermuse cross country to Trepassey to create a</p> <p>7 loop system, okay, that's one. Second</p> <p>8 alternative is to build from Blaketown to</p> <p>9 Riverhead through St. Catherines into</p> <p>10 Trepassey, that'll secure the system. A third</p> <p>11 alternative is to have some sense of mobile</p> <p>12 generation that will pick up 50 percent better</p> <p>13 of the load. The other two alternatives are</p> <p>14 in the seven and a half to eight million</p> <p>15 dollar range. And what we're trying to do</p> <p>16 here is provide security in general to a</p> <p>17 broader base than just Trepassey and hence the</p> <p>18 mobile unit. So, that's where I'd say a</p> <p>19 system that'd work.</p> <p>20 Q. Right, okay. Leasing this type of equipment</p> <p>21 is not a possibility, is it?</p> <p>22 MR. LUDLOW:</p> <p>23 A. Well, I don't think so. I mean, we've looked</p> <p>24 at some, you know. One, we lease a small</p> <p>25 unit, but nothing of this type. These are</p>	<p>1 custom made utility pieces. If I can a</p> <p>2 cheaper way to get them, I'd certainly look.</p> <p>3 I haven't been able to find one yet, that's</p> <p>4 the way I would answer it.</p> <p>5 Q. Thank you. Any questions arising from the</p> <p>6 Panel.</p> <p>7 MR. YOUNG:</p> <p>8 Q. I have just one, Mr. Chair. At least, I</p> <p>9 believe it's just one. I'll see if there's a</p> <p>10 follow up from the follow up. And this arises</p> <p>11 from a question asked by Commissioner Powell</p> <p>12 in an answer Mr. Ludlow gave. The context was</p> <p>13 the small hydro plant's energy supply issue</p> <p>14 and Mr. Ludlow, you said something to the</p> <p>15 point that you had a couple of small hydro</p> <p>16 plants that you'll have to look at more</p> <p>17 closely in the future to see if they can be</p> <p>18 justifiably upgraded, refurbished or whatever.</p> <p>19 I'm just wondering what sort of analysis that</p> <p>20 uses and would you use--probably refer you to</p> <p>21 PUB-124 because that was also in the same</p> <p>22 context, the same question--a levelized cost</p> <p>23 approach based on the incremental -</p> <p>24 MR. LUDLOW:</p> <p>25 A. I'm sorry, I missed your reference.</p>
Page 175	Page 176
<p>1 Q. PUB-124, sorry I'm running this altogether,</p> <p>2 I'm trying to economize on time here because I</p> <p>3 think there's probably one answer to the whole</p> <p>4 subject matter. I'll just refresh that, just</p> <p>5 briefly. So, you're talking about--you are</p> <p>6 aware generally and you didn't give me any</p> <p>7 specifics and perhaps you don't have them yet,</p> <p>8 as to some projects in the future that you're</p> <p>9 going to have to look at closely to see if</p> <p>10 they're justifiable.</p> <p>11 MR. LUDLOW:</p> <p>12 A. That's correct.</p> <p>13 Q. And I'm just wondering if you can briefly</p> <p>14 describe the kind of analysis you go through,</p> <p>15 the kind of figures you look to, and would it</p> <p>16 be a number of this sort that you'd use when</p> <p>17 you did that analysis to see if it was</p> <p>18 justifiable.</p> <p>19 MR. LUDLOW:</p> <p>20 A. We would certainly use this style of analysis,</p> <p>21 but whether this is the final determining fact</p> <p>22 is something that I would have to bring in my</p> <p>23 accounting team or the financial people of the</p> <p>24 organization to address. The ones I'm</p> <p>25 referring to, these are very small plant as</p>	<p>1 well that have some factors that--they're very</p> <p>2 small. It does make New Chelsea look large.</p> <p>3 The actually financial analysis that we would</p> <p>4 apply to do a decommissioning of that plant,</p> <p>5 I'm not in the position to go through the</p> <p>6 details at this point, Mr. Young, I don't</p> <p>7 know.</p> <p>8 Q. When you put forward the projects that you had</p> <p>9 put forward, both the New Chelsea one and the</p> <p>10 one in the general rehabilitation, sort of,</p> <p>11 the catch all group, project, if I can call it</p> <p>12 that for a moment. Do you do this kind of</p> <p>13 analysis for each of those projects to see, in</p> <p>14 fact, particularly when they're not something</p> <p>15 which is say, safety or reliability related,</p> <p>16 but an economic advantage of keeping a good</p> <p>17 sound economically run, hydro project running</p> <p>18 into the future. Do you do this kind of</p> <p>19 analysis in those cases to the projects that</p> <p>20 you've put forward in this budget?</p> <p>21 MR. LUDLOW:</p> <p>22 A. We would test the continued future viability</p> <p>23 of the individual plants on certain types, if</p> <p>24 they were significant expenditures that had</p> <p>25 financial implications. I would not run it</p>

Page 177

Page 178

1 though on a 71 year old head gate. I think
2 that's getting to the extreme. I would run it
3 MR. LUDLOW:
4 if I had a turbine issues or anything of that
5 type and they were substantive in relation to
6 the plant, yes, I would be monitoring my
7 future flows.
8 Q. I don't think you've produced any in this
9 application, is that correct?
10 MR. LUDLOW:
11 A. That is correct.
12 Q. That's all, thank you.
13 CHAIRMAN:
14 Q. Thank you, Mr. Young.
15 MR. KENNEDY:
16 Q. Chair, just one question, it's on dark skies.
17 Mr. Ludlow, did I gather correctly that your
18 chief concern with some of the proposals under
19 the dark skies are safety and security issue
20 related?
21 MR. LUDLOW:
22 A. That's two of the items. The third that I
23 have not done any research on is the
24 additional cost from inventory, how this would
25 be managed and the additional training

involved. And there's a whole raft of things
that would also creep into the specification
of designs. This is--if it was as simple as
changing a light bulb in a light fixture, I
would go, but I'm not ready to say that.

Q. Okay, thank you.

CHAIRMAN:

Q. Thank you, Mr. Ludlow and Mr. Delaney.

MR. LUDLOW:

A. Thank you, Mr. Chairman, Commissioners.

Q. It's been a long morning, I'm just trying to
get some sense now if we are breaking at this
time and going to adjourn until 9:00 tomorrow
morning. Are we going to finish with the
other panel tomorrow?

MR. KENNEDY:

Q. Subject to what my learned friend has, I don't
think he has anything for the individuals on
the information technology portion. I'm not
sure if he has any questions for Mr. Perry.

MR. YOUNG:

Q. I may have, you know, perhaps very little. It
depends on what comes up on the presentation,
but it's a blank page right now, Mr. Chair.

CHAIRMAN:

Page 179

Page 180

1 Q. I'm taking it appears that in all probability
2 we will be able to finish tomorrow.
3 MR. KENNEDY:
4 Q. I think we'll be able to finish both panels
5 tomorrow if we run right through, yes.
6 CHAIRMAN:
7 Q. Okay, well then, we'll adjourn at this time
8 until 9:00 tomorrow morning. Thank you.
9 Adjourned at 1:48 p.m.

1 CERTIFICATE
2 I, Judy Moss Lauzon, hereby certify that the foregoing is
3 a true and correct transcript in the matter of
4 Newfoundland Light & Power's 2004 Capital Budget
5 Application, heard before the Board of commissioners of
6 Public Utilities, Prince Charles Building, St. John's,
7 Newfoundland and Labrador on the 11th day of September,
8 A.D., 2003 and was transcribed by me to the best of my
9 ability by means of a sound apparatus.
10 Dated at St. John's, Newfoundland and Labrador
11 this 11th day of September, A.D., 2003
12 Judy Moss Lauzon